

PUBLIC HEARING

SYDNEY TAR PONDS AND COKE OVENS SITES

REMEDIATION PROJECT

JOINT REVIEW PANEL

---

V O L U M E 12

---

HELD BEFORE: Ms. Lesley Griffiths, MCIP (Chair)  
Mr. William H.R. Charles, QC (Member)  
Dr. Louis LaPierre, Ph.D (Member)

PLACE HEARD: Sydney, Nova Scotia

DATE HEARD: Thursday, May 11, 2006

PRESENTERS: Membertou First Nation:  
Mr. Bernd Christmas  
  
Sydney Tar Ponds Agency:  
Mr. Donald Shosky

---

Recorded by:  
Drake Recording Services Limited  
1592 Oxford Street  
Halifax, NS B3H 3Z4  
Per: Patricia Cantle, CCR

I N D E X   O F   P R O C E E D I N G S

	PAGE NO.
THE CHAIRPERSON - OPENING REMARKS . . . . .	2029
MEMBERTOU FIRST NATION	
MR. BERND CHRISTMAS - PRESENTATION . . . . .	2032
SYDNEY TAR PONDS AGENCY	
MR. DONALD SHOSKY - PRESENTATION . . . . .	2063

QUESTIONING

MEMBERTOU FIRST NATION -  
MR. BERND CHRISTMAS

Questioned by Joint Review Panel . . . . .	2047
Questioned by Mr. Frank Potter (STPA) . . . . .	2052
Questioned by Ms. Debbie Ouellette . . . . .	2054
Questioned by Ms. Mary-Ruth MacLellan (SOHC) . . . . .	2055
Questioned by Dr. Les Ignasiak . . . . .	2056
Questioned by Ms. Cathy Theriault . . . . .	2057
Questioned by Mr. Ron Marman (GLRR) . . . . .	2058
Questioned by Mr. Dan McMullin . . . . .	2059
Questioned by Mr. Frank Potter (STPA) . . . . .	2061

SYDNEY TAR PONDS AGENCY -  
MR. DONALD SHOSKY

Questioned by Joint Review Panel . . . . .	2093
Questioned by Ms. Marlene Kane . . . . .	2146
Questioned by Dr. Les Ignasiak . . . . .	2157
Questioned by Ms. Mary-Ruth MacLellan (SOHC) . . . . .	2164
Questioned by Mr. Henry Lelandais . . . . .	2169
Questioned by Mr. Ron Marman (GLRR) . . . . .	2170

I N D E X   O F   U N D E R T A K I N G S

NO.	DESCRIPTION	PAGE NO.
FOR THE SYDNEY TAR PONDS AGENCY		
(1)	To provide details of DEVCO's remediation of their lands - standards, etcetera . . . . .	2127
(2)	To provide details of the seawall . . . . .	2168

1 --- Upon commencing at 1:02 p.m.

2 THE CHAIRPERSON: Good afternoon. Before  
3 we turn to our first presenter, Mr. Bernd Christmas, I am  
4 going to ask if there are undertakings that participants  
5 need to bring forward, and I will begin by asking the Tar  
6 Ponds Agency. Mr. Potter?

7 MR. POTTER: Thank you, Madam Chair. We  
8 have four undertakings today. Two are hand ins, and two  
9 will be read in, as well as a hard copy.

10 Undertaking No. 7 from April 29th  
11 comparing site specific target levels to CCME levels.  
12 That will be a hand in today, as well as a hand in on --  
13 we have no number for this one, but it would be from May  
14 2nd. It's a list of 650 reports from our library at the  
15 Tar Ponds Agency office. We'll have the full list of all  
16 of our reports for hand in today.

17 The two reports that we'll provide today  
18 are -- it's No. 8, and Mr. Gillis will verbally read this  
19 one in. It's regarding the total mass of PCBs in the Tar  
20 Ponds. And then Mr. Kaiser is going to do No. 14, which  
21 is key findings on the RAER report.

22 So, I'll ask Mr. Gillis to address the  
23 first one.

24 MR. GILLIS: Thank you, Frank.

25 This is the follow up response to IR 12,

1 indicated areas of Tar Pond sediments contaminated with  
2 PCBs in concentrations greater than 50 parts per million.  
3 These areas included two areas slated for excavation, as  
4 well as several additional areas to be stabilized and  
5 solidified.

6 Massive PCBs and all sediments with PCB  
7 concentrations greater than 50 parts per million was  
8 estimated to be 3.7 tonnes, and was presented in a follow  
9 up response to IR 12.

10 The massive PCBs and the remainder of the  
11 sediments was estimated using two methods. Surfer, a  
12 geostatistical modelling package, and area weighted means  
13 using polygons calculated by ArcGIS.

14 The massive PCBs in the remainder of the  
15 sediments with PCBs in concentrations less than 50 parts  
16 per million was estimated to be between 3.8 and 4.7  
17 tonnes respectively.

18 Using the same two methods, the total mass  
19 of PCBs in the Tar Ponds is estimated to be between 7.4  
20 and 8.4 tonnes. All of these PCBs will be treated,  
21 whether incinerated, stabilized, and solidified.

22 Thank you.

23 THE CHAIRPERSON: Thank you, Mr. Gillis.  
24 And you have one more to read into the record.

25 MR. KAISER: Thank you.

1                   This is undertaking 14. There was a  
2 qualitative evaluation of human health and ecological  
3 risks conducted on the alternative options considered  
4 through the RAER process.

5                   The JAG core principles as applied meant  
6 that the alternative options must be protective of human  
7 and ecological health before being allowed to continue  
8 through the consideration process.

9                   The seventh bullet, which is the reason  
10 for the undertaking, in key findings on page 2-81, simply  
11 indicates that the alternative options were similar in  
12 terms of relative risk.

13                   THE CHAIRPERSON: Thank you, Mr. Kaiser.  
14 That concludes your housekeeping, Mr.  
15 Potter?

16                   MR. POTTER: Yes, Madam Chair.

17                   THE CHAIRPERSON: Thank you.

18                   Are there any other participants who have  
19 undertakings that they are completing this afternoon?

20                   If not, we will move directly to our first  
21 presentation, Mr. Bernd Christmas, Membertou First  
22 Nation.

23                   You have 40 minutes, so would you like to  
24 take -- you'd prefer to do it from there? Or you can do  
25 it from the witness table.

1                   You have a maximum of 40 minutes if you  
2                   need it, and I can let you know 5 minutes before the end.

3                   --- PRESENTATION BY MEMBERTOU FIRST NATION

4                   - MR. BERND CHRISTMAS

5                   MR. CHRISTMAS: That will be very helpful.  
6                   Sometimes lawyers, we ramble on.

7                   Okay. I did provide a copy of the  
8                   presentation to your Secretariat, and so it's -- there's  
9                   a written version.

10                  Obviously, on behalf of the Community of  
11                  Membertou, we thank you for allowing us at such short  
12                  notice to provide a -- our viewpoints on what is  
13                  transpiring here today.

14                  And, of course, I realize today was  
15                  supposed to be a day off, if I understood, and again,  
16                  thank you, thank you, thank you very much for  
17                  accommodating us.

18                  I'd like to begin with a little bit of a  
19                  history.

20                  The Mi'kmaq People are the First Peoples  
21                  of the territory we commonly know today as the Atlantic  
22                  Provinces. And for hundreds of years prior to the  
23                  arrival of Europeans, the Mi'kmaq lived in a diverse and  
24                  structured society, a society which recognized the land  
25                  and its resources as key to their own survival.

1 Mi'kmaq society consisted of various  
2 summer and winter communities which were located  
3 throughout Mi'kma'ki, and one such community was the  
4 Sydney Mi'kmaq community located on the shores of Sydney  
5 Harbour, also known as the Place of the Rock.

6 It is this community where the present day  
7 Membertou extends from, as it was here on the shores of  
8 the Sydney Harbour where we resided for hundreds of  
9 years, until we were forcibly relocated during the 1920s.

10 The Sydney Mi'kmaq community was a small  
11 community, but it was highly frequented by all Mi'kmaq  
12 who resided in the other communities located throughout  
13 Cape Breton Island.

14 This was primarily due to the fact that  
15 other Mi'kmaq would come to the Sydney reserve for days  
16 and weeks at a time, so as to be able to sell their fine  
17 Mi'kmaq crafts to the non-native society.

18 The Mi'kmaq were also well known for their  
19 beautiful Mi'kmaq quill baskets, ash baskets, axe  
20 handles, which they manufactured themselves and sold door  
21 to door as a means of livelihood.

22 The residents of Sydney reserve would open  
23 their doors to their fellow Mi'kmaq visitors and provide  
24 them with shelter and food during the time they stayed,  
25 as to do otherwise would be against the rules of Mi'kmaq

1 society. You see, the Mi'kmaq people were extremely  
2 interdependent, and hospitality and friendship were key  
3 components to our daily social life.

4 Like all other Mi'kmaq communities, the  
5 Sydney reserve utilized the resources of the sea for much  
6 of their daily sustenance, and Sydney Harbour, also  
7 commonly known as Ciboo, was the main source for our food  
8 supply.

9 It is only with the increased pollution of  
10 the Harbour, and our eventual removal from our  
11 traditional community located in -- community location in  
12 the 1920s, when the community residents relied less and  
13 less on the resources located here.

14 However, well into the 20th century,  
15 Mi'kmaq continued to utilize the various waterways and  
16 estuaries found throughout Sydney for fishing, and  
17 continue to do so today.

18 We were referred to as the Sydney reserve  
19 until the 1970s, where it was decided that we should  
20 reclaim part of our heritage back, and renamed our  
21 community Membertou after -- whom we consider one of our  
22 greatest Grand Chiefs of the Mi'kmaq Nation.

23 Membertou today is a community of  
24 approximately 1,100 people with a diverse set of  
25 backgrounds, education and occupations.

1 Our community is located within a bowl  
2 that some long ago described as swamp lands.

3 Regardless, we've made it our home and  
4 have begun to thrive in a way that no one could have  
5 imagined.

6 We have created what some have described  
7 as a model for success that other aboriginal communities  
8 could follow or aspire to across the country.

9 In the mid-'90s, we were facing an ever  
10 increasing debt load, almost reaching one million dollars  
11 (\$1 million), with an operating budget of four point five  
12 million, and we had 20 employees and were, needless to  
13 say, very disorganized.

14 In keeping with our traditions of not  
15 giving up in the face of adversity, we took matters into  
16 our own hands, meaning we aggressively demanded a voice  
17 with our government partners.

18 We actively embraced the fact that beyond  
19 the reserve bound -- reservation boundaries is a world  
20 that is moving forward, and offered hope for our young  
21 and old.

22 We decided that the best way to break the  
23 cycle of despair was to create an economy that we built  
24 and would take into consideration the unique Mi'kmaq  
25 world view. So, we started adopting some of the

1 governance and business models prevalent in Ottawa,  
2 Toronto and even New York.

3 Along the way, we became the first  
4 indigenous government to be ISO 9001-2000 compliant.

5 We have established partnerships with  
6 companies in sectors such as food service, aerospace,  
7 defense, finance, retail, information technology, to name  
8 a few.

9 And we have also built such great things  
10 as schools, day care centres, youth centres, convention  
11 centres with restaurants.

12 And all this has led us to a new sense of  
13 purpose, and a collective sense of hope for the future.  
14 We are now in a position where we employ almost 600  
15 people with an operating budget of seventy-five million.

16 And yes, of course, we are very proud of  
17 our accomplishments.

18 Achieving these once thought dreams was  
19 not easy. We had to reconcile who we were as an  
20 aboriginal community, and did not want to lose that.

21 At the same time, we know our history, we  
22 know our language, we know our land and we know our  
23 waters. That is why we also challenge government actions  
24 where others had given up.

25 As some of you know, we reclaimed our

1 strong fishing history when we challenged the Government  
2 of Canada on whether or not our treaties protected our  
3 rights to fish commercially.

4 We all know the Supreme Court of Canada  
5 agreed that all Mi'kmaq, including Membertou, have the  
6 right to commercial fish -- fish for commercial purposes,  
7 including a right to a moderate livelihood -- which we're  
8 still trying to figure out what exactly that means. I  
9 hope it's a lawyer's moderate livelihood. We'll all be  
10 in a good position.

11 It was noted that in this infamous case  
12 rendered by Justice Binney that it was a fact that we had  
13 aboriginal title to rivers, streams, estuaries and  
14 harbours.

15 That is something that I want to just  
16 highlight right there, that point, because it's very  
17 important to the rest of the presentation.

18 And, you know, we believe this is  
19 obviously crucial as to how a community as Membertou is  
20 to be considered as you render your findings.

21 So, before continuing with this line of  
22 thinking, we believe it is prudent to highlight our view  
23 of the activities by the Government of Canada and the  
24 Province of Nova Scotia.

25 We, of course, will defer to the various

1 regulatory bodies and the agencies to correct, perhaps,  
2 some of the factual errors that we may make. And if we  
3 should be corrected, well then it highlights one of the  
4 difficulties that we are about to discuss later on.

5 It is our understanding that the cleanup  
6 activities and studies started quite a number of years  
7 ago.

8 We understand that the sentiment is that  
9 it has been studied beyond what is considered normal for  
10 this type of project.

11 However, it is and was important to do  
12 this.

13 We understand that about sixty million  
14 dollars (\$60 million) was spent between 1995 and 2000,  
15 give or take a few years here and there. Four hundred  
16 million is going to be spent on the cleanup.

17 We understand that several technologies  
18 were considered and are the topic of this current review.

19 We also need to ensure that we do not --  
20 that we do this the right way, because today is where the  
21 stars are lining up to get the job for the future  
22 generations done.

23 Membertou's history, as you know, goes  
24 back before there was even this need for the cleanup.

25 We have just started to become familiar

1 about it, but not at the level we should be, either from  
2 a moral or a legal perspective.

3 It would be remiss if we did not tell you  
4 that some strides have been made in the past year or so.  
5 You are probably aware that we recently entered into an  
6 agreement with the Province of Nova Scotia and Canada for  
7 an aboriginal set aside program for the cleaning of the  
8 Cooling Ponds portion.

9 Officials such as Ken Swain and Alphonse  
10 Cormier and Garth Bangay from the Government of Canada,  
11 as well as Dave Darrow of the Province, should be  
12 commended for the work they undertook to ensure that  
13 Membertou and other Mi'kmaq communities would at least be  
14 included in the business of the cleanup.

15 And, of course, we'd like to, at this  
16 time, publicly thank them for this, because it was a very  
17 difficult road. And I don't have to tell you, this --  
18 the politics is pretty amazing when it comes to this sort  
19 of stuff. But they held their own, and we're at a point  
20 where we are today.

21 Now, to the point, and why we are here  
22 today asking for this last minute intervention.

23 Yes, it is recognized that studies have  
24 been conducted, experts from literally all over the world  
25 have been asked for input.

1 Millions of dollars has been spent to do  
2 this, and everything you wanted to know about the subject  
3 is available for reading, scanning and perusing at one's  
4 leisure.

5 Membertou, however, has not been  
6 consulted. Attempts have been made, we think.

7 A business agreement, in our view, is not  
8 consultation. We believe the law on the subject of  
9 aboriginal consultation is clear.

10 Membertou community members have  
11 recognized treaty rights to hunt, fish and gather for  
12 food, social and ceremonial purposes, as well as for  
13 commercial purposes.

14 We also claim aboriginal and -- aboriginal  
15 rights and title to the area that is the question of this  
16 review, and as such, the Panel, in our opinion, needs to  
17 consider the question of consultation in the strict legal  
18 sense, especially as it pertains to Membertou, or at  
19 least, the Panel needs to consider whether or not the  
20 governments have adequately consulted with our community.

21 Membertou believes that the Crown -- and  
22 this term is used to describe both levels, for this  
23 purpose -- has a duty to consult on the potential adverse  
24 impacts, at least since 1990 with the Sparrow decision.  
25 This was reinforced in the second Marshall decision in

1 1999, and the second phase of the Sparrow justification  
2 analysis invokes the honour of the Crown and that:

3 "The special trust relationship and  
4 the responsibility of government vis-  
5 a-vis aboriginals..."

6 It is here that consultation is addressed  
7 where the court states in paragraph 43 of Marshall II  
8 that:

9 "The special trust relationship  
10 includes the right of the treaty  
11 beneficiaries to be consulted about  
12 restrictions on their rights."

13 The extent of the Crown's duty consult is  
14 a matter of degree dependent upon adverse impacts on  
15 First Nations. In other words, the degree of adverse  
16 impact -- the greater the degree of adverse impact, the  
17 greater the duty to consult. And that's from, of course,  
18 Delgamuukw, which is a pivotal case.

19 And, again, we believe in Marshall it  
20 states that:

21 "This variation may reflect such  
22 factors as the seriousness and  
23 duration of the proposed restriction,  
24 and whether or not the minister is  
25 required to act in response to

1 unforseen or urgent circumstances.  
2 As stated, if the consultation does  
3 not produce an agreement, the  
4 adequacy of the justification of the  
5 government's initiative will have to  
6 be litigated in the courts"

7 In the context of the various laws and  
8 regulations that you and the various governments are  
9 working under, the question of adequate consultations  
10 appears to vary depending upon the particular act or  
11 regulation that the crown department is operating under  
12 and the affected First Nations' use or dependence on it,  
13 and the length and extent of prohibitions and urgency  
14 addressing, obviously, a particular situation.

15 In November 2004 the Supreme Court of  
16 Canada released its decision in the Haida case where the  
17 central issue was whether the Government of BC had a duty  
18 to consult the Haida people on its decision to issue tree  
19 harvesting licenses on traditional territory claimed by  
20 the Haida.

21 Haida represents the proposition that  
22 First Nations need not establish a recognized claim  
23 before the duty to consult arises, and the Haida asserted  
24 title to the area in question and the rights and  
25 resources, including forest resources for over 100 years,

1 and were in the process of negotiation with both the  
2 Federal and Provincial Governments for title and rights  
3 recognition.

4 The Supreme Court recognized that even  
5 though their claim hadn't been established there was a  
6 prima facie legitimacy to their claim and a recognition  
7 to that in order to ensure that the Haida would still  
8 have access to resources if and when their claims were  
9 established. Mechanisms need to be in place for their  
10 interests to be addressed.

11 Mi'kmaq or Membertou interests, as they  
12 pertain to this review, are distinguished from the Haida  
13 in that the rights to resources are established and  
14 recognized already. Haida is relevant in that it expands  
15 upon the spectrum of interests where First Nations ought  
16 to be consulted and speculates on degrees of consultation  
17 necessary to and for the crown to uphold its honour.

18 The potential for adverse impacts of  
19 decisions from this Panel in the Membertou interests is  
20 high, in our words, very high.

21 The Supreme Court of Canada also offered  
22 the following with respect to the spectrum of the crown  
23 duty to consult First Nations in, again, Delgamuukw,  
24 1997.

25 "The nature and scope of the duty of

1 consultation will vary with the  
2 circumstances. In occasional cases,  
3 when the breach is less serious or  
4 relatively minor, it will be no more  
5 than a duty to discuss important  
6 decisions that would be taken with  
7 respect to lands held pursuant to  
8 aboriginal title. Of course, even in  
9 these rare cases when the minimum  
10 acceptable standard is consultation,  
11 this consultation must be in good  
12 faith, and with the intention of  
13 substantially addressing the concerns  
14 of the aboriginal peoples whose lands  
15 are at issue. In most cases, it will  
16 be significantly deeper than mere  
17 consultation. Some cases may even  
18 require the full consent of an  
19 aboriginal nation, particularly when  
20 provinces enact hunting and fishing  
21 regulations in relation to aboriginal  
22 lands."

23 As with any rights, there is a  
24 corresponding responsibility in the case of consultation.

25 First Nations have a duty to act in good

1 faith and cooperate with reasonable consultation  
2 measures, and also it should be noted, too, that a strong  
3 position on the consultation spectrum that may be -- may  
4 require consent from an affected First Nation does not  
5 translate into a veto or over-regulation of resource  
6 activities.

7 So, it should be noted -- as we kind of  
8 move away from the legal parts of this presentation, it  
9 should be noted that when the federal Department of the  
10 Environment was the lead on the cleanup file, Membertou  
11 requested a formal consultation process, and, in fact, we  
12 requested approximately \$1.8 million dollars to undertake  
13 a review, our own review, of all the evidence and  
14 findings by the experts, and of course we were going to,  
15 you know, hire legal and technical experts to provide us  
16 assistance with that review.

17 Unfortunately, this request was not agreed  
18 to and to date we have never had a formal presentation on  
19 what exactly is going to occur within the cleanup. We  
20 believe -- to us, you know, and perhaps to others, this  
21 is surprising, and we, of course, believe the law is on  
22 our side.

23 So, before people start to squirm and want  
24 to call their respective legal counsels, you know,  
25 Membertou wishes to categorically state that all this can

1 be overcome by a process that would allow us to have an  
2 active role in the cleanup. We do not believe that is  
3 asking too much.

4 Resources should be made available to  
5 allow the young and elderly of Membertou to understand  
6 what has or is about to happen. We are extending an  
7 olive branch of cooperation but we cannot let our right  
8 to consulted to be trampled upon either.

9 So, in conclusion, we encourage all the  
10 various departments in this review, and the Panel, to  
11 immediately and seriously take our request for the  
12 establishment of a formal consultation process.

13 And, Madam Chair, that is the  
14 presentation, and if there's any questions, obviously I  
15 can field those.

16 THE CHAIRPERSON: Mr. Christmas, thank you  
17 very much for your presentation. Thank you first for  
18 some of the background that you've provided us with.

19 I've been reading so much about the  
20 community of Membertou and the things that have been  
21 happening and the progress that's being made, and it was  
22 with much pleasure that the Panel paid an informal visit  
23 and saw some of the things that have been going on and  
24 the businesses and developments that have happened there.  
25 So, that was very interesting.

1                   Normally we -- the Panel does ask  
2                   questions of presenters. I think probably, as you can  
3                   imagine, with the detail that's in your presentation and  
4                   the topics that you're covering, that that's something  
5                   that the Panel will definitely want to read and give some  
6                   consideration before we pursue that. So, there may not  
7                   -- I will ask my colleagues, but we may not have  
8                   questions for you today.

9                   I just want to clarify. I'm sure you're  
10                  totally well aware of the fact that the Panel is not a  
11                  decision-making body, we are an advisory-making body.

12                  So, I think we will need to take your  
13                  written presentation and give it some thought and see  
14                  what may fall out with respect to the mandate that the  
15                  Panel has, but certainly it was very interesting to hear  
16                  that.

17                  -----  
18                  --- QUESTIONED BY THE JOINT REVIEW PANEL

19                  THE CHAIRPERSON: I mean, my only question  
20                  -- and you may not wish to answer that at this point, but  
21                  I wondered if you wanted to elaborate a little bit on the  
22                  types of adverse impacts on your -- on Membertou's rights  
23                  that you think that might result from the implementation  
24                  of the project, just in very general terms. I'm sure you  
25                  won't want to get into any detail on that.

1 MR. CHRISTMAS: Yeah, I guess it really  
2 just boils down to -- you know, it's kind of odd for me  
3 perhaps to even say this, but like we're not even at that  
4 point to determine what it potentially is.

5 You know, we've made the statements and  
6 we've told government before on other issues that we  
7 claim aboriginal title and treaty rights, those are  
8 clear, fishing rights, and, you know, land use, et  
9 cetera, et cetera. You know, in the whole spectrum of  
10 what's behind all this, there's a greater claim that  
11 still has to be dealt with, which is obviously not the  
12 Panel's issue.

13 So, I think we're still -- I hate to sound  
14 so very vague, but I think we're still at the point where  
15 we can't really tell you about the adverse impacts  
16 because we don't really understand exactly the full brunt  
17 of what is about to take place down there.

18 You know, I should -- again, we should be  
19 fair from what is written here, and I'll freely offer it.  
20 You know, we've had -- you know, it was back probably  
21 around '99 when Garth Bangay was regional director  
22 general, he sent someone to get us to fill out a booklet  
23 and we -- the people know the story at the Agency, they  
24 probably have heard that, you know, we basically kicked  
25 the people out of the Council chambers because it was

1 almost an insult to us that we had to fill out a booklet,  
2 because we didn't consider that as formal consultation.

3 And then there was someone from Health  
4 Canada who came to us back in '97, I think, and they  
5 showed us sort of like a map of where there was going to  
6 be water treatment plants or something like this, and  
7 that was -- to be fair, those are the two kind of things  
8 we really know, except, of course, now we know some of  
9 the business of what's about to occur.

10 But still from, you know, the community  
11 themselves, do they understand, has anyone done  
12 presentations to them? No, that hasn't occurred yet.

13 THE CHAIRPERSON: Well, thank you. I will  
14 ask my colleagues if they have questions for you.

15 MR. CHARLES: Mr. Christmas, the Panel has  
16 been provided with a study that's entitled "A Mi'kmaq  
17 Ecological Knowledge Study." Are you aware of that  
18 study?

19 MR. CHRISTMAS: Yes.

20 MR. CHARLES: And you've read the  
21 conclusions of the study?

22 MR. CHRISTMAS: Yes. The Mi'kmaq  
23 Ecological Study is a document that obviously provides  
24 evidence of Mi'kmaq use of resources. Now, you have to  
25 remember that's evidence of what's going on there, but

1 we're talking about consultation, it's two different  
2 things.

3 That does not -- for example, certain  
4 species are asked about and so on and so forth but it  
5 doesn't talk about, for example, say if there's a plant  
6 that's, you know, readily available that a Mi'kmaq would  
7 use for medicines or for a commercial purpose.

8 So, I guess what we want to distinguish is  
9 that was -- those are evidence of uses of Mi'kmaq people  
10 that have been documented, but consultation does not  
11 address, you know, the pure, simple questions of what is  
12 going to happen at and within the cleanup within our  
13 traditional territories.

14

15 Do you understand what I'm saying, the ---

16 MR. CHARLES: Yeah, I know -- I understand  
17 the difference between the consultation that you'd like  
18 to see carried forward ---

19 MR. CHRISTMAS: Okay.

20 MR. CHARLES: --- and the results of an  
21 ecological study. But because you did mention adverse  
22 impacts on traditional rights, this study does conclude  
23 that:

24 "The project will not negatively  
25 impact the lands and resources that

1                   the Mi'kmaq utilize for traditional  
2                   use activities, and should they  
3                   occur, they will be minimal."

4                   And I take it that your position would be,  
5                   well, that's okay, but we still -- whether they're  
6                   minimal or not, there's still some kind of an impact on  
7                   our traditional rights that needs to be talked about and  
8                   the consultation would take place in that regard?

9                   MR. CHRISTMAS: That's correct, sir, and  
10                  that is our position and I -- we believe that, you know,  
11                  again, the Constitution in the country protects us in  
12                  that and we should have some level of consultation. Not  
13                  only the Constitution but, you know, the laws that have  
14                  been developed, as I tried to go through.

15                 MR. CHARLES: All right. Thank you very  
16                 much.

17                 DR. LAPIERRE: No, thank you, Madam Chair.  
18                 I had the same question you had, so you've asked it, so  
19                 I'm fine.

20                 THE CHAIRPERSON: Our practice in the  
21                 hearings is now to invite questions to the presenter from  
22                 other participants.

23                 I will turn first to the Tar Ponds Agency.  
24                 And, Mr. Potter, do you have any questions for Mr.  
25                 Christmas or do you have any points of clarification

1 directly relating to his presentation?

2 MR. POTTER: Yes, Madam Chair, I did have  
3 one question.

4 -----

5 --- QUESTIONED BY THE SYDNEY TAR PONDS AGENCY

6 (MR. FRANK POTTER)

7 MR. POTTER: You mentioned you were asking  
8 for, I guess, a formal consultation process. I'd like  
9 you, if you could, to explain what you might foresee that  
10 -- what kind of shape that would take.

11 As you're aware, there has been a fair bit  
12 of discussions that have gone on in the past and much of  
13 those discussions have been culminated in the MOA  
14 incorporating the interests of aboriginal people.

15 Arising from that was the Protocol  
16 Agreement set aside for the current project for the  
17 cooling pond, a commitment to review that project upon  
18 its completion to see if there's opportunities for  
19 additional, perhaps, aboriginal involvement in the  
20 project as it proceeds. Those things have been discussed  
21 and are, I guess, ongoing.

22 Public Works Canada, and myself included,  
23 have met with the Council and gave an update to them, I  
24 haven't got the date in front of me but probably about a  
25 month and a half ago, perhaps two months, just a briefing

1 summarizing the status of the project, indicating we're  
2 heading into the current EA process.

3 So, we did give a bit of a briefing at  
4 that point in time and you did speak to previous  
5 involvement with Environment Canada back in the late  
6 '90s/early 2000. But just back to the question, what  
7 would you see being perhaps a formal process for this  
8 consultation?

9 MR. CHRISTMAS: Well, I think firstly, you  
10 know, it goes back to what we submitted -- we asked for  
11 adequate resources to, you know, get independent advice,  
12 so to speak, from people who know this business of  
13 environmental cleanups, and have them, in conjunction  
14 obviously with, you know, the relationship we've been  
15 developing present and do easily a number of  
16 presentations to community members in a public forum, so  
17 to speak, that would be specific to the concerns of  
18 Membertou residents in relation to their aboriginal  
19 culture, traditions, and again, in claiming, in our  
20 belief, our claims to the area. So you know, at our  
21 level that's how I see it.

22 MR. POTTER: Okay, thank you, Madam Chair.

23 THE CHAIRPERSON: Thank you. I will now  
24 ask if we have any other questions from other  
25 participants.

1                   As you know, I give priority first to  
2 people who are registered participants, registered who  
3 either have or are going to give a presentation, but then  
4 I will also take questions from others.

5                   Could I just see by a show of hands if any  
6 of the registered presenters have questions for Mr.  
7 Christmas. I see Ms. Ouellette, Ms. MacLellan, Dr.  
8 Ignasiak. Have I got everybody?

9                   Well, going from right to left, Ms.  
10 Ouellette. Can I ask for you to have one question and a  
11 follow-up, I think.

12 -----

13 --- QUESTIONED BY MS. DEBBIE OUELLETTE:

14                   MS. OUELLETTE: Hi, my name is Debbie  
15 Ouellette and I'm a former resident of Frederick Street,  
16 so you would know.

17                   My question to you, Bernd, is have you had  
18 any experts that came in and did any testing on the Coke  
19 Ovens and Tar Ponds so far to give you an idea of how bad  
20 the contamination is there?

21                   MR. CHRISTMAS: No.

22                   MS. OUELLETTE: Okay. Do you plan on  
23 doing that if you get any of the projects that are coming  
24 up, like say the cooling pond or any work on the Coke  
25 Ovens or Tar Ponds beforehand?

1 MR. CHRISTMAS: Well, I guess it depends  
2 on the process that is going to be established. I hope  
3 with Mr. Potter and his folks. Is that what you're  
4 asking?

5 MS. OUELLETTE: I'm just asking like your  
6 experts, are they going to come in and do any work prior  
7 to what the Tar Ponds and Coke Ovens ---

8 MR. CHRISTMAS: Oh, I see. I guess what  
9 I'm trying to get across is that, yeah, we haven't had  
10 any experts, and we'd like to have some independent  
11 advice that will review either the findings or maybe  
12 conduct their own.

13 MS. OUELLETTE: You're planning on doing  
14 that, as well.

15 MR. CHRISTMAS: Yeah.

16 MS. OUELLETTE: Thank you.

17 THE CHAIRPERSON: Thank you, Ms.  
18 Ouellette.

19 So Ms. MacLellan.

20 -----  
21 --- QUESTIONED BY CAPE BRETON SAVE OUR HEALTH COMMITTEE  
22 (MS. MARY-RUTH MACLELLAN)

23 MS. MACLELLAN: Thank you, Madam Chair.  
24 Through you to Mr. Christmas I have a couple of  
25 questions, with your permission. One of them is almost

1 like a two-part, but it's sort of the same thing.

2 In the past, when they started some of the  
3 projects, for example, the sewage treatment plant, some  
4 of the land over there I believe was originally owned by  
5 the Mi'kmaq, a graveyard, or somewhere in that area. It  
6 was either around there or around the creek, I'm sorry,  
7 I'm not sure where. But were you consulted -- was your  
8 community consulted at all before the process started?

9 MR. CHRISTMAS: To the best of my  
10 knowledge, no.

11 MS. MACLELLAN: Thank you for that.

12 When they set up the Liaison Committee  
13 that's now in place, were you asked to send membership  
14 there?

15 MR. CHRISTMAS: I think we were. I think  
16 we were through the Federal Government, but we declined  
17 because we believe we have a different position from a  
18 legal perspective as it relates to how to be consulted.

19 MS. MACLELLAN: That's what I was trying  
20 to get at, thank you.

21 Could you tell me a little bit about the  
22 health of the residents in Membertou? Are there high  
23 rates of diabetes and cancer?

24 MR. CHRISTMAS: Yes.

25 MS. MACLELLAN: Thank you.

1 THE CHAIRPERSON: Thank you, Ms.

2 MacLellan.

3 Dr. Ignasiak.

4 DR. IGNASIAK: Thank you very much, Madam  
5 Chair. Actually, my question was already answered, so I  
6 will not ask it again.

7 THE CHAIRPERSON: Okay. Thank you very  
8 much.

9 Is there anybody else present? Mr.  
10 Marman, I see you, and the lady over there. I will take  
11 the lady over there first, and then Mr. Marman, if you'd  
12 like to come forward with your question. And if you  
13 could give your name, please.

14 -----

15 --- QUESTIONED BY MS. CATHY THERIAULT:

16 MS. THERIAULT: My name is Cathy  
17 Theriault, and I'm a concerned citizen. Actually, I came  
18 today because I was really interested to find out what  
19 Membertou's experts would have -- like their findings,  
20 and I was shocked to hear that they didn't get the  
21 funding awarded to carry that research out.

22 And my question is, who's directly  
23 responsible for turning down that request for funding?

24 MR. CHRISTMAS: We don't know. We submit  
25 the requests and then -- as you can appreciate, Ottawa is

1 a big place.

2 MS. THERIAULT: So do you know what  
3 department that goes to or what ---

4 MR. CHRISTMAS: Well, our original request  
5 went to Environment Canada ---

6 MS. THERIAULT: Okay. Thank you very  
7 much.

8 MR. CHRISTMAS: --- when they were the  
9 lead in the ---

10 MS. THERIAULT: And to your knowledge, do  
11 you know of any other groups that were turned down for  
12 funding?

13 MR. CHRISTMAS: No.

14 MS. THERIAULT: Thank you very much.

15 THE CHAIRPERSON: Thank you, Ms.  
16 Theriault.

17 Mr. Marman.

18 -----

19 --- QUESTIONED BY GRAND LAKE ROAD RESIDENTS

20 (MR. RON MARMAN)

21 MR. MARMAN: Thank you, Madam Chair.

22 Indeed, all the people in Cape Breton are  
23 quite proud of the advances made in Membertou. We're  
24 really impressed with what has been going on there, and  
25 the development happening there, and I guess a lot of

1 people are quite grateful for the employment that the  
2 native community has provided for all people in this  
3 area.

4 One of the things that I look at is the  
5 beautiful Convention Centre that's up there, and I just  
6 wonder do you feel, Mr. Christmas, that the bad  
7 reputation this tar pond has is causing some people  
8 concern with using your facilities, people to come from  
9 away and book your facility for a convention or whatever?

10 MR. CHRISTMAS: No, not that I can tell  
11 from my staff that deal with the Convention Centre, there  
12 hasn't been anything like that. I don't know if it's an  
13 amusing anecdote, but we get some people who want to come  
14 and actually see it, get a tour.

15 MR. MARMAN: Takes all kinds, I guess. Do  
16 you think that the quicker this project gets started that  
17 the more benefit will be for, you know, all areas of Cape  
18 Breton?

19 MR. CHRISTMAS: Yes, of course. We have  
20 said that publicly. My Chief has said that publicly.  
21 We'd like to get this thing done as fast as possible.  
22 It's for the interests, whether it's aboriginal or non-  
23 aboriginal peoples.

24 MR. MARMAN: Thank you very much.

25 THE CHAIRPERSON: Thank you, Mr. Marman.

1 I think I see one more question, yes. Mr.  
2 -- I've lost your name, I'm sorry. Yes, McMullin.

3 -----

4 --- QUESTIONED BY MR. DAN MCMULLIN:

5 MR. MCMULLIN: Good afternoon, and I, as  
6 well, just came in, but I surely would like to  
7 congratulate you, Mr. Christmas, on the progress at  
8 Membertou, tremendous progress over the last 10 years, as  
9 I recall.

10 I have a question regarding the recent  
11 appointment of yourself to the Board of Directors of  
12 Bennett Environmental. Our concerns here about  
13 incineration techniques have led us to research many of  
14 the companies involved, both locally and internationally,  
15 and I'd like to know what your position is with regard  
16 to the use of incineration in the cleanup of the Sydney  
17 Tar Ponds.

18 MR. CHRISTMAS: Well, for me to answer  
19 that it's a bit tough because, again, I don't fully  
20 understand the inner workings of how incineration works,  
21 so to speak. I think the Board of Bennett had asked me  
22 to join their Board because of the activities they're  
23 going to be doing across the country within aboriginal  
24 lands, and they wanted advice on that.

25 MR. MCMULLIN: So we have no indications

1 here that your joining the Board of Bennett would, in any  
2 way, indicate that you are positive about incineration  
3 techniques being used in the cleanup.

4 MR. CHRISTMAS: Well, again, I guess the  
5 issue here is that we don't -- myself personally and  
6 Membertou itself doesn't know pros and cons of  
7 incineration.

8 MR. MCMULLIN: So you have no position on  
9 incineration.

10 MR. CHRISTMAS: Right.

11 MR. MCMULLIN: Thank you very much.

12 THE CHAIRPERSON: Thank you.

13 I'm seeing no more questions.

14 MR. POTTER: Madam Chair, could I get  
15 another question?

16 THE CHAIRPERSON: Mr. Potter, you have  
17 one? Yes.

18 -----

19 --- QUESTIONED BY THE SYDNEY TAR PONDS AGENCY:

20 MR. FRANK POTTER

21 MR. POTTER: Thank you. The mandate of  
22 the panel is to consider the current uses of lands and  
23 resources for additional purposes by aboriginal persons.  
24 I wonder if Mr. Christmas can identify what the current  
25 uses would be, and what the impacts that are currently

1 happening right now.

2 MR. CHRISTMAS: Well, that would be very  
3 difficult for me to answer right at this time, and I  
4 think it again goes back to you'd have to come back to  
5 the community and get their views on this. Hence the  
6 consultation process. It's a two-way street, so to  
7 speak, you know. You give us information, we give you  
8 information. I think that's how we should try to work on  
9 this.

10 THE CHAIRPERSON: Thank you, Mr.  
11 Christmas. So thank you very much for your presentation.

12 We will now take a 20-minute break before  
13 we come back. We will -- Sydney Tar Ponds Agency will be  
14 making a presentation, a follow-up presentation with  
15 respect to issues around the capping, proposed capping,  
16 and also questions around the capacity of the remediated  
17 sites to support future land uses. These will be  
18 followed by questions.

19 So it is now -- we will return at 5  
20 minutes pas 2:00. Mr. Christmas, thank you very much.

21

22 --- RECESS AT 1:45 P.M.

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

--- RESUME AT 2:07 P.M.

THE CHAIRPERSON: Okay, now ladies and gentlemen, we will begin the session again. The next item on the agenda is a follow-up presentation by the Sydney Tar Ponds Agency addressing the capping and future uses. So Mr. Potter. This is an hour, I gather.

MR. POTTER: It should be about 50 minutes on the capping and future land uses. We were going to add in, if you recall, a very brief section on the continuous emission monitoring aspect, about ten minutes. And I understand we'll break after the presentation then come back for questions, is that correct?

THE CHAIRPERSON: Yes, that's correct.

MR. POTTER: Thank you.

THE CHAIRPERSON: Okay. Thank you.

MR. POTTER: I'll ask Mr. Shosky to begin the presentation. Thank you.

-----

1 --- PRESENTATION BY SYDNEY TAR PONDS AGENCY

2 (MR. DONALD SHOSKY)

3 MR. SHOSKY: Thank you, Mr. Potter. We  
4 can go to the next slide. I thought what we would start  
5 with today is going through some sites that were similar  
6 in nature in the sense that they're all redevelopment  
7 projects. I, personally, worked on most of them in  
8 different parts of the world.

9 This particular site here was a  
10 manufactured gas plant site in Brisbane, Australia. And  
11 the -- this is a pre-photograph of that particular site  
12 before any remediation was done. It was a manufactured  
13 gas plant site for about 100 years. And once this site  
14 was cleaned up, about a billion dollars worth or sorry a  
15 half a billion dollars worth of redevelopment took place  
16 on it.

17 In this particular case, the cost of real  
18 estate was so much higher than the cleanup value was, the  
19 choice was to remove the material, stabilize it in a  
20 monolith offsite and contain it in that fashion. But as  
21 soon as the cleanup is completed and it's expected to be  
22 completed this year, there'll be residential development  
23 back on this area. Go ahead.

24 One a little bit closer to home is a park  
25 that in 1983 was closed in the Detroit area because of

1 manufactured gas plant contamination again, coal tar  
2 residues. There was a cap put in and some materials and  
3 cover soils put on that site and the park was re-  
4 established. But we have a number of cases like this.  
5 This is one of probably five or six that I personally  
6 have worked on. Again, it depends on the value of the  
7 land as far as the future uses go.

8 We'll go to the next slide. Ready to go  
9 to the next one. This is one that I gave the Panel a  
10 write-up on. It's the Taunton, Massachusetts facility.  
11 It's the one we're saying is similar to the Tar Ponds  
12 site in the sense that there was some river dredging and  
13 star stabilization using cement. And there's on site  
14 capping as well as a slurry wall and vinyl sheet piling.  
15 We gave an extensive write up on that one yesterday.

16 And these are a couple of my personal  
17 favourites and also some of the larger ones that I've  
18 worked on. On the right here, pre-cleanup phases is an  
19 area of Melbourne, Australia called the Docklands area  
20 which you can get to if you look at -- if you look up  
21 Docklands.com. And the site itself was a huge  
22 undertaking because it was a very large manufactured gas  
23 plant site. Again, materials were moved from the site  
24 because the cost of real estate was so much higher there  
25 that they were stabilized off site using cement and

1 ultimately buried in a monolith.

2 Go back please. On this project over  
3 here, back in the U.S. I was the technical director on a  
4 project in San Diego, California where after the  
5 manufactured gas plants waste were cleaned up the new  
6 Padres Stadium was built on top of it. Okay.

7 This is our backyard. And what I thought  
8 I'd do first is go through the engineering controls one  
9 more time that we have in place. We kind of talked  
10 extensively about the capping scenario or cross sections  
11 of some of the other areas. So I'll show a few other  
12 details so that it'll give people a better understanding  
13 of how the stabilized mass will be contained over time.  
14 Can you go back please?

15 In this photo we have our channel, our  
16 open channel that will be constructed in this area. This  
17 is a good frame of reference for a lot of the new -- for  
18 the additional slides that'll come up later in that we're  
19 trying to maintain that open channel. Right now there is  
20 a barrier being constructed here with a 50 metre opening.  
21 And the channel width that will remain open for the fish  
22 passages and things like that.

23 So what we'll do next is we'll go to one  
24 of the details on the side of this channel so that it'll  
25 give you an idea of what that material, what that

1 containment structure looks like on the side where that  
2 open channel will be. In this case, basically, as we  
3 discussed earlier, we're planning on putting in Riprap  
4 anchor protection on one side, on the side where the  
5 monolith is. We will have a combination of liners and  
6 Riprap and a number of things that keep the monolith  
7 contained to the right.

8 The sediments from that will be removed  
9 from the channel, will be removed, the liner placed  
10 underneath and gravel and -- not gravel, but probably a  
11 two-inch minus rock will be placed in this area here in  
12 order to keep the liner down but also maintain that  
13 channel structure. So as you can see the monolith from  
14 an engineering perspective will be constructed in such a  
15 fashion that the materials will be contained. We show  
16 another picture here of a view of the cap itself. And  
17 these are things we just need to keep in mind as the rest  
18 of the discussion continues.

19 Next slide please. At the front where the  
20 barrier wall is, this is the current project that's going  
21 in right now or not -- it's just -- tenders were just  
22 received on it. It will be constructed this summer.  
23 With the rock barrier wall there was a mention made of  
24 permeability of that wall and things of that nature. As  
25 part of the remediation, this wall would still need to be

1 constructed in order to keep the sea from entering some  
2 of the work areas. In this case we're planning on  
3 increasing the content of cement along this facial  
4 structure here in order to give it a harder protective  
5 capabilities, rather than installing liners on that  
6 portion there. We intend to put in a more robust higher  
7 concentrations of concrete than what some of our recipes  
8 are showing now.

9 And you'll notice that when we get out  
10 that far, this is a little -- the scale's a bit distorted  
11 here because we're finalizing some of our final grading  
12 plans and things like that but you'll see that by the  
13 time we get out that far the impact of sediments are much  
14 thinner in thickness than they are the further inland  
15 that you go. As we go through these, these are not what  
16 we're considering proposed. This is just open  
17 discussions on possibilities.

18 And the possibilities that could take  
19 place here, just like we saw with some of the other  
20 projects that I mentioned earlier, it's important to have  
21 an end point in mind when you start a lot of these  
22 projects. You'll see some ideas thrown out here. As Mr.  
23 Potter stated earlier, we feel that the current state of  
24 the design could support a number of multi-uses. The  
25 purpose of this particular series of slides and

1 discussions now is to go over exactly what sorts of  
2 things could be done.

3 And we'll start off in the Tar Ponds area.  
4 These smaller trails here are for -- we would consider  
5 for biking and things of that nature. And they would go  
6 out along the barrier wall and have a nice trail setting.  
7 As we discussed earlier the geotechnical capabilities of  
8 the cap to support that sort of light traffic and even  
9 some parking lots is more than suitable for that. Some  
10 of the other things that you'll note on here, possibly a  
11 basketball court, soccer fields or other sports fields.  
12 Basically a recreation area for use by a lot of different  
13 people.

14 There has also been some thoughts given to  
15 having an area down here where that could be possibly a  
16 little bit larger paved area where there could either be  
17 parking for the sporting events or the soccer fields or  
18 be able to come in and have some special events like a  
19 farmers' market or something like that. The big green  
20 space -- the spaces up here could include an observation  
21 deck because you do get a good view out there. Once you  
22 have access to that area, there's a nice view out there.  
23 Some picnic tables. As we can see some spots like that  
24 so it's a -- it would be a spot where people could get  
25 together and enjoy each other's company. Go ahead.

1                   Along these same things now, we feel  
2                   pretty comfortable that based on the geotechnical  
3                   criteria that we've proposed so far that there are  
4                   certain areas of this that could be also in light  
5                   industrial area development. And as we talked earlier,  
6                   we believe that the final land use in these areas could  
7                   also support some buildings, one storey buildings in  
8                   these areas, some office spaces where there might be a  
9                   garage attached to the back where deliveries could take  
10                  place.

11                  For the type of vegetation that we've  
12                  shown in each one of these, we've talked to some local  
13                  people about the types of vegetation that would be most  
14                  suitable in these areas and we have a listing of the  
15                  types of plants. Looking at the areas that are capped,  
16                  the thickness of the cap, these areas up here from the  
17                  SYSCO site coming onto the Tar Ponds just because of the  
18                  way the grading will have to take place will be several  
19                  metres thicker in soil coverup in this area here, than  
20                  closer to the channelized area. Yet there are, depending  
21                  on what we wanted to put in there for beautifying those  
22                  particular channels there's options to put a variety of  
23                  different vegetation there.

24                  You'll see in this case, too, that we have  
25                  a more robust road system that goes partially through the

1 site allowing people to get in and out for commuting to  
2 work, along again with some biking type of trails and  
3 hiking type of trails along this area. So in a lot of  
4 urban areas now you're seeing a lot of these designs  
5 going towards this sort of natural environment setting  
6 for office spaces. It makes people feel a lot better  
7 when they go to work. They can go out and take a walk or  
8 a bike ride or something like that. And there's still  
9 areas down here where after the work week's done in  
10 particularly good weather in the summer that people could  
11 congregate and listen to music and things of that nature.

12 Let's go to the Coke Ovens site. There  
13 was a question earlier about the areas that were going to  
14 be capped. Under the current proposal this really is the  
15 area here that's going to be capped, you'll see that it  
16 has some topographic relief to it because of the  
17 different realignments that have taken place with the  
18 Coke Oven Brook realignment and a few other things. But  
19 let's take a look at what this could potentially be if we  
20 go ahead and doll it up a bit.

21 What's nice about this is that we have  
22 approximately 150 hectares right here in the middle that  
23 would serve as very nice green space, where you can see,  
24 as we talked about earlier, there were areas that trees  
25 could go in and some vegetation could be established.

1 This parking area over here because of the nature of what  
2 would be done at the tar cell, that material's destined  
3 right now to be removed and incinerated, could also  
4 support a more extensive vegetation. But for the sake of  
5 just putting a parking lot on there for now, that's what  
6 we did. You'll see that there's a potential to support  
7 ball fields. Again, a series of trails and some dressing  
8 up of some of these water courses that are there.

9 We also felt that there is probably a need  
10 for a bit of topographic relief out there and hence there  
11 would be some additional work possibly that would take  
12 place in this area here that we're calling a high point.  
13 Again, soccer fields, recreation, outside basketball or  
14 tennis courts are all possible under these scenarios.

15 If we look at what the industrial side of  
16 this would look like, again, rather than just having a  
17 large open area that's compacted with slag, or something  
18 like that, it's possible to come in and include a lot of  
19 greenery in areas where the cap -- along the edges of  
20 where the caps are designed to be.

21 And again, the criteria of the monolith  
22 that we are showing right now should support this sort of  
23 traffic with the heavier road. These industrial -- light  
24 industrial areas, or small office complexes, could easily  
25 be supported with the criteria that we have there.

1                   We'll just throw up some cross-sections,  
2                   because the question came up on how do we maintain  
3                   integrity of the cap, and the best that I can tell is,  
4                   any future development that will be of concern of not  
5                   only to the people that are redeveloping it, but  
6                   citizens. And I think that there'll be -- typically what  
7                   happens is that there's some restrictions on what can  
8                   happen, but what will probably primarily drive what  
9                   happens out there, is the ability for the cap to be  
10                  maintained.

11                  So, when we do these evaluations, the very  
12                  simple capping system that we had showed historically out  
13                  there involves anywhere from .3 meters to a meter of  
14                  clay. In order to get the same efficiencies, one would  
15                  need to instal synthetic liners in order to achieve the  
16                  same level of protection.

17                  This is commonly done in a lot of  
18                  different situations right now where there's either  
19                  landfill capping that have been turned into golf courses,  
20                  green spaces that have been turned over after  
21                  stabilization's been done.

22                  We're still not particularly proud of the  
23                  tree rooting system here, but the idea here is that where  
24                  we would put in large strands of trees, near areas where  
25                  there might be some stabilized material, there would have

1 to be special care taken, in order to ensure that there  
2 was enough soils placed above that material in order to  
3 sustain trees and grasses.

4 On the concrete slab on grade scenario,  
5 it's pretty straightforward in this case, the way it can  
6 be distributed in such a fashion with concrete slabs that  
7 it's possible to get a very low psi pressure. So we  
8 don't need to worry so much about subsidence and things  
9 of that nature.

10 It's possible to have this be a bike  
11 trail, a road, a concrete slab for a building, a parking  
12 lot, a whole variety of uses.

13 There was a project that I finished in  
14 Alaska two years ago where this was basically the final  
15 -- part of what the final design was. It was an asphalt  
16 slab for some storage units over a solidified monolith.

17 In this case, this would be for shallow  
18 infrastructure applications, let's say irrigation systems  
19 for parks or golf courses, although I guess it's  
20 debatable with the amount of rain you get here whether or  
21 not you would need this or not.

22 Typically what happens is that again, in  
23 order to eliminate any pathways for prematurely having  
24 precipitation go through the cap into the underlying  
25 materials, we would typically line these areas with HTP

1 lining material or irrigation pipe.

2 About two years ago, I finished a project  
3 similar like this in Santa Barbara, California, for the  
4 MTV. They were planning on building out an electrical  
5 train trolley station, and we had to go in and surgically  
6 remove a lot of impacted soils for the utility corridors.

7 So, properly planned, these sorts of ideas  
8 are easily implemented in the field. It's not an unknown  
9 way to do it, it's just a fact that you have to take a  
10 little bit of extra care when you decide to go back into  
11 these areas and work on them.

12 So what do we do with some of the deeper  
13 material. Because we do have a lot more deeper issues  
14 with larger infrastructure projects, again the idea here  
15 is, whether it's a water line, a sewer line, or something  
16 like that, is to come in and be able to isolate those  
17 areas that you're actually going to be working so that  
18 there's a sense that the infrastructure that's being  
19 installed can be installed safely, that it's not going to  
20 become contaminated by having outside materials migrate  
21 in.

22 Typically what happens when that happens  
23 is that you come in and you remove the portions of the  
24 monolith that you need to, possibly re-treat the  
25 material, and then, as part of your ultimate reuse of

1 that area, have a place for that material to go before  
2 you finish your work. Again, this is something that's  
3 pretty commonly done. It's not rocket science to do it,  
4 it's just extra care when you go in and do it, do the  
5 work.

6 On the deeper foundations that I've got  
7 portrayed there, it's the same sort of analysis. It's  
8 possible to get the right spread footings in order to not  
9 compromise the lighter load that this particular monolith  
10 has on it now.

11 It is possible, of course, always to  
12 increase the compressive strength characteristics of the  
13 monolith to make it a bit stronger, but as you heard the  
14 guys from the Cement Association talk, there is a fine  
15 line there before you'd want it too hard so that you  
16 can't get back into it and make any adjustments to it  
17 later.

18 So again, this is a situation where you  
19 want to try and keep the construction for the workers  
20 that are going in there as clean as possible. So you'll  
21 remove the contaminated material, you'll line the areas,  
22 and then proceed typically with your normal construction  
23 procedures.

24 In areas where we don't -- where we are  
25 concerned with vapours, things like that, which we're

1 not, in this case, there's usually vapour control systems  
2 that are installed at the bottom of the foundations of  
3 the buildings in order to redirect those vapours outside.

4 Again, pretty straightforward, pretty  
5 simple solutions to these all have been implemented in  
6 different Brownfield cases across the world.

7 Sit down for a moment, and if everybody  
8 could just kind of put this to memory what I'd like to do  
9 is go back to one of the earlier pictures so I can  
10 actually point out the different areas where we would  
11 look for cap integrity and some of these things, rather  
12 than just reading it off a list. But if you want to take  
13 a look at that, there's a detailed undertaking that we  
14 gave the panel earlier this week. It would be  
15 undertaking 15 that we turned in.

16 Let's go back to one of the Tar Ponds, and  
17 then we'll go to the Coke Ovens.

18 In order to ensure that we have a good  
19 basis for our capping scenario, and that we can reuse it  
20 later, we start off with monitoring the actual  
21 construction of the monolith first. So end-use  
22 monitoring is part of it, but you have to make sure it's  
23 built properly to begin with.

24 So I'll briefly go through some of the  
25 things that we would anticipate that would have to be

1 done during these activities to ensure that this was done  
2 properly.

3 If we can all remember back again, too, is  
4 that we have the leachate lines in here that are -- that  
5 if they did have material in them could discharge to the  
6 open channel. Of course, the valves are closed, so it  
7 wouldn't be a problem, but there would be ultimately  
8 monitoring of those facilities along the channel  
9 themselves.

10 Let's go back to the cap. A component in  
11 the cap is the geosynthetic clay liner, which comes out  
12 in a roll, and I think we talked about this a little bit.  
13 It's clay that is embedded between two rolls of felt.  
14 That has certain specifications that have to be followed  
15 as far as overlappingness of the liner material.

16 The clay caps that we were talking about,  
17 as well, all these areas here would have to be compacted  
18 throughout this entire area to meet certain standards.

19 So before we put a lot of the trees or  
20 basketball court or parking lot, or anything like that,  
21 out there, we would need to make sure that all of the  
22 clay was compacted properly at the right lifts, and we do  
23 that a number of different ways.

24 You set up compaction testing using  
25 nuclear densometers to measure compaction. You're always

1 looking to make sure that you're shooting your proper  
2 grades in order to make sure that the fill over your cap  
3 is appropriate.

4 You'll also notice that before we put  
5 anything on we'll be looking at trying to control surface  
6 water from storm events. Right now, all our run-on and  
7 run-off control events are -- we have looked at a 1-in-  
8 100 year storm event as our method of run-off and run-on  
9 control. So all the diversions there that we've  
10 anticipated so far have been looked at with that in mind,  
11 so it's a 1-in-100 year storm event.

12 During the construction phase, depending  
13 on how far the cap is, we'll have some sedimentary ponds  
14 and things like that, so that we don't get a discharge of  
15 sediments out into the harbour. Those will be monitored  
16 and, if necessary, tested chemically.

17 And I think we talked about the silt  
18 curtains that we were going to install during the  
19 creation of these channels.

20 And, of course, we would be doing air  
21 monitoring during all of this around all the work area  
22 for dust, certain type of indicator chemicals. We'd also  
23 be monitoring the wind velocity, gusts, humidity and the  
24 noise.

25 If we can go to a similar drawing for the

1 Coke Ovens. On the Coke Ovens Site, basically we would  
2 follow the same type of procedures. We would have the  
3 density compaction testing of all the clay cap material  
4 before anything obviously was put on. And we would be  
5 controlling all the surface water run-offs to make sure  
6 that we weren't getting siltation inside these newly-  
7 constructed water courses. And the air monitoring would  
8 take place during all the activities of construction.

9 So once that part's built and we start  
10 putting some vegetation on it, what would it look like  
11 when we start to monitor it. If you could go back to the  
12 previous slide, please.

13 If we're looking at this scenario, for  
14 example, we know, as I stated earlier, that we would be  
15 checking periodically on our leachate lines to make sure  
16 that we were not getting water in them.

17 If we are getting water, that water would  
18 be checked and tested to make sure that we were able to  
19 discharge it, and it wouldn't be discharged until we were  
20 -- had determined that it was safe to discharge. And if  
21 it was discharged, it would be discharged into the  
22 channel.

23 If it were dirty, we would set up a  
24 treatment system in order to treat that water and handle  
25 it according to whatever regulatory requirement we needed

1 to meet in order to discharge it.

2 In the water from those systems, should  
3 water show up, we'd be looking at sampling it for PCBs,  
4 PAHs, PPH, BTEX, metals, PH, following a quality  
5 assurance/quality control programme for all the samples  
6 collected.

7 Now, once we start revegetating these  
8 areas and working on them, we would also continue to  
9 verify that the cap integrity has been maintained. So  
10 we'd be looking over these areas for cracks or  
11 subsidence, we'd be checking these areas for erosion  
12 problems. We don't expect any erosion problems, because  
13 our slope is so flat towards this channel, but we would  
14 be checking for those, and they'd be corrected.

15 Storm surge events we would expect to be  
16 mostly focused in this area up in here from either the  
17 ocean or different surface water levels, maybe from a big  
18 storm event.

19 So these areas here would be inspected  
20 very regularly for erosion, too, to wind or storm surges.

21 Having seen some of the storms out here,  
22 they do kick up quite a fuss sometimes, and this would be  
23 a pretty important component of any monitoring programme,  
24 would be to go in and monitor that and make sure that it  
25 was acceptable, and, if not, do repairs to it.

1                   Throughout this process, too, we'd be  
2                   looking and checking all the discharge areas for  
3                   siltation problems and controlling any open areas to  
4                   water and things like that that could cause a siltation  
5                   problem. They would have to be controlled.

6                   In looking at the types and diversity of  
7                   vegetation that we've been -- expressed to us that we  
8                   could place out here, we see that there is quite a  
9                   habitat that could be developed here for birds and other  
10                  animals that may not be there at this point. It's just a  
11                  nice, we believe, after looking at it, that there's quite  
12                  a bit of opportunities there for trees and bushes and  
13                  things of that nature. And we also would ensure that  
14                  this fish passage area would remain open by doing the  
15                  monitoring of that to ensure that that requirement was  
16                  being met.

17                  If you go to the Coke Ovens Site, the Coke  
18                  Ovens Site, in a lot of respects, is a lot easier to deal  
19                  with because you have an area up here that's fairly large  
20                  that you can walk around and look for subsidence and  
21                  things of that nature.

22                  The series of trails and trees and  
23                  vegetation always helps with not only giving a much  
24                  better visual appearance, but also being able to take on  
25                  more water, have less runoff issues.

1 In this case, we would have a series of  
2 monitoring wells that we'd be looking at, and we did  
3 expect to have some discharge of water over time, and our  
4 treatment plant for that would be somewhere down in this  
5 area here, probably, for the long term water system.

6 I would envision a building that was  
7 something that was compatible with whatever our final  
8 park design would be, if there's a particular motif that  
9 would be used or something like that. Our discharge  
10 point would be down here, so it would be monitored  
11 regularly for PAHs, PPH, benzene, metals, PH.

12 We'd also look at storm events that would  
13 come down here. As I stated earlier, we try -- this is  
14 currently looked at as about a 1-in-100-year storm event,  
15 so it's got a pretty robust design criteria in it now,  
16 but, as usual, having been a surface hydrologist for a  
17 while, sometimes you get some storm events that are  
18 higher than that.

19 So those areas would need to be inspected  
20 after the large storm events to make sure that the riprap  
21 was in place, and that the vegetative cover along the  
22 channels was still acceptable.

23 And as you can see, by being able to put  
24 in a lot of these additional trees and shrubs, we've  
25 created a lot more habitat development -- habitat area

1 down there. And by putting in extensive biking and trail  
2 system -- as one of the doctors explained yesterday,  
3 there's just a shortage of that sort of stuff in Sydney  
4 right now, and we felt that by having a lot more of those  
5 kind of opportunities for people, it would be a much more  
6 pleasant area.

7 We felt it was important, and we kind of  
8 talked about this in the context of what some of us  
9 envisioned. Over the last couple of days we've  
10 definitely gotten the impression that a lot of people  
11 think that it was just going to be left as a big open  
12 area that was just going to become overgrown with weeds,  
13 and nobody would take care of it.

14 But I think the vision's better than that,  
15 and while it still needs to be decided what people want  
16 there, the fact of the matter is is it will be a  
17 contained -- environmentally contained system with an  
18 appropriate series of monitoring on it, and a whole lot  
19 of very diverse things that can be done out there with  
20 the land, once it's turned back over to public use.

21 I don't think I took my 50 minutes, but  
22 the next part is the incinerator stuff. Or we can leave  
23 it at this for now, if you'd like.

24 THE CHAIRPERSON: Well, thank you very  
25 much, Mr. Shosky. I assume you're just going straight

1 through to the completion. I think we're going to come  
2 back with questions after a break, so if you want to  
3 complete the presentation or ---

4 MR. SHOSKY: Sure. You can go ahead and  
5 turn this small one off, go to the next one.

6 Okay. We thought it was important that we  
7 go through a couple of things here. One is, this is our  
8 yet-to-be-decided typical type of incinerator flow chart,  
9 and the comment that came back earlier was that we should  
10 take some time to talk about dioxin monitoring on stacks  
11 and things of that nature.

12 Before we do that, I think it's important  
13 that we go ahead and run through the incinerator  
14 technology again, briefly, and kind of explain where the  
15 state of the art is as far as treatment goes.

16 There was an awful lot of discussion about  
17 the various contaminants that are going into the  
18 incinerator and things we needed to worry about. Those  
19 things included some heavy metals and PCBs, and the  
20 creation of dioxin at the end.

21 We've -- this flow chart actually  
22 describes three different types of dioxin-treating  
23 emission controls, and we'll just go through that  
24 briefly, because I think it all needs to go in  
25 perspective before we start talking about monitors.

1                   We know that this is the feed that comes  
2                   in, and we talked about this. If we were to have some  
3                   problems with the incinerator, the first thing that would  
4                   happen is that we would cut off the feed so that no more  
5                   impacted soils would continue to go through the  
6                   incinerator.

7                   Then we have our combustion chambers. We  
8                   located the bypass control, and then we're looking really  
9                   at these three technologies here as potential dioxin-  
10                  controlling technologies. And the lime in carbon is very  
11                  commonly used for dioxin control, particularly on large  
12                  industrial garbage incinerators, municipal garbage  
13                  incinerators. A baghouse is very commonly used.

14                  Wet scrubbing systems, as our friends  
15                  discussed a couple of days ago, enables us to rapidly  
16                  quench the gases, so that it lowers the temperature of  
17                  the gas in a very rapid fashion so the dioxins don't  
18                  form.

19                  There's a number of technologies on the  
20                  market now, and each one of these cases allow some sort  
21                  of treatment of dioxin or prevention of dioxin prior to  
22                  it going out the stack.

23                  There's bags on the market now that create  
24                  a catalytic reaction that allow gases to be -- potential  
25                  gases that contain dioxin to be neutralized and catalyzed

1 before release. This is a common technology. It's also  
2 very good for the mercury and some of the other things  
3 that we're concerned about there.

4 And this wet scrubber system -- very  
5 seldom are all three of these systems implied on any  
6 particular incinerator. They are -- more incinerator  
7 vendors are looking at putting them in sequence, you  
8 know, because there's been more of a demand for that, and  
9 that's why we have it included on this flow chart.

10 Before we ever get to monitoring dioxins  
11 here, there's a number of operating parameters that we're  
12 concerned about, as an operator of an incinerator, that  
13 would give us an indication that we might have a problem.  
14 And they're going to be pretty simple ones that are there  
15 as part of discussions, because all the pieces of  
16 information that get collected during a particular day of  
17 burning, all have to be evaluated to ensure that  
18 machinery is operating properly. And when it's operating  
19 properly, it means that the emissions are being  
20 controlled properly.

21 So the sorts of things that we'd be  
22 looking for are just the mechanical interactions between  
23 the different systems; are things running at the proper  
24 rates and speeds that we anticipate them to run at, or  
25 feel comfortable running at.

1 An important precursor to determining  
2 whether or not you've got dioxins or not are the various  
3 temperatures within the system itself, and there's  
4 temperature points that would be monitored here, here,  
5 here, here and here and typically here. So there's five  
6 or six points, at least, where temperatures would be  
7 monitored regularly, and temperature is a critical  
8 component in the formation of dioxin during any portion  
9 of this process.

10 So those would be monitored on a regular  
11 basis. If they don't fall into the range that would be  
12 the safe operating range, it would cause concern for the  
13 operator of the unit so that they could come back and  
14 adjust the temperature either up or down to ensure that  
15 it's operating at its proper efficiency.

16 The other thing that we would look at are  
17 the various pressure points and air flow rates within the  
18 system itself in order to make sure that there is either  
19 not enough or just enough oxygen to get our complete  
20 combustion to occur.

21 Some of those parameters also, if not  
22 monitored properly, can potentially form dioxins in the  
23 emissions.

24 The other thing you want to pay particular  
25 attention to are the usages that you have of your various

1 additive consumptions, whether it be lime or carbon, to  
2 make sure that that's flowing properly, that you're  
3 getting the proper dose of your lime or carbon in there  
4 in order to ensure that the gases are not being  
5 transformed over to dioxin and creating a problem.

6 So we have a number of parameters that  
7 have to be monitored on the incinerator prior to relying  
8 on the stack. It has to be done that way, because you  
9 are trying to anticipate problems before they happen.

10 I think we talked in one of our response  
11 submittals about the type of continuous monitoring that  
12 would be taken at the monitoring station. There's a  
13 bunch of indicator parameters I think we listed there. I  
14 won't go into them now, but we will go over to the next  
15 slide.

16 Based on looking into some of the  
17 suggestions that we received from various members of the  
18 audience, we came up with a list. It might not be the  
19 total list of all of the types of equipment that possibly  
20 could monitor for precursors of dioxin, but it is a list.  
21 It shows that -- the various compounds that can be  
22 analyzed, most of them are precursors.

23 As with any other indicator piece of  
24 equipment, sometimes you get false positives, sometimes  
25 you get false negatives. That information, in

1 conjunction with the other mechanical properties that we  
2 talked about of the unit with temperature, pressure, and  
3 things of that nature, would all have to be taken into  
4 account.

5 But we can see that none of them -- there  
6 are some that go from 20 seconds to 15 minutes, some from  
7 2 to 6 hours. They're not instantaneous readings like  
8 you would get from a continuous monitor that reads out on  
9 a chart. So there is some time involved with collecting  
10 the data, analyzing it, making sure it's not a false  
11 positive or a false negative, and analyzing that  
12 information before it was released. So it's not a  
13 continuous monitor like some of the other more  
14 traditional monitors are.

15 The stack testing period that we would  
16 normally do for an incinerator of this nature would be a  
17 couple of times a year where you actually did monitor the  
18 actual concentrations of dioxin in sending it out to a  
19 lab.

20 Just so that everybody is kind of on the  
21 same page on this, and probably why there's a bit of  
22 concern about it, is that that lab analysis that you  
23 receive back on that dioxin testing usually runs a couple  
24 of weeks to -- you know, anywhere from two to five weeks,  
25 depending on the laboratory that you send it to, and it's

1 extremely expensive.

2 So in a nutshell, this is what we -- this  
3 is a partial list of what we are here to talk about. We  
4 welcome questions on the equipment. They're precursor  
5 items that would, in some cases, be okay.

6 I will say that there's not years and  
7 years and years of operating data on a lot of these  
8 systems right now, and a lot of the information that is  
9 presented, particularly in the internet, is mostly sales  
10 stuff.

11 So there would -- during the detailed  
12 design, if it were decided to go with investigating these  
13 types of detection systems, some diligence would have to  
14 be done with the people that are using this equipment now  
15 to ensure that we understand what the results are that  
16 are being given to us.

17 Thank you very much.

18 THE CHAIRPERSON: Well, thank you very  
19 much, Mr. Shosky, for those two presentations.

20 The panel is now -- we would like to take  
21 a 25-minute break before we come back for the question  
22 period, so that would mean that at 20 past 2:00 we would  
23 resume. So thank you. Well, that would be going  
24 backwards, wouldn't it, so we'll try to keep going in a  
25 forwards direction, so 20 past 3:00.

1 --- RECESS AT 2:54 P.M.

2

3

4

5

6

7 --- RESUME AT 3:24 P.M.

8

THE CHAIRPERSON: Ladies and gentlemen, we  
9 will resume the session.

10

The main presentation made by the  
11 proponent was on capping and the capacity of the  
12 remediated sites to support future land use, and there  
13 was also a brief presentation with respect to monitoring,  
14 that's monitoring for the incinerator.

15

I think what we're going to do, first of  
16 all, is, we're going to focus on the main presentation  
17 with respect to capping and future use, and the panel has  
18 a number of questions, and then I will open it for  
19 questions from others on that topic.

20

And then we'll see how the time goes. If  
21 we have time, we may then open the questioning on the  
22 second issue, but if we don't, what we'll do is we'll  
23 just put that forward till Tuesday, which is when the  
24 panel has asked the proponent to be here for a block of  
25 questioning, a follow-up block of questioning by the

1 panel and by other participants. So we may move that  
2 subject on.

3 So, in a nutshell, first of all let's  
4 focus on capping and future use. Dr. LaPierre, you have  
5 some questions.

6 -----

7 --- QUESTIONED BY THE JOINT REVIEW PANEL:

8 DR. LAPIERRE: Good afternoon, and thank  
9 you for the presentation.

10 Mr. Potter, I have a series of questions,  
11 and I think what I'll do, I'll ask them in stages, but  
12 they relate to trying to help us get a better  
13 understanding of the compressive strength of the  
14 monolith, and what it entails for the stabilization and  
15 solidification.

16 I guess the first question we have is --  
17 well, first of all, the statement that you made earlier  
18 today was that 50 percent of the -- close to 50 percent  
19 of the PCBs would still be held in the Tar Ponds.

20 Now, accepting that the PCBs would have to  
21 be contained, you'd have to have some security that the  
22 PCBs are not going to move in relation to the cap, I  
23 guess a few questions.

24 The first one is you've identified that  
25 the strength of the cap, the psi, you're looking at 14 to

1 17 or 14 to 19, so it gives you some plasticity in the  
2 system, and I guess we heard in the presentation that  
3 that allowed you to move into the cap and do some  
4 digging, and it's fairly easy to get into the cap.

5 I guess the question I have is ---

6 MR. POTTER: If I could, just to make sure  
7 we get the question directed correctly, the 14 to 17 psi  
8 is in relation to the monolith, the material ---

9 DR. LAPIERRE: Yes, the monolith, excuse  
10 me.

11 MR. POTTER: Okay, great.

12 DR. LAPIERRE: When you look at the  
13 monolith, and I guess if you had a compressive strength  
14 of 14 to 19 as compared to 200 or 300, when you conduct  
15 the leachate test, the dynamic leachate test from  
16 Environment Canada, would you get the exact same results  
17 from a monolith that has a compressive strength of 19,  
18 200 or 500, and in which one would you have more faith in  
19 containing the PCBs from movement?

20 MR. POTTER: I'll ask Mr. Shosky to  
21 address the two parts of that question.

22 MR. SHOSKY: That's a very good question,  
23 and while our design criteria was in that lower range,  
24 our actual results that we got during our demonstration  
25 that we did as part of the pre-design work that I was

1 working on were several orders of magnitude higher -- or  
2 one order of magnitude higher than that. So we were --  
3 our actual results were over 100 psi.

4 My personal opinion is is that when you  
5 take and break the sample up into small pieces, and  
6 expose it to acidic conditions, you will leach more  
7 chemicals than you would if it were just tested as a  
8 block. Does that answer your question?

9 DR. LAPIERRE: It does, but not really, I  
10 guess. The question was if you took that block and it  
11 had 19 psi compressive strength, and you took a similar  
12 block with 300 psi, and another one with 500 psi, would  
13 you get the exact same results in the leachate test once  
14 you crumble it and release it.

15 MR. SHOSKY: My personal opinion is is  
16 that they would be the same, not exactly the same but  
17 close, within a small range of one another.

18 I don't mean to sound elusive, but the --  
19 I don't think that there would be, like, an order of  
20 magnitude difference. There may be -- there's always a  
21 little difference between each sample that you take, so I  
22 would say essentially they would be the same. And the  
23 reason I would state that is because, particularly for  
24 the mercury and heavy metals, that's more of a function,  
25 in my opinion, of PH control as opposed to stabilization.

1 And with the organics, ensuring that the -- if the mixing  
2 is done thoroughly, it shouldn't make a difference,  
3 either.

4 DR. LAPIERRE: Okay. The next question  
5 is, if you had -- if you were not removing the PCBs from  
6 the ponds, if you were leaving them there, could you  
7 increase the psi or the compressive strength within the  
8 monolith at differing strengths across the monolith? Say  
9 where you have the concentrations of PCBs in higher  
10 concentrations, could the monolith be increased in  
11 strength in those areas and then go back to a lesser  
12 compressive strength in that area?

13 MR. SHOSKY: The short answer is yes, and  
14 our intention for the front of the monolith that would be  
15 nearest the ocean, behind the barrier wall, would be to  
16 increase the cement content there probably -- right now  
17 we had done tests at 10 percent, we may go ahead and move  
18 it up to 25 percent in order to ensure that we had a nice  
19 stable -- from a geotechnical point of view, stable  
20 environment at that point, so that we would not -- if a  
21 catastrophic storm surge were to occur, or something, our  
22 monolith would remain intact.

23 DR. LAPIERRE: Is there a significant  
24 price increase in moving from a 10 percent to say a 20 or  
25 25 percent cement content in the monolith?

1 MR. SHOSKY: It's a pretty easy rule of  
2 thumb. Right now, just to use round numbers, the cost of  
3 a tonne of dry cement in Sydney is approximately \$200  
4 Canadian a metric tonne. So if you go from 10 percent by  
5 weight to 25 percent by weight, it's a simple calculation  
6 as to how much you would have. So to keep the math  
7 simple again, at 10 percent it would cost say \$20 for our  
8 additive, and if it went to 25 percent, it would go up to  
9 approximately \$50 for your additive. And then it's just  
10 a function of multiplying that by the number of yards  
11 you'd need to treat. So -- because the mixing price  
12 typically would stay about the same.

13 DR. LAPIERRE: Okay. As you increase the  
14 strength of the cement, if the strength of the cement was  
15 increased, and also as the monolith cures, does it  
16 release gases to the surrounding atmosphere, and would  
17 these gases increase if you had a higher compressive  
18 strength within the monolith?

19 MR. SHOSKY: That's a very good question.

20 When -- you have to look at what causes  
21 gases to be created, and assuming that it's from some  
22 sort of biological degradation or something like that,  
23 when we add the cement in there, and we get a slight  
24 reaction, we're taking away those mechanisms that are  
25 going to cause that material to break down and create

1 gases.

2 So, in my opinion, once the stabilization  
3 is complete, I would not expect to see gases generated  
4 like you would in a landfill, municipal landfill  
5 situation where methane gas has a tendency to come up and  
6 get captured in collection systems.

7 If -- during the detailed design phase,  
8 that is something that probably should be looked at to  
9 verify that, but right now my personal opinion is is that  
10 -- that probably extra gas control mechanisms would not  
11 need to be in place there.

12 DR. LAPIERRE: In the monolith, once it's  
13 in place, did I understand correctly that you would have  
14 drainage holes that would go from the bottom of the  
15 monolith to the top to release water pressure at the  
16 bottom? And if you had that, would that be an area where  
17 gas could be -- could the gas under pressure, I imagine,  
18 in the water table under the monolith, could gas  
19 dissipate into that water that's going to -- if I  
20 understand correctly, and you can correct me if I'm not  
21 right, I see these silos going through the monolith  
22 coming up and connecting to your drainage system. And  
23 then, if gas was -- did build up underneath, could it  
24 flow through that water up to the top and into the  
25 drainage system?

1 MR. SHOSKY: Yes. The short answer would  
2 be is if gas were to be generated, it's going to go its  
3 path of least resistance, which would be those collection  
4 drains. And, as a result of that, those drains would, in  
5 a sense, act as a passive gas -- could potentially act as  
6 a passive gas collection system.

7 For example, if during the course of  
8 operations we find out that there's some of those areas  
9 collect water, some don't, there may be some gas that may  
10 collect in -- could potentially collect in those other  
11 drain lines.

12 DR. LAPIERRE: And I guess another  
13 question is, could you -- if the organic content is high,  
14 and it's a question -- I guess we heard some discussion  
15 on the problems associated with a high organic carbon  
16 content in the sludge that you're treating. However, the  
17 cement folks who were here the other night, seemed to  
18 indicate that it was a challenge, but a challenge that  
19 could be addressed.

20 I guess the question is could you use  
21 geopolymers in the mix to give strength to the matrix, is  
22 that a possibility?

23 MR. SHOSKY: The trick with that is to  
24 ensure that you get a thorough mixing that occurs first,  
25 and so that the end product that you would have would be

1 a little bit drier and possibly not as -- as a result of  
2 that, not so highly impacted with organics, because of  
3 adding the cement. In that case, yes, then you could add  
4 the polymers if you decided to do it.

5 One of the -- it might be worthwhile  
6 discussing, for a moment, why we went with the testing  
7 additives that we did when we first looked at this, and  
8 it's also probably worth mentioning that while we did  
9 some testing, it wasn't the end all of all the testing  
10 that would need to be done in the detailed design work.

11 The purpose of the Stabilization Technical  
12 Memorandum was pretty much to try and get an idea where  
13 the various additives could be used and why we were going  
14 to use them.

15 We purposely did not look at anything  
16 other than general commodity type of stabilization agents  
17 when we did our testing.

18 We did not go with any proprietary mixes  
19 as far as special mixes from a particular vendor, because  
20 we felt it was more important, at this point, to see  
21 whether or not a commodity such as cement, fly ash or  
22 quick lime, which are easily obtainable additive agents,  
23 could be effectively used on this material.

24 The next step would be either during the  
25 bidding process for the work and also during the detailed

1 design phase, to allow -- a competitiveness on the  
2 technology process would be to go ahead and allow some of  
3 these other specialty mixes to be tested.

4 DR. LAPIERRE: Okay. I guess in the -- if  
5 I understand from your discussion, the decision to move  
6 to a 14 or 17 psi is based on a technical decision, and  
7 not a cost decision.

8 MR. SHOSKY: That is correct. The cost  
9 increase to go to a higher psi is not that great. So,  
10 you know, if you came back and said "I'd like you to test  
11 results at greater than 50 psi instead of 21" the cost is  
12 -- it might be 1 or 2 percent of the cement cost, which  
13 is not a -- it's not a large cost in the bigger scheme of  
14 the project.

15 DR. LAPIERRE: And if you were not going  
16 to remove the PCBs and you were looking at total  
17 stabilization and solidification, would you consider  
18 increasing the strength of the monolith to ensure a  
19 greater reliability of stability through your  
20 solidification?

21 MR. SHOSKY: Technically, I wouldn't need  
22 to, but what would be more important to me, under that  
23 scenario, would be to have a bit clearer vision on what  
24 the end use would be, as far as that would go.

25 As far as stabilizing the PCBs, I've

1           successfully stabilized PCBs and left them in place in  
2           Alaska at less than 10 percent cement, and would feel  
3           very comfortable -- that's a very extreme environment  
4           compared to here, and I would feel very, very comfortable  
5           at 10 percent with the materials we have here which will  
6           yield 21 -- you know, the 12 to 19 psi we've been talking  
7           about.

8                           DR. LAPIERRE:   Okay.  If I can move to the  
9           cap.  I guess we'd like for you to confirm the reasons  
10          for the cap, so we understand.  And then I have a  
11          question on the cap.

12                           The cap is going to be on the surface,  
13          it's going to have a layer of clay, and I guess the  
14          question I would have is more to the layer of clay.  
15          Would the layer of clay, being close to the top, be  
16          subjected to rehydration and drying out during the  
17          summertime, and thus possibly cracking and would that be  
18          a possibility?

19                           MR. SHOSKY:   The short answer is yes.  The  
20          freeze, the thaw, these would be items that would need to  
21          be looked at in the detailed design stage.

22                           Typically, if you were to increase the  
23          clay thickness, you would still lose probably a bit of  
24          the clay that was on top from freeze and thaw effects, so  
25          you could still have a thin clay layer, but it should

1 have a nice soil cover over it to prevent freezing and  
2 thawing.

3 And the first question you had, as to why  
4 we need the cap, the cap serves the major purpose of  
5 enabling the monolith to stay away from being weathered  
6 from the natural environment, and the fact that we're  
7 using clay, a clay liner, just helps to reinforce the  
8 fact that there'll be less water infiltration into it.

9 I have one design that I did in Indiana  
10 that we used more of a grassy material, and the one that  
11 I had submitted as our case example was actually a  
12 permeable cap. The one in Taunton, Massachusetts, that I  
13 gave you the case example of, was actually a permeable  
14 cap that we had that was less than -- it was like 10 to  
15 the minus 5 cms per second, which is an order of  
16 magnitude or so less than what we're proposing here, and  
17 the reason that we did that was again because the  
18 ultimate land use there was sporting fields, soccer  
19 fields, and they also wanted some landscaping around the  
20 sides of the site that was more conducive for soils that  
21 had a better -- had a higher permeability.

22 In that case, too, we evaluated the  
23 evapotranspiration rates off the plants, the grass, that  
24 helps with the infiltration, because the key is is to not  
25 have water infiltrate into the lower levels, but also be

1 able to have that protective cover there. So, all those  
2 factors went into play on that particular cap design.

3 DR. LAPIERRE: Would it be feasible to  
4 include a higher level of overburden over the cap and, I  
5 guess, give you a -- it should enhance the ability of the  
6 soil to support either buildings or whatever use you  
7 might put to it?

8 It seems that your presentation this  
9 afternoon -- you showed some slides on areas that were  
10 very heavily urbanized and more likely had a good tax  
11 base and they can move forward to develop these areas.

12 I guess one has to relate the end project  
13 back to the local area, and if you look at the techniques  
14 that you brought forward, I don't know how much that  
15 would increase the cost of building per square metre  
16 compared to going to an area where you just had to, you  
17 know, bulldoze the area out. You have some surrounding  
18 areas. I was looking at your malls out in the area,  
19 there's lot of land there and people could go there  
20 versus building on site.

21 And I guess the question relates to, could  
22 you increase it by increasing the overburden? And  
23 wouldn't that make the land maybe more accessible for  
24 future development?

25 MR. SHOSKY: Absolutely. In fact, I'd

1 probably encourage it, because when I've gone to other  
2 places, particularly when you're at the end of the land  
3 use period or the beginning of when you're installing  
4 your park or recreation area, you know, you want a little  
5 bit of topographic relief for those extra bushes and  
6 vegetation and various other things that -- impressions  
7 that you want to leave people with when they get through  
8 visiting your new recreation area.

9 DR. LAPIERRE: I guess the next question  
10 is -- and that's my final one for now also -- the idea is  
11 if you were going to increase that soil overburden by say  
12 another metre or two, would it be a significant cost  
13 increase?

14 MR. SHOSKY: No.

15 DR. LAPIERRE: It seems to me it might be  
16 an enhancement for land use in the future versus the  
17 minimal top.

18 MR. SHOSKY: It's -- that single component  
19 is not significant compared to the other aspects of the  
20 project.

21 DR. LAPIERRE: Okay. Thank you, Madam  
22 Chair.

23 MR. POTTER: If I might just add a little  
24 bit on the capping and future site use, just to give you  
25 a bit of an update with the ---

1           As I mentioned before, we do have a  
2           committee with the Cape Breton Regional Municipality  
3           looking at future site use for what they're referring to  
4           as the port-to-port corridor, from the harbour port to  
5           the airport, of which we would be a component of that.

6           We've just agreed recently to provide  
7           funding -- co-funding of a study to take a look at the  
8           potential for the future use of that whole corridor,  
9           including our property.

10          So, that's -- the terms of reference has  
11          just been prepared, we've contributed funding, they're  
12          seeking some other funding from other sources, and I  
13          expect that study will be underway within a month or two  
14          and a couple months down the road we'll have a better  
15          handle on what potential there might be for eventual use  
16          down there.

17          So, that will help guide us as we move in,  
18          again, to the detail design stage. If we know in advance  
19          what the intended use is, we can start looking at if  
20          there's a need for additional covers, increasing the  
21          compressive strength of the material, you know, it will  
22          certainly help to at least eliminate some of the unknowns  
23          we have right now.

24          DR. LAPIERRE: And you anticipate that  
25          this study might be advanced enough to integrate the

1 planning into your final design plan?

2 MR. POTTER: That's correct, yes.

3 THE CHAIRPERSON: Well, just a comment on  
4 that or an observation. It's -- that sounds like a --  
5 somewhat different from where we started out on sort of  
6 day one or day two of the hearings.

7 I'm not critical of that, that sounds good  
8 to me but -- so it does sound like -- I think your  
9 original statements were pretty cautious with respect to  
10 your -- where the Agency's responsibility for this  
11 project ended and where future use began.

12 But now just to clarify what you just told  
13 Dr. LaPierre, it sounds like you are interested in trying  
14 to adapt design of the remediation to future uses as they  
15 become more evident. Is that right?

16 MR. POTTER: That's correct. We're not  
17 leading this initiative, we are assisting in the funding  
18 and we're a participant on this committee. It's being  
19 led through -- primarily through the Municipality and the  
20 port, the Master Port Development Committee it's referred  
21 to as.

22 But, you know, we have a design that we  
23 understand suits our needs. We do have -- for purposes  
24 of, you know, the environmental containment of the site,  
25 the MOA does allow some flexibility to accommodate future

1 uses.

2 It's probably in the best interest of the  
3 community if we can understand what the community may  
4 wish to have there in the future, that we can better  
5 tailor our closure plans and containment plans to  
6 accommodate some potential uses.

7 THE CHAIRPERSON: That's great. I'd like  
8 to just ask a couple of questions to clarify. In your  
9 presentation, Mr. Shosky, I think I heard you refer to  
10 something called leachate lines which -- is that -- did  
11 you use that terminology or was I mishearing you?

12 MR. SHOSKY: I probably misspoke. It was  
13 the monitoring systems inside the monolith that Dr.  
14 LaPierre was referring to.

15 THE CHAIRPERSON: Okay. Well, let me just  
16 ask a question and then maybe that was -- my question is  
17 simply answered by an error when you were speaking.

18 Because in your response, in the Agency's  
19 response to IR-61, the Agency stated that the overall  
20 trench design is intended to provide release of  
21 groundwater pressure from under the cap by promoting  
22 entry of groundwater from the till and bedrock units  
23 below the stabilized sediments.

24 So, that was the -- and, I mean, I think  
25 that's perfectly consistent with everything you've been

1 saying to us, but it just seemed this afternoon that you  
2 seemed to be indicating that the trenching system may, in  
3 fact, not be collecting groundwater.

4 You sort of made some references to,  
5 "Well, if there is anything there," and you've made the  
6 reference to leachate lines, which sounded much more like  
7 a leachate collection system for a landfill or something.

8 So -- well, perhaps you could just  
9 clarify.

10 MR. SHOSKY: Well, first of all, it was a  
11 slip of the lip for the terminology. I did also say,  
12 though, that if water does come up we have reason to  
13 believe that that'll be the case and we were conservative  
14 in our approach.

15 But we, during the detail design phase,  
16 would really want to look at that in a lot more detail,  
17 because in hearing discussions on these collection  
18 systems we want to make sure that they're really  
19 necessary to the extent that we have them in there right  
20 now and that's going to require a bit more investigation  
21 during the detail design phase to figure out the exact  
22 spacing and number of them.

23 THE CHAIRPERSON: So, these are -- they  
24 are -- you are partly seeing them as possible collection  
25 -- leachate collection systems rather than ---

1 MR. SHOSKY: No, ma'am. It's the -- they  
2 would be for the groundwater control, as we stated in the  
3 response in our IR. Sorry for that misunderstanding.

4 THE CHAIRPERSON: Now, the other -- about  
5 costing with respect to these -- the groundwater control  
6 measures, in your response to our very first Information  
7 Request, IR-1, you advised the Panel that the remediation  
8 cost for the Tar Ponds was expected to be \$160.5 million  
9 and at that time it was our understanding -- and then you  
10 provided subsequent information on the trenching system  
11 which seemed to be a fairly sophisticated addition to the  
12 project.

13 So, I guess the question is, is that  
14 estimate that we were provided in IR-1 -- does that still  
15 hold good? Did that include the cost of the -- of this  
16 groundwater trenching system?

17 MR. SHOSKY: Yes, it does. It still holds  
18 true.

19 THE CHAIRPERSON: Okay. Thank you.

20 MR. CHARLES: Mr. Shosky, the topsoil  
21 layer in the Tar Ponds and Coke Ovens seems to be  
22 different -- I think I've got this right -- a 10-  
23 centimetre topsoil later in the Tar Ponds Site and 20  
24 centimetres in the Coke Ovens. Is that right?

25 MR. SHOSKY: Yes, Dr. Charles.

1 MR. CHARLES: Why the difference?

2 MR. SHOSKY: The largest reason that there  
3 is a difference there was simply when we started to do  
4 our grading, look at the grading situation there, it  
5 varied a lot more on the Tar Ponds Site than it did on  
6 the Coke Ovens Site.

7 And I'll also say that those would be the  
8 minimum thicknesses that we'd be looking at. There would  
9 be some changes across the site as it was being built  
10 because of gradient issues across -- you know, gradient  
11 issues across the site as we graded it.

12 MR. CHARLES: In your presentation this  
13 afternoon you seemed to suggest that there might be some  
14 reason for putting more topsoil or more top fill,  
15 whatever you want to call it, in some locations on the  
16 Coke Ovens, I think, particularly.

17 So, that's a possibility, is it?

18 MR. SHOSKY: That's correct.

19 MR. CHARLES: Okay.

20 MR. SHOSKY: And what brought on a lot of  
21 those questions, I think, was earlier in the Panel  
22 discussions there was a lot of questions about the  
23 vegetation that was being placed and things like that and  
24 there are some areas where, just because of the way it  
25 has to be finally graded, there will be in some cases

1 several metres of additional fill there.

2 MR. CHARLES: Right. You may not be a  
3 tree expert, but I'm going back to your drawing of the  
4 trees with the roots that you were not too happy with but  
5 I understood what they were.

6 In normal properties tree roots tend to  
7 give problems for underground pipes and drainage and the  
8 rest of it. How do they react to a cap such as we've got  
9 here where you've got different layers but eventually you  
10 come down to a plastic cover?

11 If it ever got -- if the roots -- and I  
12 know that people would be careful about the kind of trees  
13 they planted so you wouldn't get trees that go vertically  
14 down a long way and would rather get flatter roots. But  
15 supposing it got down to that plastic membrane, will a  
16 membrane like that, you know, fend off tree roots, do you  
17 know?

18 MR. SHOSKY: The 40 mil HTP would. It's  
19 about half as thick as like irrigation pipe for a  
20 sprinkler system.

21 MR. CHARLES: And that's what you'd be  
22 using?

23 MR. SHOSKY: Yes.

24 MR. CHARLES: Okay.

25 MR. SHOSKY: The root system itself would

1 typically hit that layer, and if you go out to the  
2 mountains and look and see where different trees might be  
3 growing on top of a rock or something like that, you can  
4 see that the root system hits that hard rock and starts  
5 spreading out.

6 MR. CHARLES: Yeah.

7 MR. SHOSKY: That's typically what should  
8 happen.

9 MR. CHARLES: Okay. So, you're a tree  
10 expert, too?

11 MR. SHOSKY: I landscaped for a number of  
12 years, Dr. Charles. I know what the skinny end of a  
13 shovel looks like.

14 MR. CHARLES: So, you've had experience in  
15 hydrology?

16 MR. SHOSKY: Yes, sir.

17 MR. CHARLES: How about volcanoes, are you  
18 ---

19 MR. SHOSKY: No.

20 MR. CHARLES: Have you got any experience  
21 in ---

22 MR. SHOSKY: No volcano experience.

23 MR. CHARLES: No volcanoes, okay. I'll  
24 let that one go.

25 What about subsidence with stabilization,

1 any problems with that, potential I mean?

2 MR. SHOSKY: There's always a potential  
3 for some subsidence. We haven't seen it as much in the  
4 monoliths as you would in a municipal landfill situation  
5 because the monoliths can be placed in layers themselves  
6 and, with diligence, not have any void space in them,  
7 where with a garbage pile typically you'll see a lot more  
8 subsidence problems.

9 MR. CHARLES: Right. Now, I know we've  
10 talked about leachate and I just want to establish this  
11 in my own mind at least.

12 You're convinced that with regard to the  
13 kind of stuff we're dealing with in the Tar Ponds,  
14 particularly the organic matter and so on, a high content  
15 of organic matter, that the leaching problems that you  
16 have before you treated that material would be greater  
17 than afterwards? In other words, the stabilization and  
18 solidification is going to decrease any leaching problems  
19 that you'd otherwise have?

20 MR. SHOSKY: That's correct.

21 MR. CHARLES: And you're happy with that  
22 on the basis of your professional experience?

23 MR. SHOSKY: Yes.

24 MR. CHARLES: You're pretty confident?

25 MR. SHOSKY: Very confident. It's been --

1 I've done it a number of times in a number of different  
2 locations and I'm very confident with that.

3 MR. CHARLES: Okay. I have another  
4 question here. I noticed when I've been looking through  
5 some of the Superfund sites that a lot of those sites  
6 were -- where solidification and stabilization was done  
7 were -- it was done in an ex-situ kind of situation  
8 rather than in-situ.

9 Is there any particular reason for that?  
10 Is it cost or the conditions they encountered or ---

11 MR. SHOSKY: It would depend on each  
12 special case. For example, I'd say probably 70 percent  
13 of the stabilization I do is in-situ because of local  
14 conditions that only allow one type of mixing method.

15 Pug mills, ex-situ processes, I've done a  
16 number of stabilization processes using them, including a  
17 radioactive site in downtown Denver. I don't like that  
18 particular technique. It's not my preferred method of  
19 doing it because there's an awful lot of potential for  
20 more dust to be generated and for odours to be released.

21 MR. CHARLES: And I noticed in the slides  
22 that you presented -- or maybe it was the cement people,  
23 I can't recall now, but on the sites that were done in  
24 the US they seemed to take a lot of precautions to  
25 prevent dust and odours and that sort of stuff, you know,

1 escaping.

2 And I just wondered -- I can't recall  
3 exactly what mitigating procedures we've used on this  
4 site, but I don't recall them being quite as extensive.  
5 But I take it that doing in-situ stabilization here,  
6 would you be using the same sort of extensive precautions  
7 that you'd see in some of the Superfund sites?

8 MR. SHOSKY: Probably more, actually. One  
9 of the things that's interesting about stabilization ex-  
10 situ versus in-situ, when you take and remove material  
11 out of the ground you've got a point at that point where  
12 you're going to be generating odours. That's a point  
13 that has to be controlled.

14 You put it in a truck, you have to worry  
15 about how the truck is going to transport it over to the  
16 ex-situ piece of equipment. That process generates  
17 odours. You take it out of the truck, you put it in the  
18 pug mill, that process generates odours. So, you've got  
19 five or six different spots where you'll generate some  
20 substantial -- potentially some substantial odours.

21 Some of the people I've seen doing that  
22 will spend an awful lot of extra time, money and effort  
23 in controlling a lot of additional emissions that they  
24 don't need to because of the fact that they're picking it  
25 up and moving it so many times.

1           Doing the work in-situ properly, in a  
2           cautious manner, typically you have less dust generation  
3           and less odour generation because it's all controlled at  
4           the source.

5           You can stop the process at any point in  
6           time, you can spray foam on it, you can put deodorizers  
7           on it. There are a lot of things that can be done to  
8           eliminate odours at the time when the mixing occurs.

9           MR. CHARLES: As I understand it, the  
10          tests that were done in 2002, the bench technology  
11          testing stuff on stabilization and solidification, they  
12          were done ex-situ, I take it, right?

13          MR. SHOSKY: Yes.

14          MR. CHARLES: And I guess you don't see  
15          any difference in looking at the results of those tests  
16          and applying them to an in-situ situation?

17          MR. SHOSKY: No, and I'll tell you why --  
18          is that when you need to do these tests, what you try and  
19          do is you try and mimic the way that the job would be  
20          executed in the field, and often it's through just very  
21          diligent mixing of the materials together either by hand  
22          or by using small pieces of equipment.

23          MR. CHARLES: Now, the material that we've  
24          got here in the Tar Ponds, I guess you'd agree, is fairly  
25          unique, not completely unique but it's fairly unique

1 because of its composition and so on.

2 MR. SHOSKY: That's correct.

3 MR. CHARLES: And you've tried to provide  
4 us with situations, comparable situations that you're  
5 familiar with, where the same kind of material or  
6 something similar has been used on a solidification and  
7 stabilization basis.

8 On the examples that you've taken --  
9 you've used that are deemed to be similar, how similar in  
10 your mind are they? Have you found anything that's  
11 exactly the same as we've got or something that's, you  
12 know, 80 percent similar?

13 MR. SHOSKY: I think the Taunton case that  
14 I gave you is probably 80 percent similar except for it's  
15 a very -- it's a much smaller site. It had tidal issues,  
16 the salt water intrusion that Dr. LaPierre had talked  
17 about, a pervious cap, an ultimate end use that would be  
18 probably similar to what you would have here with a  
19 sporting field.

20 The concentrations of benzene actually  
21 were higher, the tar content was higher and some of the  
22 materials that I was looking at that we ended up  
23 stabilizing there, I think we ended up using a higher  
24 concentration of cement.

25 So, they were the most similar to the site

1 as a whole, including the capping and everything.

2 MR. CHARLES: Now, at some point will you  
3 have to take some actual stuff from the Tar Ponds and use  
4 your additives and, you know, put together your mix and  
5 see how it works? In other words, will you have to do  
6 sort of a small test pilot project before you get going?

7 MR. SHOSKY: On a field implementable  
8 scale, that's what we would typically do to verify that  
9 the mixes were right. But as Dr. LaPierre said, it's  
10 possible to change the concentrations of the recipe  
11 depending on where we're at.

12 Once we get a comfortable feeling with how  
13 much the organic content is, perhaps the soil properties  
14 change, there may be something that may cause us to add a  
15 little bit more or a little bit less to it.

16 There's been some discussions about pH  
17 control. There are ways to control the pH using simple  
18 systems like baking soda and things like that to put in  
19 some buffering capacity if that were desired.

20 I think, you know, as we found out more  
21 about it we would be able to come up with more detailed  
22 -- you know, better mixes over time for sure.

23 MR. CHARLES: Okay. And this is my last  
24 question. We've seen some figures about efficiency rates  
25 in relation to incinerators. Could you give me any kind

1 of an estimate of what you consider the efficiency rate  
2 of stabilization and solidification today?

3 MR. SHOSKY: Efficiency in what respect?  
4 When you say "efficiency" to me, I think production  
5 rates.

6 MR. CHARLES: Efficiency in terms of  
7 success, and I know that means, well, how long, over what  
8 period of time and so on, but sort of just a feel for the  
9 -- how good is it?

10 MR. SHOSKY: I'm going to give you  
11 probably a little bit longer answer than you want, and  
12 I've done that before.

13 MR. CHARLES: I'm used to that. Go ahead.

14 MR. SHOSKY: But there's a couple of ways  
15 to look at that. You can look at one -- one aspect is  
16 contracting efficiency, how easy can you take something  
17 out to market, get local contractors to bid on that  
18 project and things like that. Stabilization is much  
19 easier to work with contractually than incineration is.

20 The other items that are important is you  
21 can have a more reliable day-to-day, day-in and day-out  
22 production rate, so you're more predictable about when  
23 your project would be finished, there's less -- the  
24 simpler the process is, the less chance for breakdown and  
25 malfunctions.

1                   Weather delays or operator error, those  
2                   kind of things are much simpler using the stabilization  
3                   process than incineration.

4                   MR. CHARLES:   What about the final  
5                   product, how good it works, how well it works?

6                   MR. SHOSKY:   Each case needs to be looked  
7                   at individually, but depending on what the end land use  
8                   and the control measures that you've taken in place, I  
9                   believe personally that they're equivalent technologies  
10                  in effectiveness on environmental remediation.

11                  Now, you won't necessarily -- you won't  
12                  destroy PCBs using stabilization but you'll lock them up  
13                  and bind them up and isolate them from the environment,  
14                  so that that would be a difference between them, but the  
15                  effectiveness, in my opinion, in the overall  
16                  environmental context would put them as equals in my  
17                  mind.

18                  MR. CHARLES:   So, in terms of doing the  
19                  job it's supposed to do, which is to contain any toxics  
20                  in a stable matrix so that they don't go wandering around  
21                  anywhere, and in terms of maintaining its form and its  
22                  shape and its properties, you would rate -- and I guess  
23                  we could say for a period of at least -- what will we  
24                  say? -- 40 years, would you say that it would -- or you  
25                  would give it a rating of say what, 90 percent?

1 MR. SHOSKY: Yeah, I would give it a high  
2 rating. And I think it's important here that when --  
3 that I also make a statement here that neither Earth Tech  
4 nor AMEC nor Jacques Whitford, the people that are part  
5 of this assessment EIS process -- none of us are specific  
6 technology vendors. We try and find the best technology  
7 for the particular site, which is why you go through this  
8 narrowing down process.

9 We're unanimous in believing that  
10 stabilization is a good technology and appropriate for  
11 this application.

12 MR. CHARLES: Thank you.

13 DR. LAPIERRE: I would like to ask a  
14 question -- a few questions relating to leachate, the  
15 toxicity of the leachate.

16 I guess we can conclude that the  
17 contaminants in the Tar Ponds sediments are bound to an  
18 organic material and fairly stable, I guess. We've heard  
19 that from many sources. We know that the bottom ash that  
20 you're going to bring in from the incinerator won't have  
21 any material, and I guess the primary source -- control  
22 source for the Tar Ponds remediation will be containment.

23 However, the Battery Point is not designed  
24 to be impermeable and there is groundwater contact that's  
25 going to come in at that area.

1 I guess we also know that the Earth Tech,  
2 I think, solidification technical memo reports that  
3 leachate analysis on the North and South Pond and the Tar  
4 Ponds were typically below USEPA and NSDEL  
5 concentrations.

6 Is there an overall pass/fail criterion  
7 associated with the USEPA and NSDEL test protocol? And I  
8 guess, did all of the Tar Ponds samples pass the  
9 criterion?

10 MR. SHOSKY: When we did our mixing for  
11 that technical memorandum that we put together, we tried  
12 a variety of different techniques and additives. So, the  
13 short answer is that not all of the additive mixes that  
14 we tested passed.

15 We did have success with the cement in the  
16 Tar Ponds. For the Tar Cell material, we had some  
17 difficulty with that one but we learned a lot from the  
18 testing procedures there, that if we were to look at  
19 stabilization for that material I would feel comfortable  
20 that we would be able to come up with a recipe that could  
21 also stabilize that material as well.

22 But generally speaking what you have to  
23 put in any stabilization program is a rigorous quality  
24 assurance/quality control program to ensure that all your  
25 testing parameters are meeting the required leachability

1 tests and things like that.

2 DR. LAPIERRE: So, you could -- if you  
3 were to change the -- if the process of containment was  
4 to change where you would have a greater concentration of  
5 PCBs, for example, would you come back to reassess those  
6 -- that leachability test?

7 MR. SHOSKY: The leachability test right  
8 now -- I think, in discussions with the Tar Ponds we've  
9 agreed that the leachability testing would be done once  
10 every 500 cubic metres of material that would be treated.

11 So, there would be testing that would go  
12 along the entire project. It's not -- you would not just  
13 -- it does not just end with the bench scale testing. It  
14 would be done through the entire time.

15 DR. LAPIERRE: And could you give me some  
16 indication how long the monolith would take to cure from  
17 top to bottom? I imagine the top would cure faster than  
18 the bottom?

19 MR. SHOSKY: I would only be speculating  
20 at this point. I could tell you that after probably --  
21 with this mix ratio, after about three days -- no, I'm  
22 sorry, seven days -- you would be able to drive a piece  
23 of heavy equipment on it, but I don't know how long it  
24 would take to set in the very centre. I would need to  
25 look into that.

1 DR. LAPIERRE: Okay. Thank you.

2 THE CHAIRPERSON: I'd just like to explore  
3 a couple of things. One is the lands on the Coke Ovens  
4 Site that are currently owned by CBDC and -- now, let's  
5 see, have I got this straight. My understanding is that  
6 CBDC has remediated those sites. Is that right?

7 MR. POTTER: The Mullins Bank property on  
8 the Coke Ovens, that's correct. They did an assessment  
9 and completed the remediation on the property. I forget  
10 the date, but eight or 10 years ago.

11 THE CHAIRPERSON: Remediated it to what  
12 stated standard? And can you relate whatever they've  
13 stated as being their remediation criteria to your own  
14 SSTLs that you've used for the rest of the site?

15 MR. POTTER: I'll ask Mr. Kaiser to  
16 address that in relation to our SSTLs.

17 MR. KAISER: Thank you, Frank. The  
18 criteria that was set at that time is not clear in my  
19 mind at this point. I don't believe they used the same  
20 approach.

21 They didn't go out and do a risk  
22 assessment and -- after doing a site assessment and then  
23 determine what the SSTL would be. I think they probably  
24 picked the criteria, although I'm just guessing at this  
25 point. I really don't remember the details of it.

1 THE CHAIRPERSON: What remediation did  
2 they do? What remediation techniques did they use?

3 MR. KAISER: As I recall, they removed all  
4 of the usable coal that was left on the site, they, I  
5 believe, applied some topsoil in some areas and basically  
6 re-vegetated the area.

7 THE CHAIRPERSON: So, is it a capped site?

8 MR. KAISER: No, I don't believe it would  
9 be considered a capped site at this point in time.  
10 Basically, it's a -- I think, an approach that's used in  
11 areas where coal handling is sort of a traditional  
12 activity and they basically just clean up the coal and  
13 try to return the site to, you know, kind of a coal-free  
14 state.

15 MR. POTTER: Perhaps we can follow up with  
16 an undertaking. We'll go back. It's one of the  
17 references in the EIS. We did review some of the  
18 information that DEVCO had provided to us and we can go  
19 back and check on -- I'm pretty sure that reference would  
20 be in there.

21 If not, we know we can get a copy of it  
22 just to clarify that, because we're sort of trying to go  
23 from memory and it's, like I say, 10 or perhaps 12 years  
24 ago.

25 But essentially what work they did was

1 that they completely removed all the coal, removed the  
2 overburden that would have been potentially impacted by  
3 the coal operations there, and to go any further would  
4 be, you know, I guess, just guessing from bad memory  
5 right now. So, we'll clarify that with some follow-up.

6 THE CHAIRPERSON: Just so that I can be  
7 clear for the record then, your undertaking is to do  
8 what, sorry?

9 MR. POTTER: We'll go back to the work  
10 that DEVCO had undertaken on that property, we'll take a  
11 look if they did do an assessment on that property, if  
12 they have information in there of what their cleanup  
13 criteria were and what they were cleaning to, we will try  
14 to identify that.

15 THE CHAIRPERSON: So, the undertaking is  
16 to provide us with as much information as you can find on  
17 the DEVCO remediation process and criteria and targets  
18 and results? [u]

19 MR. POTTER: Correct.

20 THE CHAIRPERSON: Okay. Thank you. In  
21 terms of work that you've done in that area, when I went  
22 back to the RAER Report to get a kind of overview of the  
23 conditions on the Coke Ovens Site, it -- no, sorry, I'm  
24 in the wrong place, though actually that is relevant,  
25 too. I couldn't really get from that a very clear

1 impression of what there was or was not in the Mullins  
2 Bank area.

3 Now, you provided us with some information  
4 in IR -- I had it open and then I shut it -- IR-53?  
5 Let's see if that's -- I may have the wrong number. No,  
6 perhaps I don't. I think it was IR-53, and we did get a  
7 site plan showing the various locations of boreholes and  
8 sampling and so on. Yes?

9 MR. POTTER: Sorry, just looking at the IR  
10 now.

11 THE CHAIRPERSON: It's the first figure in  
12 that response. Anyway, obviously the density of sampling  
13 and so on is less -- it's less dense in that area.

14 But can you just kind of provide me with a  
15 summary of how that area matches up to your SSTLs.  
16 Obviously -- well, I shouldn't say that but, I mean,  
17 we've assumed all along that your decision to pick  
18 certain areas to cap on the Coke Ovens Site relates to  
19 the fact that surface soils are not meeting SSTL  
20 requirements in those areas, so we assume that the  
21 Mullins Bank area does meet them. Is that right? I  
22 mean, are there any residual concerns in that area?

23 Actually, you know what, I'd like to move  
24 -- so I'm not keeping you guessing, I'd like to move on  
25 to what I'm trying to get a handle on.

1                   It is the whole question of, you know,  
2                   what restrictions there are to development in an area, in  
3                   any part of this site, and we've been talking about that.  
4                   But, I mean, are there any restrictions whatsoever in  
5                   this area?

6                   MR. KAISER:    There would be, I guess,  
7                   restrictions at this time, yes.  We know that there is  
8                   still some coal -- some residual coal left on the Mullins  
9                   Bank area.

10                  We, for our purposes, have not determined  
11                  that there are any requirements to do further cleanup due  
12                  to the fact that the area is zoned industrial and we  
13                  don't see any future site use designated at this point in  
14                  time.

15                  THE CHAIRPERSON:  Well, we -- it seems to  
16                  me we start to get a bit circular in this, though, with  
17                  saying that this area is zoned institutional, therefore  
18                  we don't -- presumably the area was zoned institutional  
19                  because -- industrial, I'm sorry, because it was an  
20                  industrial area.

21                  And we've asked questions about this  
22                  before in terms of why there was no -- you never did  
23                  develop a residential SSTL, and I gather the indication  
24                  was that the Agency felt it had been given no mandate to  
25                  look at such a potential use in this area.  Is that what

1           you stated?

2                           MR. POTTER: I think -- we were just  
3           checking on undertakings here and I think we're crossing  
4           into a couple.

5                           There was an undertaking to go back and  
6           check the records of when it was determined that there  
7           would not be -- or the Municipality indicated a lack of  
8           interest, if you wish, in residential use over there, and  
9           we did provide that undertaking yesterday or the day  
10          before.

11                          THE CHAIRPERSON: I do remember that. I  
12          do remember that, yes.

13                          MR. POTTER: Yeah. So, that was the  
14          guiding document -- or guidance we received back in 2000,  
15          I believe, at a JAG meeting. So that that was sort of  
16          the general direction that we headed in, that the land  
17          was being -- for the purposes early on the criteria we  
18          were considering was parkland and industrial use, not  
19          residential.

20                          That was the general guidance that we were  
21          proceeding with back then before we got into, you know,  
22          detailed SSTLs.

23                          We do have -- and just turned in --  
24          Undertaking 7 today which does speak to SSTLs and the  
25          CCME and maybe -- we just did a hand-in on that one. So,

1 perhaps if it's helpful, we could have some discussion on  
2 the undertaking or come back to it after you've had a  
3 chance to review it.

4 THE CHAIRPERSON: I guess I'm still  
5 interested no matter -- you know, some years back there  
6 did not appear to be any interest in other uses in this  
7 area. I still think it would be interesting at least to  
8 know whether, in fact, this area in its current state  
9 could support other uses other than industrial.

10 MR. POTTER: Excuse me, we're just trying  
11 to find Undertaking 7 just so we are clear on that.

12 MR. KAISER: The current project doesn't  
13 consider that there would be a need to address the  
14 Mullins Bank based on the fact that there wouldn't be any  
15 designated development at this point in time.

16 If we were to look at other options or  
17 other uses, we would have to do some work in that area,  
18 probably some capping, and it would be somewhat driven by  
19 what that future use would be.

20 THE CHAIRPERSON: Yes, I guess the -- my  
21 interest or my question is, you know, how far off that  
22 site is.

23 I mean, that area of the site is obviously  
24 in a better condition than the other parts of the Coke  
25 Ovens Site, but I have no sense whether with a relatively

1 small amount of work that area might be rendered actually  
2 clean, not capped, you know, contaminants gone and  
3 suitable for pretty well unrestricted uses.

4 I think the relevance -- there is  
5 relevance when we think of the presentation testimony we  
6 heard yesterday with respect to psychosocial effects and  
7 how a community responds to a remediated area.

8 So, I'm just curious to know whether  
9 there's potential for some part of the Coke Ovens Site to  
10 be completely remediated, that is completely cleaned up  
11 with no restrictions on future use. So, I don't know  
12 whether this area is -- has the potential to reach that  
13 situation or not.

14 MR. KAISER: Yes, of course, there is the  
15 potential for it to reach, you know, whatever state of  
16 future use we would want to go to.

17 As we've indicated in the past, after  
18 doing our site assessment work and then the risk  
19 assessment work that was done through the Phase 2/Phase 3  
20 process that we followed, it was deemed that there was no  
21 requirement for us to proceed based on what we know the  
22 area is zoned for in terms of future use at this time.

23 If we were to move beyond that, we would  
24 consider it to be relatively minor, the amount of work  
25 that would be required to, you know, make use of that

1 area of the site.

2 THE CHAIRPERSON: Well, I should think  
3 CBRM might be interested to know that. That's  
4 information that should at least be available for the  
5 planning process they're going to enter.

6 But I'm going to ask Dr. LaPierre, because  
7 I know he has a question that relates to this.

8 DR. LAPIERRE: I guess the question I have  
9 is, when you decided to look at the area in the Mullins  
10 Bank or the entire Coke Ovens area, did you consider  
11 using PDUs and identifying -- breaking the land down into  
12 PDUs for -- and that's property development units, and  
13 specifying a specific end use and thus preparing a  
14 cleanup plan to meet that end use?

15 It seems that it's just one big cleanup  
16 that's about the same level in the entire area.

17 MR. KAISER: Actually, the approach was in  
18 maybe some regards the opposite. The area was assessed  
19 based on former use and the area -- all of the Coke Ovens  
20 area was divided into five separate areas, again based on  
21 what the former use had been, and then the whole process  
22 was followed in terms of determining what the current  
23 conditions were, what the current risks were and what the  
24 possible remedies that could be applied were.

25 DR. LAPIERRE: At the end when you finish,

1 will there be five different blocks of land each remedied  
2 to a different level or will they all have the same level  
3 of remediation?

4 MR. KAISER: Generally speaking, they will  
5 all have the same level of remediation, but again I guess  
6 it gets back to the previous discussion we've just been  
7 having, that the areas where we will apply a cap will, of  
8 course, be free of coal and any other possible residuals  
9 as opposed to the Mullins Bank area, in particular, where  
10 there would still be some residual materials.

11 DR. LAPIERRE: But the end result will be  
12 all that land will be subjected to the same controls and  
13 you will not have any area that is -- like Madam Chair  
14 was saying, could be used for a residential area? You  
15 have not gone to that level of determining the cleanup of  
16 the area?

17 MR. KAISER: That's correct. Based on the  
18 decisions that were made, you know, through discussion  
19 with many parties, we will not be going to a level  
20 beyond, you know, areas that are zoned industrial at this  
21 point.

22 DR. LAPIERRE: So, the entire area will be  
23 left as an industrial site and any future work -- or any  
24 future use of that area where you would want to take it  
25 beyond that industrial site would then require additional

1 work to bring it to the level of whatever PDU you may  
2 want to proceed with?

3 MR. KAISER: Basically, that's correct,  
4 yes. Again, the areas that we cap, of course, are going  
5 to be much farther along. They could be amenable to park  
6 use at this point.

7 DR. LAPIERRE: I understand that. Thank  
8 you.

9 THE CHAIRPERSON: I wonder if it would be  
10 possible to throw up the slides that showed your future  
11 use concepts. I quite understand that they're concepts,  
12 I know that, but ---

13 MR. KAISER: Plain view?

14 MR. POTTER: Plan view.

15 MR. KAISER: Sorry. Excuse me. Would you  
16 like the Coke Ovens or Tar Ponds first? It doesn't  
17 matter?

18 THE CHAIRPERSON: Tar Ponds. Yeah, that's  
19 fine, either one or maybe both of them.

20 I was just wondering if you could tell us  
21 a little bit more about -- you know, I don't want to  
22 delve into, you know, why you put down "Farmers Market."  
23 That's fine, that's conceptual, that's no problem, it  
24 would be a nice idea. But, obviously, there's been some  
25 sort of thought process going on in terms of why you

1 would have things in certain areas.

2 And I just wondered whether you could tell  
3 me a little bit more about that and to what extent  
4 they're driven by the actual capacity of the different  
5 parts of that site. Or I can understand that some of it  
6 may be driven by access and bringing it closer to other  
7 uses and so on.

8 But I'm mostly interested in, you know, is  
9 there something different about the harbour end here that  
10 -- in terms of its capacity to have uses there compared  
11 to the other end?

12 MR. SHOSKY: Right now the only reason  
13 that that particular area looks the way it does right now  
14 is because it's the access back there. There's not a  
15 major road or anything that currently exists that would  
16 take us back into that area.

17 Even on the one that's industrial -- the  
18 industrial one -- put on the next one, okay? Even on the  
19 industrial one we still have this same usage down here.

20 Now, if there were maybe some activities  
21 that possibly were coordinated with adjacent property  
22 owners on this site where we had access by road back into  
23 this area, it might be -- it might look different.

24 We could put a road, I guess, on the  
25 interface here to actually drive -- at the property line

1 between the SYSCO Site and the Tar Ponds, but that's  
2 pretty much what drove it at this point.

3 THE CHAIRPERSON: So, there's no -- in the  
4 case of the Tar Ponds Site there's no particular --  
5 there's no difference between any of the areas with  
6 respect to what they will take?

7 MR. SHOSKY: That's correct.

8 THE CHAIRPERSON: Just while we're looking  
9 at it, it's a different question but would it be possible  
10 to make -- I don't know -- what is the waterway going to  
11 be called ultimately?

12 MR. SHOSKY: Are you suggesting we name it  
13 after you or Potter's Pond or ---

14 THE CHAIRPERSON: Well, possibly neither  
15 of those, but I just didn't know what to -- how to refer  
16 to it, because I don't think you could call it Muggah's  
17 Creek because it won't be a creek but ---

18 MR. SHOSKY: Well, it should definitely  
19 have a name that's more attractive than what it's  
20 currently referred to in engineering terms, "the open  
21 channel."

22 THE CHAIRPERSON: Yeah. Anyway, I guess  
23 what I'm asking is, is there -- well, I know the answer  
24 to this, the answer is always yes if you've got the  
25 money.

1                   But is there a potential to make more of a  
2                   feature of that water area than is currently shown in  
3                   terms of making it a broader waterway, providing for any  
4                   kind of pools within that?

5                   MR. POTTER: I think we employed the same  
6                   approach we looked at on the Coke Ovens Brook  
7                   realignment. We had somebody help us, one of our  
8                   consultants come in -- came in and did a design on that  
9                   in terms of both vegetation, you know, pools, meandering,  
10                  the nature of it.

11                  I think one of the cross-sections showed a  
12                  typical engineering cross-section of -- and I knew  
13                  somebody wouldn't like that drawing, but we expect that  
14                  we're going to take -- you know, that's for conceptual  
15                  purposes.

16                  We're going to have to take a look at, you  
17                  know, at the detail design stage, employing the same  
18                  approaches that we used on the Coke Ovens Brook  
19                  realignment, trying to get some pools, some  
20                  meanderingness and looking at vegetation where we  
21                  possibly can with that flow.

22                  THE CHAIRPERSON: If you could put up the  
23                  Coke Ovens. So, a slightly different situation from the  
24                  Tar Ponds. We do have different capacity here.

25                  I just wonder if you would like to reflect

1 at all on the thinking process between what went where on  
2 these concepts.

3 MR. SHOSKY: Well, we've had a lot of  
4 discussion over the last week on different topics. I'm  
5 sure that there's some of us in here that would have a  
6 golf course as a personal favourite but then there's  
7 other that don't.

8 I think one thing that I've noticed -- and  
9 I've been in a lot of different areas -- is the lack of  
10 nice green space with trail riding or hiking trails in  
11 it, and then I've also in driving around town noticed  
12 that, in my opinion anyway, there's probably a shortage  
13 of outdoor field activities, like whether it's a baseball  
14 diamond or a soccer field or something like that.

15 I understand there's not much football  
16 played here, so it would have to be some sort of, you  
17 know, soccer field or something of that nature, and  
18 that's kind of what that was around.

19 Now, that gives us a lot of interest in  
20 this particular part up here, because it is a lot of  
21 acreage there and there's a lot of potential for several  
22 different things that could happen in that area. I just  
23 didn't have enough time to think it through as to what my  
24 best suggestion would be. That's why we have a lot of  
25 variety up there.

1 THE CHAIRPERSON: Yes, my question was not  
2 so much, you know, why you showed a tennis court or  
3 whatever but it's the fact that you've located them in a  
4 certain way, and I just wanted to know whether there's --  
5 in terms of, again, the capacity just for certain kinds  
6 of future uses, if there's -- if you have any reflections  
7 in the different parts of the site because there is --  
8 the site will differ in terms of some of it will be  
9 capped and some won't.

10 Did you deliberately put those sports  
11 facilities ---

12 MR. SHOSKY: No.

13 THE CHAIRPERSON: Oh? That's simple. And  
14 then when it comes to the next one with the industrial  
15 uses?

16 MR. SHOSKY: Yeah, there was a little bit  
17 more thought that went into that one, and the reason  
18 being is because these areas here, which was that big  
19 green area that we saw in the last one, you could get by  
20 with, you know, putting in the parking lots and whatnot  
21 and having some tree breakers between them and putting  
22 office buildings there.

23 THE CHAIRPERSON: So, you mean there's  
24 possibly a virtue in having impermeable surfaces in that  
25 capped area? Is that what you meant?

1 MR. SHOSKY: Yes, but not that much better  
2 than a properly managed green space.

3 MR. POTTER: I think the key point is that  
4 we have -- as you can see from the various conceptual  
5 drawings, we have a lot of flexibility in what that  
6 future use could be, and depending on, you know, the  
7 ultimate decisions made the MOA does allow us to, you  
8 know, take the design to the point of where it would  
9 accommodate that future use.

10 And if we start understanding what the  
11 wishes are of the community through the Municipality and  
12 the Master Port Development Committee, we can certainly  
13 start taking the design as we progress to a point where,  
14 you know, it's to everybody's benefit.

15 And, you know, we're not restricted, I  
16 guess that's the key thing, that there's some limitation  
17 -- very limited limitations in terms of what we can do  
18 getting into the -- deeper into the site, but in terms of  
19 the surface activities there's quite a bit of potential.

20 DR. LAPIERRE: I was pleased to hear that  
21 and I was pleased to hear that, you know, the locations  
22 of these balls fields and soccer -- the way you have them  
23 aren't the way that they must stay on the land, because I  
24 was thinking if you're looking at future use and you're  
25 looking at industrials and looking at the possibility of

1 integrating the downtown activities ---

2 I have a limited experience in some of  
3 these, but if you could cluster four or five ball fields  
4 together, cluster five or six soccer fields together with  
5 a centralized facility, then you can generate tournaments  
6 on a provincial or regional scale and those fit into this  
7 type of areas.

8 And I guess my question is as to how you  
9 -- if you had gone about developing property development  
10 units, one of those could have been, you know, a sport  
11 type complex where you could integrate those activities.

12 And I guess my question was -- but you did  
13 answer before -- do you have the capability of designing  
14 a larger scale and grouping all of your soccer fields  
15 within a functional unit? Because it becomes much more  
16 functional if you've got five or six fields or five or  
17 six ball fields that can work together.

18 MR. POTTER: Certainly. You know, we took  
19 two groups up to Moncton to the CN shops[?] property, and  
20 that's a classic example of that, and, you know, it's  
21 amazing to see what they did with that property, and they  
22 did, you know, take advantage of the grouping PDU there  
23 and that's, you know, certainly something that can be  
24 looked at.

25 And we have a limitation within the MOU

1           how far we can take the soccer field. Maybe we can get  
2           it right to the point where we don't put the grass down,  
3           but we can -- you know, certainly the intent will be to  
4           try to take this as far as we can within the confines of  
5           the MOU for making the site suitable for those future  
6           uses.

7                         MR. CHARLES: I've just got a question  
8           about the roads. You've got roads on the Tar Ponds, and  
9           it's, I guess, the Tar Ponds we're more concerned about.

10                        But would there be any weight restrictions  
11           on the vehicles that -- I'm concerned about the 17 psi  
12           and what -- I take it since you've got roads there you're  
13           confident that you can drive vehicles on them?

14                        MR. SHOSKY: The short answer is yes, and  
15           also with the roads there would have to be some  
16           additional bedding material and things like that that  
17           would need to be put in place to make sure that they were  
18           able of meeting at least, you know, regular passenger  
19           size type of vehicles.

20                        MR. CHARLES: And on the Tar Ponds you've  
21           got all those drainage channels underneath there as well,  
22           so I guess you'd have to be careful on how you  
23           constructed the roads not to interfere with those, would  
24           you? Or would you be down to that depth?

25                        MR. SHOSKY: That's correct. And it's one

1 of the reasons why you don't see much more than just bike  
2 paths down in that area at this point. I mean, if we  
3 were going to upgrade it, we would probably want to  
4 increase the unconfined compressive strength of the  
5 material at least in the upper layers.

6 MR. CHARLES: Okay. Thank you.

7 THE CHAIRPERSON: Well, thank you very  
8 much. I think, if you can bear with me in patience,  
9 folks, that we should now take a 10-minute break so we  
10 can all stand up, and then when we come back I will  
11 invite questions from other participants.

12 Thank you very much. So, it is -- we'll  
13 return at 5 to 5:00.

14

15 --- RECESS: 4:44 P.M.

16

17

18

19

20

21

22

23

24

25

1 --- RESUME AT 4:56 P.M.

2 THE CHAIRPERSON: We will resume.  
3 Congratulations to you stalwart people who are still  
4 here. I really admire your strength and perseverance.  
5 And really appreciate it too. So I'm now going to open  
6 the floor for questioning. And I would like to start off  
7 or basically focus the questions on the capping and the  
8 future use and of course, we did get -- very much into  
9 the solidification and stabilization issue so I guess  
10 that's fair game as well. I'd like to focus the  
11 questions on there and just, depending on how the time  
12 goes because I don't think we'll -- we'll try not to go  
13 too late from now on but then I know you might be --  
14 there might -- you might be sitting there with a burning  
15 question -- or sorry, no pun intended -- with respect to  
16 the monitoring that was shown at the end of the agency's  
17 presentation so I -- if you -- if somebody does have a  
18 question about that I'll try and fit it in at the end but  
19 please can we focus on the capping and future use to  
20 begin with. So could I just get a sense of who has  
21 questions please. Okay, I'm going to go from the back to  
22 the front this time. I have -- so Ms. Kane. I have Ms.  
23 Kane, Dr. Ignasiak, Ms. MacLellan, Mr. Lelandais and Mr.  
24 Marman. That's it so -- are you cold?

25 MS. KANE: Frozen.

1 THE CHAIRPERSON: Yes, we are too.

2 MS. KANE: Yeah, it's really cold.

3 -----

4 SYDNEY TAR PONDS AGENCY

5 --- QUESTIONED BY MS. MARLENE KANE

6 MS. KANE: Good afternoon. I'm sorry I  
7 missed the presentation but I still have some questions.  
8 Just before we broke -- went for a break, I mean, Mr.  
9 Shosky you said to increase weight restrictions on the  
10 Tar Ponds for possible future site uses that you could  
11 increase the unconfined compressive strength in the upper  
12 layers but you wouldn't have to do it in the lower  
13 layers. How would that help -- hold more weight if only  
14 the upper layers were done but the lower layers had a  
15 much lower compressive strength?

16 MR. SHOSKY: Often in a lot of road  
17 construction projects you'll have a certain thickness for  
18 that. Heavier weight matters more than it does at depth  
19 and it's just a function of making it competent in that  
20 upper layer.

21 MS. KANE: It won't somehow force --  
22 because the strength in the lower layers will be weaker  
23 than in the upper layers, it won't somehow put too much  
24 pressure on those lower layers?

25 MR. SHOSKY: I don't think so.

1 MS. KANE: And you wouldn't be able to  
2 really know that, though, could you? Would you be able  
3 to test what was happening in the treated sediments below  
4 as far as damage?

5 MR. SHOSKY: Well, first of all, the  
6 geotechnical properties of the material would be defined  
7 and then just like as if they were building a regular  
8 road, they go through their normal process of design  
9 which would include verifying what the strengths would  
10 need to be in order to support the load that you were  
11 going to put on it.

12 MS. KANE: Okay, I guess ---

13 MR. SHOSKY: It's engineerable, I guess,  
14 is -- if that's a word.

15 MS. KANE: Okay. You've -- I'm wondering  
16 how will you control the leachate in the groundwater from  
17 the slag piles which are on the east side of the North  
18 Pond from infiltrating the SS material and the cap?  
19 Should be [inaudible], sorry.

20 MR. SHOSKY: Can you bear with me a minute  
21 while I put up a -- just a plan view so we can talk from  
22 that.

23 MS. KANE: Okay, thank you.

24 MR. SHOSKY: That might be better. Ms.  
25 Kane, let me just make sure I understand the area you're

1 talking about. This here?

2 MS. KANE: Yes. That's where the slag  
3 piles are from ---

4 MR. SHOSKY: Right. From SYSCO. Right  
5 now the current thought is that that area would be again  
6 -- the material that's coming onto the tar cell site or  
7 would be put -- placed next to the tar cell site would  
8 ---

9 MS. KANE: Tar Ponds. Tar Ponds.

10 MR. SHOSKY: Ponds, sorry. Tar Ponds  
11 site, would be of a higher -- a lower -- would have a  
12 permeability of about ten to minus 4, ten to minus 5. So  
13 as the water and whatever else comes from SYSCO comes to  
14 this area, it would hit this monolith that would be at  
15 ten to the minus 6 or 7 and by gravity would come down in  
16 theory in this direction. We're in the process of  
17 looking at those design details right now and I don't  
18 have a good answer for you to answer your question at  
19 this point.

20 Right, the only other addition that I'll  
21 make to that would be that we do expect to see some  
22 groundwater welling that might be intercepted by some of  
23 the t-drain system that we have here which would show up  
24 in pipes that would be closed and monitored along this  
25 area. But this is an area that we're looking at a lot

1 right now because of putting in a more impermeable  
2 barrier there with the monolith, is basically how we've  
3 decided to try and deal with it at this point.

4 MS. KANE: So you don't really have a plan  
5 in place for that yet?

6 MR. SHOSKY: It's not fully developed yet.

7 MS. KANE: But you've determined that the  
8 cap will not be sedaquious[?] on top of the Tar Ponds so  
9 ---

10 MR. SHOSKY: That's correct.

11 MS. KANE: --- you'll have to ensure that  
12 no ---

13 MR. SHOSKY: Well, we're talking about  
14 groundwater here right?

15 MS. KANE: --- groundwater or -- um-hmm.

16 MR. SHOSKY: And we're talking about the  
17 groundwater coming and hitting a rock and we're -- we are  
18 not sure exactly at this point what will happen at that  
19 interface. That's something that we're looking at.

20 MS. KANE: I'm sorry, which rock?

21 MR. SHOSKY: The monolith.

22 MS. KANE: It's going to be like a rock?

23 MR. SHOSKY: Yes. It'll have a  
24 permeability of ten to minus 6 or ten to minus 7. And  
25 just to clarify something with you as well, is that we do

1 have some collection -- a shallow collection drain here,  
2 potentially for some interception there but we're still  
3 looking at those design details in that particular area.

4 MS. KANE: And just one more question on  
5 that. You're -- so far you're talking about the  
6 groundwater hitting the monolith or the rock that you  
7 were referring to it as ---

8 MR. SHOSKY: Yes.

9 MS. KANE: --- but what about the cap  
10 that's on top?

11 MR. SHOSKY: It's -- it wouldn't affect  
12 the cap. In my opinion I don't think it would affect the  
13 cap. We have, in this particular area here, in order to  
14 make everything line up at this stage as we understand  
15 it, our cap should be above the groundwater in this area.

16 MS. KANE: Okay, that's going to -- but  
17 you still have a buildup of water behind it and you're  
18 going to have to ---

19 MR. SHOSKY: That's correct.

20 MS. KANE: All right. Thank you. Do I  
21 have more time? I've got quite a few questions. I'm  
22 sorry. I feel I'm -- it was stated that the leachate  
23 criteria in the Tar Ponds sediment is already being met  
24 before treatment with SS and that stabilization had  
25 little or not effect on the leachable levels of volatile

1 organics, PAHs and PCBs. There was an increase, however  
2 in the leachable levels of some metals following  
3 stabilization. Confirmation of these results would  
4 depend on additional testing of samples with higher  
5 levels of leachable volatile organics, PAHs, PCBs and  
6 metals. And I understand that testing was conducted and  
7 I'm wondering what were the results of those additional  
8 tests.

9 MR. SHOSKY: All the testing data that has  
10 been done so far, while there was a lot of tests done  
11 historically on the leachability of the sediments, the  
12 most recent testing is that that was submitted in one of  
13 the IRS and it was the tech memo on stabilization. There  
14 hasn't -- to my knowledge there hasn't been any testing  
15 since then.

16 MS. KANE: Okay and so did it confirm that  
17 these results -- just one moment please.

18 THE CHAIRPERSON: Ms. Kane, can you just  
19 say what you were quoting from?

20 MS. KANE: It was from my submission.

21 THE CHAIRPERSON: Your comment.

22 MS. KANE: Yeah, it was my submission on  
23 question No. 21 -- between 20 and 21 that the other  
24 question was, it says the long term immobility of some  
25 organic compounds has not yet been proven in stabilized

1 material. Is that still the case? Or was that proven in  
2 that last round of testing?

3 MR. SHOSKY: Well, we believe that it was  
4 shown that that would be the case in the last round of  
5 testing but as I explained to the Panel, there would be  
6 quality assurance, quality control testing going on  
7 throughout the stabilization process in order to verify  
8 that those assumptions that were part of the original  
9 design hold throughout the entire process and if there  
10 was a case where things weren't -- where the parameters  
11 weren't met, then they would be retreated again until  
12 they were.

13 MS. KANE: Okay. The South Pond and  
14 correct me if I'm wrong, the South Pond has been  
15 submerged on the most part with fresh water and the North  
16 Pond has been submerged with salt water and fresh water  
17 when the coffer dam is opened, how will that affect how  
18 the sediments behaved following the treatment with SS?

19 MR. SHOSKY: In my opinion it shouldn't  
20 make a difference.

21 MS. KANE: It won't make a difference at  
22 all?

23 MS. SHOSKY: I don't believe so.

24 MS. KANE: Okay. I noticed in -- and I  
25 can't remember, I'm sorry, what study it was -- it was

1 again in the last -- and I brought it up at the last  
2 round of questioning, it was your last sampling in Table  
3 7 where it was showing the compressive strength after  
4 seven days and then after 14 days? I'm wondering first  
5 of all, would there not be a greater percentage of  
6 organics present in the South Pond than in the North Pond  
7 because of tidal flushing in the North Pond?

8 MR. SHOSKY: I would only be speculating  
9 to answer that question because I have not gone through  
10 all of the data and done a comparison of analysis of that  
11 nature.

12 MS. KANE: So you're not sure if there's  
13 more organics in the South Pond or in the North Pond?

14 MR. SHOSKY: Not categorically speaking.

15 MS. KANE: Because SS is more successful  
16 on inorganic material than organic material and I'm just  
17 wondering if the level of organics between the North and  
18 South Pond, if they're different, if it would have a  
19 different effect during the SS process?

20 MR. SHOSKY: I don't believe it would and  
21 I think it's been discussed now on several occasions that  
22 stabilization works really well for inorganic material  
23 but it's -- as demonstrated by the projects I presented  
24 in and into the Panel in presentation of other materials,  
25 it's suitable for organic material as well.

1 MS. KANE: Is it not possibly the reason  
2 -- I think I heard you mention that one of your test  
3 results showed a psi of 100. And was that a sample from  
4 the North Pond, close to the mouth of the North Pond?

5 MR. SHOSKY: I believe so.

6 MS. KANE: Could that not be a reason why  
7 there is a higher compressive strength in that area  
8 because there's fewer organics?

9 MR. SHOSKY: It typically may make a  
10 difference but not that much of a difference.

11 MS. KANE: Okay and I just have one more  
12 question. Thank you. I'm just wondering if the issue of  
13 the methane gas or other gasses being generated has been  
14 dealt with?

15 MR. SHOSKY: Has the method of methane gas  
16 been dealt with?

17 MS. KANE: And other gasses in there?

18 MR. SHOSKY: And other gasses.

19 MS. KANE: Um-hmm.

20 MR. SHOSKY: As we discussed earlier, I  
21 don't see a process in place right now that would  
22 generate that methane gas or the other gasses in  
23 quantities that would affect the capping system or any of  
24 the control systems that are out there. The conditions  
25 just don't exist.

1 MS. KANE: But during the tech demo there  
2 were complications experienced within drum samples of the  
3 Tar Pond sludge when methane gas were generated from the  
4 anaerobic decomposition of sewage organics.

5 MR. SHOSKY: Well, I can't speak to the  
6 tech demo that was done several years ago. I can say  
7 that drums of ---

8 MS. KANE: That was prior to ---

9 MR. SHOSKY: Pardon?

10 MS. KANE: That was prior to any treatment  
11 being conducted from what I understand. It was after the  
12 samples were put in barrels to be shipped off, that's  
13 when the methane gas was a problem.

14 MR. SHOSKY: But what we're doing with  
15 that material through the stabilization process is that  
16 you're removing the conditions that would cause that to  
17 generate. For example, I don't know how much oxygen  
18 there was in the drums that were there or under what heat  
19 conditions they were under. There's a number of things  
20 that can cause a drum to bulge. Or you know, spill over.

21 MR. POTTER: Just if I could add to that,  
22 that was a problem, Ms. Kane, that -- it's just samples  
23 collected in a drum, placed in the building and they were  
24 left to sit for awhile and there wasn't a problem with  
25 methane. They -- you know, the organics were breaking

1 down, there was a gas problem with the drums. The  
2 problem was addressed and solved. But as Mr. Shosky said  
3 the, you know, material hadn't been treated. It was just  
4 sitting in a drum in a warm building and that's not the  
5 situation we're dealing with now with the SS and -- being  
6 applied to the sediment where it's being treated.

7 MS. KANE: But it's because the -- there  
8 was oxygen within the drums, is that right, that created  
9 the methane gas.

10 MR. SHOSKY: You need oxygen in order to  
11 have that process begin, in my opinion and in our  
12 situation with the monolith, we're not going to have a  
13 situation where there's going to be a lot of oxygen  
14 exchange in there. There'll be some oxygen exchange when  
15 we do our mixing process but hydraulic conductivity will  
16 be so low at the time it's placed that it's not conducive  
17 to a lot of air flow movement.

18 MS. KANE: So you don't perceive a problem  
19 at all with the generation of methane or other gasses?

20 MR. SHOSKY: No, I don't.

21 MS. KANE: Okay, thank you very much.

22 THE CHAIRPERSON: Thank you, Ms. Kane.  
23 Dr. Ignasiak. I didn't put any time limit on Ms. Kane  
24 because I wasn't awake but I will -- I was awake, I'm  
25 sorry. I was listening I assure you. Oh, dear. But I

1 will perhaps say five minutes from now on. So Dr.  
2 Ignasiak.

3 -----

4 SYDNEY TAR PONDS AGENCY

5 --- QUESTIONED BY DR. LES IGNASIAK

6 DR. LES IGNASIAK: Madam Chair, first I  
7 understand that we'll be still able to ask some  
8 questions, the Proponent some questions on Tuesday  
9 between 1:00 and 4:00. Is that correct?

10 THE CHAIRPERSON: Yes, that's right. The  
11 Panel have questions and then there'll be time for other  
12 participants, yes.

13 DR. LES IGNASIAK: I think there is -- in  
14 order to answer the questions or explain the importance  
15 of the question that Marlene Kane asked I would need some  
16 time so I would leave it till Tuesday and I will embark  
17 rather on easy questions now. I would like to ask Mr.  
18 Shosky whether I understood correctly that during his  
19 experience in Australia the first slide that he described  
20 was in Brisbane NGP site and my question is, I understood  
21 when he was describing the site that the monolith was  
22 transferred off the site, is that correct? Or am I  
23 wrong?

24 MR. SHOSKY: No the monolith was built off  
25 site, that's correct.

1 DR. LES IGNASIAK: The monolith was built  
2 off site. So it was not really in situ? The second ---

3 MR. SHOSKY: I'm not sure what that  
4 comment meant. I didn't suggest it was similar. All I  
5 suggested was that the fact was is that it was a  
6 redevelopment of a site and the material was hauled off  
7 site and put -- mixed with cement and put in an offsite  
8 land fill.

9 DR. LES IGNASIAK: Sorry, perhaps I was  
10 confused. The second site, Melbourne, Australia and I  
11 believe that here I got it straight. Materials were  
12 removed off site. The materials which were stabilized  
13 were removed off site?

14 MR. SHOSKY: Yes, and I had indicated  
15 that.

16 DR. LES IGNASIAK: I see. So it was not a  
17 stabilization on site?

18 MR. SHOSKY: The material was stabilized,  
19 preliminarily on site and hauled off site and placed in  
20 an off site location.

21 DR. LES IGNASIAK: Okay, but what would be  
22 the intention for instance, here, in stabilizing the  
23 material inside and then removing it outside?

24 MR. SHOSKY: Both of these developments  
25 were multi-billion dollar developments and the

1 environmental cleanup whether it was an on site solution  
2 or an off site solution were less than one percent of the  
3 entire project and when you do the economics from a  
4 developer's point of view, they decided it was more cost-  
5 efficient for them to remove the material to an off site  
6 location.

7 DR. LES IGNASIAK: But you do not intend  
8 to do that here, right?

9 MR. SHOSKY: There's no reason to.

10 DR. LES IGNASIAK: I see. And about  
11 potential reasons, I understood today that really there  
12 might be a situation that different percentage of cement  
13 will be applied in different spots of the Tar Ponds. And  
14 I presume that that would be related to organics content,  
15 wouldn't it?

16 MR. SHOSKY: Not necessarily. There's a  
17 number of factors, particle size, moisture content.  
18 There's a lot of different reasons why we would change  
19 the cement mix concentrations and frankly it would be  
20 more towards the metal concentrations in mercury than it  
21 would be organics.

22 DR. LES IGNASIAK: I agree that there are  
23 some perhaps other factors but wouldn't it be worthwhile  
24 to really say at this point that as far as the samples  
25 that were tested by Earth Technology, the fact is that

1 there was about 50 percent less total petroleum  
2 hydrocarbons in the north sample as compared with the  
3 south sample? Almost exactly 50 percent, I remember I  
4 calculated it.

5 MR. SHOSKY: I'm not sure what numbers  
6 you're referencing.

7 DR. LES IGNASIAK: I'm referencing to your  
8 report, Earth Technology report. You took one sample  
9 from the South Pond and one from North Pond. These are  
10 the samples that Marlene referred to and one of those  
11 samples taken from the North Pond showed that the  
12 strength was actually achieving 100 psi while the other  
13 one was significantly below 20. And also what Marlene  
14 didn't mention is that surprisingly if you do cure cement  
15 you should have strong -- higher strength with time.  
16 Those samples behave this way that after seven days of  
17 curing the strength was higher than after 14 days of  
18 curing. Could you explain that?

19 MR. SHOSKY: Yeah, there's a lot of  
20 variation when you collect samples and have them tested.  
21 It's not uncommon to have some variation between the test  
22 results like that.

23 DR. LES IGNASIAK: But if that's really  
24 the case, if you had a problem with the sample which was  
25 20 litre sample, as far as I remember, how would you then

1 proceed with huge sample which is the Tar Ponds.

2 MR. SHOSKY: Because we have a lot of  
3 experience and I, personally, have a lot of experience  
4 with a lot of stabilization projects and all of that  
5 experience tells me that we've got a good solution here  
6 for those particular materials. And with the proper  
7 quality assurance, quality control program, monitoring of  
8 the additives, doing the testing that we're supposed to  
9 do, that we would be able to successfully execute the  
10 project that is on the table right now.

11 DR. LES IGNASIAK: Last question, Madam  
12 Chair, about experience. Would you agree that probably  
13 in the North American continent the best experience has  
14 the United States Department of Energy that really is  
15 using the solidification process quite often.

16 MR. SHOSKY: No and the reason being is  
17 because they're stabilizing primarily different materials  
18 than most other people are doing in the environmental  
19 business right now. They have a very specific way that  
20 they look at waste streams and things of that nature. In  
21 taking subsets out of totally different conditions  
22 inappropriate for this discussion.

23 DR. LES IGNASIAK: Can I follow up with a  
24 question?

25 THE CHAIRPERSON: Yes, please do.

1 DR. LES IGNASIAK: So are you saying that  
2 essentially in -- on this -- in the North American  
3 continent the organic wasters are more often stabilized  
4 than inorganic wasters which are metalloids and metals?

5 MR. SHOSKY: I am saying that there are a  
6 number of sites that have organic contamination that are  
7 being stabilized in the United States. I don't know how  
8 the volumes compare. There's an awful lot of mine  
9 tailing sites that are now being stabilized that are  
10 metal, concentrated sites that are huge volumes. A lot  
11 larger than what we're doing here. But you know, there  
12 are a large number of sites that are being stabilized  
13 that have high organic concentrations in them.

14 DR. LES IGNASIAK: I have a good memory  
15 and I do remember that between 1882 and 2002, based on  
16 EPA reports which was published in 2004 and those people  
17 from Portland Cement Association referred specifically to  
18 this report, for the whole period up to 2002 in situ  
19 stabilization on Superfunds here was with three million  
20 thirty-six thousand tonnes. Out of that they emphasized  
21 close to two million tonnes was stabilized within one  
22 project.

23 I must tell you that was the U.S. [--]  
24 project. Anyway, so the remaining amount is slightly  
25 more than one million divided over 20 years which is

1 what, about one hundred thousand. No it's not, fifty  
2 thousand, I'm sorry. So that really indicates there is  
3 not such a large experience with in situ stabilization of  
4 organics and I must tell you, this is my final  
5 conclusion, that the United States Department of Energy  
6 policy now is -- and I'm quoting:

7 "Waste lands loaded with organics are  
8 supposed to be thermally treated to  
9 destroy the organic species before  
10 the waste is solidified in the cement  
11 base matrix."

12 Thank you very much.

13 MR. SHOSKY: One clarification, Madam  
14 Chair. I think it's important to note that quoting EPA  
15 documents or studies don't reflect what happens in the  
16 commercial world outside of the government and those  
17 figures are not included in the ones that he's  
18 referencing.

19 THE CHAIRPERSON: Yes, thank you.

20 DR. LES IGNASIAK: Madam, I will have my  
21 own presentation and I will specifically refer to private  
22 projects.

23 THE CHAIRPERSON: Thank you, Dr. Ignasiak.  
24 Did the quotation you just stated, do we have that, a  
25 reference to that? Sorry you'll have to come back to the

1 ---

2 DR. LES IGNASIAK: The quotation that I  
3 referred to is in my undertaking.

4 THE CHAIRPERSON: Okay, thank you very  
5 much. Yes, Ms. MacLellan. So five minutes.

6 -----

7 SYDNEY TAR PONDS AGENCY

8 --- QUESTIONED BY CAPE BRETON SAVE OUR HEALTH

9 (MS. MARY-RUTH MACLELLAN)

10 MS. MACLELLAN: I probably won't take that  
11 long because right now while I'm freezing outside my  
12 blood is boiling inside. And I'm doing the very best I  
13 can to maintain my temper right now. I have first, if I  
14 may, a point of information, I have some clarification  
15 that I would like and I have a couple of questions. And  
16 I have a couple of undertakings. And then I have maybe  
17 one and a half questions regarding the monolith for today  
18 because I'm going to hold all my questions until I simmer  
19 down some. By Tuesday that should be -- the point of  
20 information is, the picture on one of our reports that we  
21 submitted first is a picture of the Mullins Coal Bank.  
22 I'll leave you to decide whether you feel there's been  
23 any remediation there.

24 I have since then submitted water sampling  
25 tests from the Mullins Coal Bank. I will leave the Panel

1 to their discretion to see them and think about them.  
2 The point of clarification is, when we come back on  
3 Tuesday how many questions will be allowed -- we be  
4 allowed to ask and how long?

5 THE CHAIRPERSON: I can't answer that I'm  
6 afraid, not until we get -- I'm afraid there's always  
7 Panel questions need to take priority because we really  
8 need to ask them but we'll try and provide as much time  
9 as we can. That's the best answer I can give you.

10 MS. MACLELLAN: So it would be wise to  
11 have your questions in typewritten form so that if you  
12 don't get them all asked I can turn them in.

13 THE CHAIRPERSON: Sounds like a very good  
14 idea, yes.

15 MS. MACLELLAN: I'm just saying that so  
16 everybody else might want to do that too. The  
17 undertakings. They -- at the beginning you asked about  
18 them bringing samples of the solidification or their  
19 mixes. Has that been done?

20 THE CHAIRPERSON: The Panel subsequently  
21 withdrew the request, so no.

22 MS. MACLELLAN: The other undertaking was  
23 regarding the financial things that I asked before, about  
24 the breakdown on the costs of the money spent to date and  
25 the operating costs of Tar Ponds Agency.

1 THE CHAIRPERSON: I'll ask first for the  
2 agency if you can -- if you know which undertaking that  
3 is. Otherwise I'll take that under advisement and we'll  
4 get back to you. Do you know when you made it, the  
5 request?

6 MS. MACLELLAN: Probably the first or  
7 second day.

8 THE CHAIRPERSON: Right.

9 MR. POTTER: There's two, I think on  
10 costing. One is costing in general and there was one  
11 about the doubling of costs. There was two undertakings  
12 on that so we should have that number back very shortly,  
13 hopefully perhaps tomorrow. So ---

14 MS. MACLELLAN: So both of them will be  
15 done before Tuesday so that we can look at them before we  
16 do our questions?

17 MR. POTTER: I'll commit that it'll  
18 definitely be in before Tuesday. If we can tomorrow,  
19 we'll have it done then.

20 MS. MACLELLAN: Monday's fine. The  
21 question regarding the monolith and 100 year storms. I  
22 am still questioning the depth of the monolith and the  
23 heighth of the seawall. So far I haven't been given an  
24 exact depth or heighth. I'm questioning he depth because  
25 of the frost here. Sometimes it can go from three to

1 four feet, depending on the weather and the winter we  
2 have. The other one regarding the 100 year storm, I  
3 believe if I'm correct, you said you based your  
4 calculations on storm surges and the fact that we may  
5 only get a bad storm once every 100 years. I beg to  
6 differ that the storms are changing.

7 A 1700 century wall just got uncovered  
8 this year in Louisburg but having said that it was 89  
9 years ago, either this month or next month that we did  
10 have a tidal wave. That leaves us 11 years. Have you  
11 considered what might happen if we have another tidal  
12 wave. Have you considered the fact that we have a fault  
13 line here that runs all the way from Cape Breton to  
14 Newfoundland. Indeed, that tidal wave we had in 1927 not  
15 only impacted Cape Breton very heavily along the coast  
16 but it also impacted Newfoundland, the areas around  
17 Fortune and Grand Bank and Marystown, all those areas  
18 were heavily impacted and many people died. So what  
19 would that do to your monolith? Thank you.

20 THE CHAIRPERSON: You've asked a question,  
21 though. What would you like to know about the height of  
22 the seawall?

23 MS. MACLELLAN: I want to know how high it  
24 is and what kind of permeability will it have.

25 THE CHAIRPERSON: On the depth question

1 ---

2 MR. SHOSKY: I'm sorry. I don't have the  
3 heighth, the details on the seawall at this point. I'd  
4 have to go back to some drawings that we have. That's a  
5 pretty simple thing for us to do. On the 100 year storm  
6 event, what that means is that at any given time there's  
7 a one in -- one percent chance that that storm event  
8 would happen. That's the frequency that they may come  
9 about. And it's a typical design standard that's used  
10 for roads, highways, bridges, parking lots, all that kind  
11 of infrastructure jobs.

12 MS. MACLELLAN: I will leave it at that,  
13 then, Madam Chair. I thank you very much for your  
14 patience but let me just say mine is running out because  
15 I'm tired of hearing we don't have, we don't know, we're  
16 unsure and I believe it to be so. Thank you.

17 THE CHAIRPERSON: Well, I believe in this  
18 instance, to be fair, they have the information but not  
19 right at their fingertips. Now are you going to --  
20 that's an undertaking. You'll provide that information  
21 or provide the reference where we can find it? [u]

22 MR. POTTER: Yes, we'll -- it's the tender  
23 that's just been out for the barrier and we'll get the  
24 engineering drawing and get the heighth and get back with  
25 an undertaking on it.

1 THE CHAIRPERSON: Thank you. I think Mr.  
2 Lelandais, you're next please.

3 -----

4 SYDNEY TAR PONDS AGENCY

5 --- QUESTIONED BY MR. HENRY LELANDAIS

6 MR. LELANDAIS: Thank you, Madam Chair.  
7 Most of my -- or my main question was already asked by  
8 Marlene and it was pretty well answered about the runoff  
9 from the high slag dump at the steel plant. The only  
10 question I have left Mr. Shosky would be the actual  
11 mixing of the aggregate in the cement and so on will that  
12 be done in the sense of, to use a comparison, a  
13 rototiller type of mixing or a vertical -- I think you  
14 know what I'm getting at but ---

15 MR. SHOSKY: That's a good question.  
16 Right now the intention is to use traditional civil  
17 excavating equipment to do that work.

18 MR. LELANDAIS: Okay, yes.

19 MR. SHOSKY: And that's what the plan is  
20 on the table right now.

21 MR. LELANDAIS: And the full depth, you're  
22 going down to till down to the ---

23 MR. SHOSKY: Yes.

24 MR. LELANDAIS: Thank you very much.

25 Thank you, Ma'am.

1 THE CHAIRPERSON: Thank you. I have Mr.  
2 Marman.

3 -----

4 SYDNEY TAR PONDS AGENCY

5 --- QUESTIONED BY MR. RON MARMAN

6 MR. MARMAN: Thank you, Madam Chair. Just  
7 in the discussion on stabilization and solidification  
8 there was a comparison of the project with and without  
9 incineration. And I had Mr. Shosky say -- heard Mr.  
10 Shosky say that without incineration the project would  
11 cost less, have no unforeseen shutdowns, be able to be  
12 better scheduled and would not be weather dependent. And  
13 I might add more acceptable to this community.

14 And the end result is relatively the same  
15 from what I understand, that whether we take all the PCBs  
16 out or we don't the end result is that we're going to  
17 have a fairly stable and safe site. It's my  
18 understanding that Federal regulations state PCBs over 50  
19 parts per million have to be destroyed but they said that  
20 you have to do this where it is practical.

21 It does not have to be destroyed if it is  
22 not practical. And you have to have -- come up with an  
23 alternative -- if you're not going to destroy them the  
24 alternative has to be -- an alternative has to be used  
25 that would cause no concern for human health. In this

1 case would we feel that, you know, we would fall under  
2 these guidelines where there was an alternative that  
3 would be perfectly safe and where we would not have to  
4 destroy the PCBs that are over 50 parts per million.

5 MR. POTTER: Madam Chair, I'll address  
6 that one and I think if Mr. Marman was here at the time  
7 that Environment Canada was presenting they did address  
8 that. They spoke about their departmental policies, the  
9 toxic substances policy and the fact that within their  
10 policies that we would be allowed to leave because we've  
11 identified that already in the project in one of the IRS  
12 that we're leaving, even with the excavation of the  
13 material going to the incinerator, we're leaving 11  
14 percent of the PCBs above 50 ppm. That was fully within  
15 the policy that the Environment Canada has for that  
16 material. So I guess answering your question that it's  
17 not breaking any of the department's policies or  
18 regulations or legislation to manage the PCBs in place.

19 MR. MARMAN: Thank you. And like you say,  
20 it just seems a bit remarkable to me that, you know,  
21 we're going to take some of the PCBs out and go through  
22 all the trouble of moving them to another location and  
23 try to incinerate them. And I shouldn't say try, I mean  
24 we will incinerate them, I'm sure if we did but go  
25 through all the problems that would be associated with

1 that and still be left with PCBs in the ground that  
2 basically are what we took out. So thank you. Thank  
3 you, Madam Chair.

4 THE CHAIRPERSON: Thank you Mr. Marman.  
5 Is there anybody who is not a registered participant who  
6 had a question? Seeing no one I want to thank you all  
7 for your patience and your participation. Thank you to  
8 the agency for your presentation and for answering  
9 questions again. We will resume tomorrow, on Friday. We  
10 will begin at 12:45 and we have a number of presentations  
11 tomorrow afternoon so thank you very much and we'll see  
12 you tomorrow.

13

14 (ADJOURNED TO FRIDAY, MAY 12, AT 12:45 P.M.)

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CERTIFICATE OF COURT REPORTERS

We, Lorrie Boylen, Ruth Bigio, Sandy Adam and Gwen Smith-Dockrill, Court Reporters, hereby certify that we have transcribed the foregoing and that it is a true and accurate transcript of the evidence given in this Public Hearing, SYDNEY TAR PONDS AND COKE OVENS SITES REMEDIATION PROJECT, taken by way of digital recording pursuant to Section 15 of the Court Reporters Act.

---

Lorrie Boylen, CCR  
Sandy Adam, CCR  
Ruth Bigio, CCR  
Gwen Smith-Dockrill, CCR

Friday, May 12, 2006 at Halifax, Nova Scotia