

PUBLIC HEARING
SYDNEY TAR PONDS AND COKE OVENS SITES
REMEDIATION PROJECT
JOINT REVIEW PANEL

V O L U M E 15

HELD BEFORE: Ms. Lesley Griffiths, MCIP (Chair)
Mr. William H.R. Charles, QC (Member)
Dr. Louis LaPierre, Ph.D (Member)

PLACE HEARD: Sydney, Nova Scotia

DATE HEARD: Monday, May 15, 2006

PRESENTERS: Ms. Debbie Ouellette
Dr. Les Ignasiak
Sierra Club of Canada:
Dr. Fred Lee

Recorded by:
Drake Recording Services Limited
1592 Oxford Street
Halifax, NS B3H 3Z4
Per: Mark Aurini, Commissioner of Oaths

I N D E X O F P R O C E E D I N G S

PAGE NO.

THE CHAIRPERSON - OPENING REMARKS	2636
MS. DEBBIE OUELLETTE - PRESENTATION	2638
MR. LES IGNASIAK - PRESENTATION	2677
SIERRA CLUB OF CANADA:	
DR. FRED LEE - PRESENTATION	2739

QUESTIONING

MS. DEBBIE OUELLETTE

Questioned by Joint Review Panel	2638
Questioned by Eric Brophy	2673
Questioned by Mary-Ruth MacLellan	2674

DR. LES IGNASIAK

Questioned by Joint Review Panel	2699
Questioned by Jonathan Kenyon (STPA)	2715
Questioned by Bruno Marcocchio (SCC)	2727
Questioned by Mary-Ruth MacLellan (SOHC)	2730
Questioned by Marlene Kane	2733

SIERRA CLUB OF CANADA - DR. FRED LEE:

Questioned by Joint Review Panel	2768
Questioned by Jonathan Kenyon (STPA)	2786
Questioned by Debbie Ouellette	2798
Questioned by Mary-Ruth MacLellan (SOHC)	2800
Questioned by Dan McMullin	2803
Questioned by Cameron Ells	2805

I N D E X O F U N D E R T A K I N G S

NO.	DESCRIPTION	PAGE NO.
U-1	Dr. Ignasiak to provide the recent papers he referred to with respect to the S/S projects	2719

1 --- Upon commencing at 5:01 p.m.

2 THE CHAIRPERSON: Good evening, ladies and
3 gentlemen. I would like to welcome you all here to the
4 resumption of the hearings.

5 It is warm in here. And I'm sorry, that's
6 the way it is, because the air that comes in is not --
7 it's not air conditioning, it's the outside air that is
8 brought to us. So perhaps as the sun goes -- sinks, it
9 will get a little cooler, but we'll -- otherwise, we'll
10 have to cope with this.

11 Before we begin, we have three
12 presentations this evening.

13 Ms. Ouellette is our first presenter.

14 But before we begin that, a few
15 housekeeping items, as usual. And I have a couple of
16 items here.

17 The first thing is that on Saturday -- I
18 need to make a correction here. On Saturday, the Panel
19 indicated that undertaking 18 had not been submitted. I
20 can now confirm that, in fact, undertaking 18 was
21 submitted by the Sydney Tar Ponds Agency on May the 5th.

22 Undertaking 18 relates to how much -- how
23 many dollars had been spent to date out of four hundred
24 million dollars (\$400 million) total. So, I apologize
25 for that.

1 The second thing is that to let you know
2 that the Panel has formally requested that Environment
3 Canada return on Wednesday, May the 17th in the morning.

4 We've asked them to come back because we
5 may have some questions in the areas of contaminant
6 hydrogeology, long-term performance of containment
7 structures, leachate tests and contaminant fluxes.

8 So, we've asked them to return Wednesday
9 morning. I can't tell you what time. We will be
10 announcing that a bit later on. So, that's an additional
11 session.

12 Just in case any of you came here at 3:30
13 this afternoon, which was originally announced as our
14 start up time, our presenter at that time withdrew.

15 I do apologize if you had a journey here
16 without -- and had to turn around and go back home. So
17 -- but nothing -- it was beyond our control.

18 And so, now that brings me to seeing if we
19 have any undertakings to be presented.

20 So, I'll ask first the Tar Ponds Agency.

21 So, Mr. Potter?

22 MR. POTTER: No undertakings tonight,
23 Madam Chair.

24 THE CHAIRPERSON: Any other presenters?
25 Do you have -- are there any other undertakings to be

1 presented?

2 Well, hearing none, we will now move on to
3 our first presentation of the evening, and it is Ms.
4 Ouellette.

5 And you have a presentation and a video, I
6 understand.

7 So, as you are well aware, because you've
8 been here for every session, I think, presenters have 40
9 minutes, and I will let you know 5 minutes before the
10 time is up.

11 --- PRESENTATION BY MS. DEBBIE OUELLETTE

12 MS. OUELLETTE: Thank you very much, Madam
13 Chair.

14 I just want to say, I had a few changes
15 since I gave you that report there.

16 Thank you, Madam Chair and Dr. LaPierre
17 and Mr. Charles, for being here today and giving me this
18 opportunity to speak on issues that I know first hand,
19 when shortcuts are taken, what it can do to residents who
20 live in and around the Coke Tar Ponds site.

21 I'll list a few things in the past and in
22 the present, and then I will talk about Frederick Street.

23 My concerns today, government promised us
24 our health and safety would be protected in the past and
25 in the present. If this was true, I wouldn't be sitting

1 here today.

2 When they disturbed the Cooling Pond on
3 April 27, 2006, people were experiencing headaches and
4 illness up to four days, and didn't know why until they
5 read it in the -- until they read the story, an excavator
6 pulled up sediments from the Cooling Pond, in the
7 newspaper.

8 You could smell the odours from Prince
9 Street up to the Steel Workers' Hall.

10 Were the residents living in and around
11 the site informed that work was going to take place prior
12 to disturbing the Cooling Pond?

13 In 2004, the smells from the Tar Ponds
14 were unfit. When you passed by Sobeys, you had to plug
15 your nose. The smell, at times, reached beyond Mechanic
16 Street where I lived.

17 I was so upset by this, I talked it over
18 with Neila, and we took turns checking the air monitors
19 by the Tar Ponds. When they were on, when the smells
20 were bad, how far the smells were from the site, and how
21 she was feeling on them days.

22 We took notes from June 19th, 2004 to
23 August 31st, 2004.

24 They removed the sewage from the Tar
25 Ponds, but the toxic soup is still there today.

1 We are the real time air monitors. It
2 seems when they disturb the sites, within hours, you sure
3 feel -- you sure don't feel well.

4 In 2005, workers were on the Coke Ovens
5 site digging up contaminated soil and placing it in the
6 back of trucks. Dust was flying everywhere.

7 I was standing on the overpass looking
8 down at the site, taking pictures. Within 20 minutes, my
9 eyes were burning from the emissions from the dust.

10 Seeing all the dust, it seemed to me that
11 no controls were put in place to keep the dust down on
12 that day.

13 On April 4th, 2002, they removed asbestos
14 from the Byproducts Building. Men were in white suits.
15 No stationary monitors were on.

16 On April 5th, 2002, in the afternoon,
17 about 2:30, I watched the Byproducts Building coming
18 down. The plume of orange dust was huge, and the smell
19 of gases were on my clothes. I was quite a distance away
20 from the site. Donnie and Elsie Deleskie were there with
21 me also.

22 They built a cover over the Domtar tank to
23 keep the emissions in, but on Friday, September 19th,
24 2003, in the newspaper story, the highest concentrations
25 of toluene ever recorded in North America.

1 The residents in Whitney Pier and Ashby
2 were complaining for days of the smell. We knew it was
3 coming from the Coke Ovens site.

4 Also, they made TNT explosives on the Coke
5 Ovens site. By the end of the war, more than 700,000
6 gallons of toluene had been produced in Sydney.

7 Now, I will talk about my story on
8 Frederick Street.

9 My family were victims of past mistakes,
10 so I will name a few events that happened in 1998 and
11 1999.

12 They placed signs on the fence that read,
13 "Human Health Hazard." We had no idea what that meant.

14 They hired students to go around the
15 neighbourhood with brochures telling people that work
16 would soon begin on the Coke Ovens site, but the
17 residents living closest to the site were not informed by
18 anyone. That was us.

19 I read in a document, work began on the
20 Coke Ovens site removing coal March 23rd, 1998.

21 The first week of April, I started feeling
22 really sick with headaches, nausea, fatigue, dizziness,
23 burning eyes. And when they were out -- when we were
24 outside, the taste of grit were in our mouths. My
25 headaches were so bad, I thought I had a brain tumour.

1 When the kids started complaining, this
2 really concerned me. Why were we getting sick?

3 I happened to be outside and noticed a man
4 working on the site. You could see the dust and smell
5 the coal tars in the air.

6 Heavy rains in the spring caused Frederick
7 Street brook to flood, which backed up in my backyard.
8 Over the years, this was a big problem.

9 I noticed two seeps in the brook, yellow
10 and orange. Media was called, and I made it into the
11 Cape Breton Post newspaper. This was all new to me, as I
12 was never in the news before.

13 When the seeps were tested, arsenic came
14 back 18 times higher than the CCME guidelines. We were
15 told not to go near the brook, and to watch the children
16 and pets.

17 They removed the seeps from the brook, and
18 one year later, arsenic levels were back four times
19 higher than the year before.

20 After arsenic came back high in the brook,
21 they placed an orange mesh fence to keep the pets and
22 children out of the brook. This was a joke.

23 The floods I lived with for years in the
24 brook, to find out in 1998, arsenic was high. The very
25 ground we walked on, sat on, played on, was no longer

1 safe for my kids.

2 My husband would take the kids up the
3 street to play with their friends, as their friends were
4 no longer allowed to come on Frederick Street. The
5 parents feared for their children. Do you blame them?
6 This was so hard on the kids.

7 When workers and contractors were on the
8 Coke Ovens site digging up the coal, and the smell of
9 coal tars were daily; when benzene smells were unfit,
10 when dust from the Coke Ovens was airborne, more often on
11 very windy days; our concerns were known to all.

12 It was so bad, we stopped the work on the
13 Coke Ovens site because we were complaining so much that
14 we were getting sick.

15 Even when reporters were on Frederick
16 Street doing a story, the brook was the main attraction.
17 They turned off their cameras and would feel sick like we
18 were, but when we asked them to say something, they
19 wouldn't -- they were not allowed, as they were there to
20 do a story only.

21 They placed air monitors in my yard, and
22 two in the next property. If they were on 24 hours, that
23 was it. I only remember one time when they were on. The
24 rest of the time, they were useless, as they were never
25 turned on when they should have been.

1 In order for the air monitors to be on,
2 they needed to be plugged in to my basement so the power
3 could go through them.

4 For seven months, the machinery sat on the
5 site doing nothing, and in December, Phillips was paid
6 over four hundred thousand dollars (\$400,000) for that
7 contract.

8 Wayne Pierce from Environment Canada took
9 samples from my yard to be tested.

10 Also, Mary White took samples from my yard
11 and mixed the samples right in front of my eyes.

12 My guess, they didn't want the numbers to
13 come back high.

14 In the document, it said, "Please mix SS2
15 and E." SS2 was my number.

16 We were concerned with high levels of
17 arsenic, that Dr. Geoff Scott arranged for us to have
18 tests done for arsenic and lead.

19 When my family went up to the hospital, a
20 nurse took hair samples and put the hair in a skinny tube
21 with a lead pencil. This was so funny.

22 When arsenic and lead results came back
23 from a little girl who was two at the time, who moved on
24 the street for only five months, to a man who worked on
25 the Coke Ovens site for 40 years, 28 of us had the same

1 numbers for arsenic. How could this be?

2 They decided to do a Cantox study at the
3 cost of fifty thousand dollars (\$50,000) for three weeks,
4 to come back and tell us there was nothing wrong on
5 Frederick Street.

6 Yet, from my backyard, I could see coal
7 dust bursts of air in -- from the site. The smells of
8 coal tars were bad on them days.

9 Shrubs and tree leaves were turning black
10 and dying. Can you just imagine what we were breathing
11 in?

12 Workers on the site wore protective
13 clothing and masks. We were not given the same
14 precautions. All we had was a chain link fence between
15 us. The workers even cutting the grass on the site were
16 dressed in white suits.

17 August 4th, 1998, I videotaped a huge
18 patch of black goo outside the fenced in areas of the
19 Coke Ovens site.

20 Wayne Pierce took samples. When the
21 results came back, Napthalene was 9,960, 166,000 times
22 higher than the CCME guidelines, and the acceptable limit
23 was 0.6.

24 We had a huge fire at the landfill. They
25 had fire trucks from 15 departments to put the fire out.

1 In the Cape Breton Post on June 17th,
2 1998, an article read:

3 "Mike Britton (sp) stated that there
4 are 100 miles of underground pipes
5 that hasn't been purged. Mike said
6 he believes there are underground
7 materials and chemicals that, when
8 exposed to air, could burn. If other
9 chemicals were added to the mixture,
10 there could be an explosion. During
11 a visit, he witnessed small bursts of
12 fire coming from underground."

13 Also, eight dogs died of cancer who lived
14 on Frederick Street within three years.

15 The people who lived in our home before
16 us, I found out they all died of cancer: bowel cancer,
17 lung cancer, breast cancer are only a few.

18 Also, there were surveys done on 18 homes
19 and the results were the same.

20 My son, Stephen, played in an area with
21 his trucks during the summer months. I asked for a
22 sample to be taken there. When that sample came back,
23 levels of arsenic were 435.5.

24 We had a heavy rain again. Stephen, our
25 son, went down in the basement to work on his bike. He

1 came back upstairs and said, "Mummy, that orange stuff is
2 in my basement."

3 I ran downstairs, and sure enough, there
4 was a huge patch sitting on the basement floor. I was
5 shaking. I ran back upstairs and got my video camera and
6 videotaped the area.

7 Environment Canada came down and took
8 samples and said the tests would be back in 10 days.

9 I locked up my basement. The kids were no
10 longer allowed in.

11 I was getting anxious as the days were
12 getting closer to find out what was in my basement.

13 I found out media knew before I did what
14 my results were. I -- this really upset me.

15 I called Terry MacPherson. I asked him,
16 "Was arsenic found in the samples of my basement?" He
17 did not answer me. I repeated the question. He did not
18 answer me. I was screaming at this point on the phone.
19 Finally, he said, "Yes."

20 That night, I went in to a JAG meeting.
21 When I walked in, all eyes were on me.

22 I started -- I stayed cool until it was my
23 turn to speak. My last words to government, "If my kids
24 get arsenic poison from living in their own homes, there
25 will be hell to pay."

1 The next day, Michele Sampson called me
2 and said, "We have a room at the Delta for you and your
3 family."

4 My husband wanted to stay back with our
5 dog, Quinny. I said, "No way. She's part of this
6 family. She's coming with us." She was as good as gold.

7 Even if this was just a short time, I knew
8 finally my kids were safe.

9 We stayed there for 37 days, until we were
10 told to leave.

11 Our homes were worth nothing, as we lived
12 on contaminated land for years and did not know.

13 The government knew. They bought our
14 homes out of compassion, not because I had arsenic in my
15 basement.

16 I can prove why I moved, it's on
17 videotape.

18 Our homes were torn down, and now
19 Frederick Street is just a memory for us. I no -- it no
20 longer looks like home.

21 Since we moved, Quinny, our dog, had a
22 tumour on her face. We had to put her to sleep. We were
23 willing to pay the money to make her better, but the vet
24 said it was no use.

25 My heart -- my health went downhill for

1 weeks, as I couldn't accept the fact that she was the
2 last dog who lived on Frederick Street who died of
3 cancer.

4 Since I left Frederick Street, I spent a
5 great deal of time on my computer, and I asked questions.

6 As we speak, most of my papers are filled
7 out in court, and I am going to speak for myself in
8 court. I can't give you the time and day, but I can't
9 wait to speak in front of a judge.

10 For the record, I asked this question to
11 STPA about the Domtar tank material, where the 88 loop
12 containers are gone, after months of sitting on rail
13 piers, and what -- and they will not tell us where the
14 material went, or how it was destroyed.

15 I would like STPA to send this information
16 to the Panel and to me. Parker Donham said he would tell
17 us, and yet -- and so far, he has not.

18 Why do we have a Department of Health, a
19 Department of Environment, a Department of Fisheries and
20 Oceans? Why are they allowing the owners of the Tar
21 Ponds and Coke Ovens site, who contaminated our fish and
22 water in Sydney Harbour, daily and for years, why are the
23 owners not being charged heavy fines for doing so? Who
24 do they protect? They did not answer my question.

25 Madam Chair, can I also take this as an

1 page 2-3, I cut and paste this quote:

2 "The contamination of the sites had
3 created increased risk to human
4 health and the environment."

5 Finally, they admit that all these years
6 we were at risk.

7 Has it been proven this contamination has
8 not caused adverse effects or -- on either human or the
9 environment? They did not answer my question.

10 Madam Chair, can I also take this as an
11 undertaking? I want the answer to this question brought
12 back to me and to the Panel.

13 What I would like to see happen, if they
14 have to move the people out of harm's way, this has to be
15 done first before they disturb the sites.

16 Place red zones around the Coke Ovens and
17 Tar Ponds is a must.

18 Real time air monitors have to be on at
19 all times when work is taking place on the sites. If
20 they have to be on 24 hours a day seven days a week, so
21 be it.

22 We want a written guarantee that this will
23 happen.

24 I would like to see a cleanup, not a
25 coverup. Just covering over does not get rid of the

1 problem.

2 Cover all areas when work is taking place
3 at the Coke Ovens site and Tar Ponds. They can build
4 domes on football fields. Why can't they do the same
5 here?

6 Look at all technologies that will clean
7 up the site once and for all.

8 No incineration, period. This was the
9 least preferred option in the JAG work books, and 4,565
10 people who signed a petition in less than 36 hours did
11 not want incineration. Placing an incinerator at
12 Victoria Junction is the worst nightmare we all do not
13 want to face.

14 Tell the truth, be honest, we trust no
15 one.

16 We need to see all documents, breakdown
17 costs, and audits should be done as to where all the
18 money in the past and in the present is going, and to
19 who.

20 Local jobs, local people to work.

21 In closing, I am here today to tell you
22 and show you that in the past and in the present, the
23 residents are being affected just by disturbing the
24 sites. Residents that live in and around these sites pay
25 the price, and so do the animals we love.

1 In 1998 and 1999, to me, the Coke Ovens
2 was a sleeping monster. My fears of the unknown will
3 always be with me.

4 The experts have to reconsider what will
5 be the safest technologies, and are proven without a
6 doubt to protect us.

7 The millions of dollars spent in the last
8 20 years could have moved an army out of -- from these
9 toxic sites.

10 I want to take the time to thank two of my
11 special friends who are sitting beside me tonight. I
12 have many friends, but I just can't name you all.

13 Marlene, I can't thank you enough for all
14 you do for me. You never want praise for all you do. We
15 are very lucky to have you. The many nights we were on
16 the phone when I was crying and wanted to give up, you
17 were by my side. You kept me strong and you -- and we
18 still talk on the phone every night before we go to bed.
19 Thank you for being my friend.

20 Then I met Neila. I am really special,
21 because I have an angel beside me. What a woman to know.
22 Thank you for being my friend.

23 And Mom, you're my life, and I love you
24 with all my heart.

25 To my family, the many hours I spent in

1 the last seven years away from you, I'm sorry. But thank
2 you for putting up with me. I love you.

3 And Elizabeth May, I can't thank you
4 enough for all you did for us, how proud we are of you.
5 Go girl, go Green, we'll vote for you.

6 Thank you, Panel members, for being here.
7 I really appreciate your patience in the last few weeks,
8 and your staff went above and beyond for all of us.

9 Thank you. Debbie Ouellette.

10 If you have any questions ---

11 THE CHAIRPERSON: Thank you, Ms.
12 Ouellette. Do you have a video presentation?

13 (30-MINUTE VIDEO PRESENTATION BY MS. OUELLETTE)

14 THE CHAIRPERSON: Thank you very much, Ms.
15 Ouellette for your presentation.

16 MS. OUELLETTE: I'll make a better tape
17 for you, I promise.

18 --- QUESTIONED BY THE JOINT REVIEW PANEL:

19 THE CHAIRPERSON: Okay. Thank you for
20 your presentation, and also thank you for bringing in
21 your video.

22 I do have a few questions arising from
23 that, just right at the very end. How quickly did the
24 seep arrive in your basement?

25 MS. OUELLETTE: Well, over the years, we

1 were getting smells in the basement. We had replaced 5
2 sump pumps. Every spring, my husband would wash out
3 pretty well the basement with Javex because the smells
4 would enter. We had no idea what it was. But that --
5 there must have been a pool under my house because it
6 wasn't there the day before, but I can tell you, like
7 there was a crack next to the sump pump there, and that's
8 how it came in.

9 THE CHAIRPERSON: So that all arrived
10 within the space of 24 hours.

11 MS. OUELLETTE: Absolutely.

12 THE CHAIRPERSON: Could you -- now you've
13 talked a fair bit about monitoring, and the air monitors.

14 Now the two air monitors that you have in
15 the video, were they by your house?

16 MS. OUELLETTE: They were, well, next to
17 my back step, and in order for them to be on, they would
18 have had to have been plugged in my basement. So I knew
19 when they were on and when they were off.

20 And the reason why I can tell you they
21 don't want to put them on for 7 days 24 hours a day,
22 they're too expensive. So they'll tell you they'll put
23 them on every 5-6 days, according to the standards.

24 Five days -- every 6 days is not good
25 enough, because you don't know what you're picking up on

1 the 5th day, you don't know what you're picking up on the
2 4th day. So this is not a true way to protect the
3 people.

4 THE CHAIRPERSON: Could you -- when they
5 were on and when you were able to obtain the results,
6 could you correlate, could you match up what was being
7 picked up on the air monitors with the days that you felt
8 really sick, or felt sick?

9 MS. OUELLETTE: I can tell you, Madam
10 Chair, from March to August them air monitors were not
11 on.

12 Bill Chew came over one day, I didn't know
13 his name at that time, and he came to look at the
14 monitor, because it was on in September. It could have
15 been on for a 20-hour period, I don't know.

16 And I said "Bill, when you do your final
17 report, and you give it to your boss," I said, "I want
18 you to make sure you state that from March, when they
19 disturbed the site, until August, these air monitors were
20 not on." When they did the separation zones report, he
21 stated from September on, and we never, ever did see the
22 results.

23 THE CHAIRPERSON: And you had lots of
24 footage of things happening close to the fence, or close
25 to where there eventually was a fence -- I presume in

1 some of those shots, the fence was not up, is that right?

2 MS. OUELLETTE: Absolutely, no.

3 THE CHAIRPERSON: Could you -- when there
4 were activities that were happening much further away
5 from the site, did it make a difference in terms of the
6 effects that you perceived how far away from the edge of
7 the property the activity was taking place?

8 MS. OUELLETTE: Well, I know they
9 disturbed it in 1988, but at that time I was working
10 during the day, so I really didn't notice anything. But
11 when they decided to disturb it in 1998, I certainly was
12 home at that time.

13 But over the years, we used to have odours
14 and smells coming from that brook, even from the Coke
15 Ovens and the Tar Ponds, when the winds were really high,
16 we would be getting the coal dust. Like the kids would
17 come in black in the summer time. And when the trains go
18 by, we'd still get the coal dust, as well.

19 But we didn't relate the illnesses or,
20 like, how we were feeling, to the site, because we didn't
21 know.

22 THE CHAIRPERSON: Now, your position would
23 be, you've made a number of basic recommendations from
24 your perspective, and so basically you're saying that all
25 work, any disturbance of the material on the Coke Ovens

1 or the Tar Ponds, would need to be done under cover, is
2 that correct?

3 MS. OUELLETTE: Absolutely. I mean, you
4 just can't leave people next to their homes if they're
5 less than 300 metres away and tell me that none of them
6 are going to be affected. I could literally throw a rock
7 at that fence, and I was affected by the smells.

8 I mean, you just have to disturb that site
9 -- like they disturbed the cooling pond on April 27, 2007
10 (sic), the smells -- well, you could smell as far as
11 Quint Street, as far as -- way up to the Steelworkers'
12 Hall, just by taking samples of the cooling pond.

13 Can you just imagine if they're going to
14 do the same thing with the Tar Ponds. And if they
15 disturb the Coke Ovens site, people do live around these
16 perimeters, they're going to get sick. Guaranteed
17 they're going to get sick from these emissions.

18 THE CHAIRPERSON: Going back to
19 monitoring, air monitoring again, and you've said now,
20 and you've said earlier in other sessions when you've
21 been asking questions, you've said that you want those
22 monitors on basically all the time.

23 Are there other things that you want to
24 see happen with respect to monitoring? What would you --
25 you've talked quite a bit about not feeling much trust,

1 or any trust, about this. What would -- what, if
2 anything, would build more trust with you relating to
3 monitoring?

4 MS. OUELLETTE: Madam Chair, I can tell
5 you right now as a guarantee, a written guarantee, they
6 are not going to be on 24 hours a day 7 days a week while
7 work is going to be taken at the Coke Ovens site or Tar
8 Ponds, they are too expensive to leave on. That, I was
9 told right from the top, they're not going to do that.

10 But, that's all they will give us for
11 protection. We have no protection. What do we have?
12 How can you help -- how can you protect us?

13 We know the workers are going to protect
14 inside the fenced-in area only. That's all the
15 contractor's worried about. It's the people on the
16 outside of the fence that are going to be affected by
17 these emissions.

18 We know the workers are going to be
19 dressed from head to toe with mask on and they're not
20 even allowed to have a leak in their mask. I've seen men
21 that even their hands were taped up, they weren't even
22 allowed to get this stuff on their hands.

23 Where is our protection? When you come --
24 when you look and you see animals coming back with
25 tumours on them, and you hear 8 dogs died of cancer in 3

1 years, and then Queenie, my dog, made the last one to die
2 on Frederick Street of cancer, how much time do I have
3 left breathing in this contamination? Every time we have
4 an ache or pain, the first thing we think of, cancer.

5 I had taken -- they took a lump off my
6 bowel they never, ever seen on another person before.
7 How much time do I have left? And you guys sit there and
8 "Oh, I'm going to agree with an incinerator." But you're
9 not thinking of the health of us.

10 It's a money project for the next 10 years
11 for the people sitting on that side of the fence. It's
12 our health and our animals that are going to be affected
13 on this side of the fence.

14 THE CHAIRPERSON: Thank you, Ms.
15 Ouellette. I'm going to ask my colleagues if they have
16 some questions for you.

17 DR. LAPIERRE: Thank you very much, Ms.
18 Ouellette for your presentation.

19 I just have three short questions. The
20 first one relates to the dust you showed us in the video.

21 MS. OUELLETTE: Yes.

22 DR. LAPIERRE: Was the dust a result of
23 excavated material that had been left uncovered?

24 MS. OUELLETTE: Yes.

25 DR. LAPIERRE: Okay.

1 MS. OUELLETTE: Yes, they disturbed the
2 site. The thing here is in 1998 and 1999, they had had
3 students going round the neighbourhood, and they informed
4 everyone, they were giving pamphlets, they were giving
5 brochures, but the people closest to the site, we had no
6 idea when work was going to start. They told us nothing.

7 And when we started getting sick, we
8 couldn't figure out why. And then when we looked outside
9 and we see these men on the site, and the dust is flying
10 everywhere, then we knew that this must have been the
11 reason why we were getting sick, because we weren't sick
12 prior to that. We were sick during the year when the
13 smells were bad, but not as sick as we were until they
14 disturbed the site.

15 DR. LAPIERRE: Okay. Thank you. My
16 second question is who was responsible for conducting the
17 digging? Was it a sanctioned activity of the Sydney Tar
18 Ponds Agency, or some other agency at that time?

19 MS. OUELLETTE: During the JAG process,
20 they hired contractor Phillips. He was the contractor
21 for that site.

22 Now, I don't know if they did a risk
23 assessment before that, or environmental assessment on
24 anything, I don't know. But that contractor was on that
25 site in March.

1 We stopped the work in June because we
2 were too sick, we just had to stop the work. And, in
3 December, that same contractor, after 7 months, his
4 machinery was -- he was paid over \$400,000 for doing
5 absolutely nothing.

6 That's why I always want to say, like, are
7 there clauses in these contracts today that if work is
8 stopped by residents because they're getting sick, or
9 because emissions or seepages are coming into their
10 homes, will these contractors still be paid today?

11 DR. LAPIERRE: I guess my question was,
12 the other part was, was this a sanctioned activity of the
13 Sydney Tar Ponds Agency, or was it some other -- and
14 maybe I can ask that to the agency.

15 MS. OUELLETTE: I don't know, because, I
16 mean, every time you turn around, somebody's got a
17 different name. I don't know.

18 DR. LAPIERRE: I can maybe ask the agency
19 for the answer.

20 The third question I have relates to your
21 comment on the flow of information to the citizens. You
22 obviously gave us some good examples of information that
23 was not coming to the citizens.

24 In the future, if work goes on, or when
25 work goes on, would you like to see a public flow of

1 information such as, you know, the Tar Pond Agency
2 publishing on a daily basis the work that they're going
3 to do on that day, prior to doing it?

4 MS. OUELLETTE: Absolutely. That's a
5 must. I mean, we see nothing. We're the last ones to
6 know when things are going to happen.

7 An example again, the cooling pond. Did
8 they inform the residents that were living nearby? No.
9 Well, I can guarantee you I was talking to Neila, and she
10 was dying with headaches, and I said "Neila, did they
11 disturb anything on the site?" She said "I don't know"
12 until we read it again in the Halifax Herald. That's
13 when we can relate why we're feeling sick. Somebody is
14 working there and they're disturbing something, and
15 that's why we feel sick.

16 DR. LAPIERRE: So you would support a ---

17 MS. OUELLETTE: Oh, there's no question.
18 No question. We are the last to know.

19 I mean, take for example, they removed the
20 Domtar stuff, they took it away in 88 cars. We asked
21 where the material went. To this day, we don't know
22 where it went and how it was destroyed. These are the
23 questions -- every time you ask a question, they will not
24 give you the answer. Or they'll do it after the fact.
25 After it's gone then they'll tell you what they did.

1 DR. LAPIERRE: Okay. Thank you.

2 I wonder if I might ask the Tar Ponds
3 Agency if they can comment on the second question, was
4 the responsibility for conducting the digging, which
5 we've seen in the video, work sanctioned by the Sydney
6 Tar Pond Agency?

7 MR. POTTER: Thank you, doctor. No, it
8 was not. That was back in 1998, as Debbie indicated.
9 The work, at the time, was being carried out through the
10 Provincial Department of Transportation and Public Works.
11 Actually, the agency wouldn't have existed at that point
12 in time.

13 We did -- perhaps I can indicate we did
14 resume that work -- I was just trying to check the date,
15 I don't have a firm date, but around 2002 we came back
16 and resumed the removal of the coal on the site through
17 the agency, through contracts, much tighter with much
18 more strict requirements on the contractor in terms of
19 dust generation, wind conditions and a number of the
20 factors, and we think a substantial improvement over how
21 the dust was removed in terms of the level of coal dust
22 that was generated by the activity.

23 So we did resume work later on, around
24 2002, 2003, but the original work was done by a separate
25 contractor.

1 DR. LAPIERRE: So I guess from your answer
2 I can surmise that the province was responsible for those
3 activities.

4 MR. POTTER: Yes, at the time it was the
5 Department of Transportation and Public Works
6 administered the contract, provincially.

7 DR. LAPIERRE: If that work was carried
8 out by the agency, would the workers be dressed in a
9 similar manner as they were in that video?

10 MR. POTTER: We have a pretty rigorous
11 health and safety -- master health and safety plan for
12 our contractors. They have to follow that master health
13 and safety plan and develop their own, at least to meet
14 that one, or exceed it, and we do require -- there are
15 criteria for workers to have -- depending on the activity
16 of course, they have to meet certain criteria, depending
17 on the nature of the work they're doing.

18 Simple coal removal, they probably
19 wouldn't have much in the way of additional special
20 conditions for that activity. If they were working in a
21 confined space, working around -- for example, the Domtar
22 tank, when that was coming down, the criteria level were
23 higher for -- they had respirators available as well as
24 protective rubber gloves, and things like that.

25 But for the coal, it wouldn't have been --

1 the level of protection would have been a minimal level
2 for the worker, at that point.

3 DR. LAPIERRE: Okay. Well, thank you.

4 I just have one more question maybe, Ms.
5 Ouellette. The coal tar seam that came to the surface,
6 is that a normal occurrence, or is that a once-in-a ---

7 MS. OUELLETTE: No. Like I said, we had
8 smells in the basement before. We didn't have seepages
9 like that. That was the one day when I went down there
10 because -- like my freezer's down there, our food was in
11 the freezer. Like that was after a heavy rain, and
12 Stephen happened to go down the basement to play with his
13 bicycle at that time, and that's when he noticed it.

14 Like I ran down them stairs not thinking,
15 I said "What are you talking about?" I couldn't believe,
16 until I seen that patch, then I decided "That's it, I'm
17 taking my video camera and this is getting taped."

18 DR. LAPIERRE: No, I'm speaking more to
19 the patch of coal tar on the outside or close to the
20 fence, not the one in your basement.

21 MS. OUELLETTE: Oh, I'm sorry.

22 DR. LAPIERRE: Does that happen -- did
23 that happen often?

24 MS. OUELLETTE: No. No. It was only when
25 they decided that they were going to do work on the Coke

1 Ovens site that they started digging up the coal. Before
2 that, it seemed like it was kind of flat. So I didn't
3 see that before, no.

4 DR. LAPIERRE: Okay. Thank you.

5 MS. OUELLETTE: But I want to `reinstate'
6 here, Madam Chair, that Health Canada stated here that
7 health risks were identified when workers were not
8 protected, and that's why I want the list. It does say
9 here in their own document on page 5:

10 "Health risks were identified for the
11 workers not wearing protective
12 equipment while they were on that
13 site."

14 What were their illnesses, what health
15 effects did they have?

16 MR. CHARLES: Debbie, I have one question.

17 In your list of what you'd like to see
18 happen, there is -- the second bullet says:

19 "Place red zones around the Coke
20 Ovens and Tar Ponds."

21 Is that sort of a buffer zone or ---

22 MS. OUELLETTE: Absolutely. I mean, after
23 doing some homework over the years, in the last 7 years,
24 I mean, when I started on Frederick Street I was this
25 very shy person, I didn't know anybody, and until you

1 become a victim of past mistakes, I didn't know Marlene,
2 I didn't know anybody about the environment.

3 But after 6 years of being in the
4 environment, I can certainly tell you that red zones
5 should be around any toxic site anywhere in the world.
6 They should not have people within 300 meters or more
7 living next to these sites. Absolutely not.

8 MR. CHARLES: Thank you very much.

9 THE CHAIRPERSON: I'll now provide an
10 opportunity for questions from other participants.

11 I will go first to the Tar Ponds Agency.
12 We have quite a bit to fit in this evening. We have two
13 more presentations, and already our second presentation
14 is meant to have begun.

15 But we'll carry on with the questions, but
16 for that reason, if possible, I'd like to keep the
17 questions fairly concise.

18 Mr. Potter, do you have questions, a
19 couple of questions for Ms. Ouellette?

20 MR. POTTER: Maybe I'll seek clarification
21 from the Chair. There's a couple of points I'd certainly
22 love to answer for Ms. Ouellette, a couple of questions
23 she did raise. I don't have any direct questions for her
24 myself.

25 THE CHAIRPERSON: And those questions were

1 what, about the health and -- you tell me what -- the two
2 points of clarification.

3 MR. POTTER: The increased risk to
4 workers, and I think the EIS clearly does state that.

5 What it was referring, and I can have Dr.
6 Magee extend on if necessary, but we did identify that
7 there was an increased risk to workers, and therefore
8 there was a need for protective clothing, but it did not
9 approach the level where there was a risk to cause, you
10 know, health effects. Simply there was a risk, therefore
11 you had to ensure that there was protection for the
12 workers.

13 The other question regarding the goo, that
14 would be the puddles we referred to, I think, in previous
15 testimony.

16 There are certain areas on the Coke Ovens
17 site where there are puddles or pockets of pure coal tar
18 that, according to an indication from DEVCO, Development
19 Corporation, that there may have been spillages of
20 product over the years around the rail line, and that
21 during the hot part of the summer the goo becomes warm
22 and it becomes mobile, and will move a little bit, but
23 tends to be generally in well known areas. It's been
24 identified in actually the very first Phase I report done
25 on the site back in '97 or '98.

1 So they are well known and well
2 established pockets, and, as we've mentioned before, they
3 will be -- some of those pockets will be picked up when
4 the actual remediation -- more than likely the tar cell
5 would be involved.

6 The last point was the reference to the
7 highest levels in North America for toluene. There was a
8 sampling problem with toluene. During the air monitoring
9 problem, we do sample to very low levels for toluene.
10 Because of that, we use a special type of canister. We
11 discovered that because of the rigorous requirements in
12 getting low detection levels, we were using an approach
13 that wasn't standard.

14 We detected or discovered that the
15 methodology that the lab was using for rinsing the
16 canisters was using a toluene rinse. They thought they
17 were getting all of the toluene out after the cleaning
18 process, discovered that wasn't the case.

19 The result was we actually changed labs.
20 We actually now use Environment Canada in Ottawa. Their
21 testing lab for this particular test, because we do go
22 very low in our testing criteria, and that was the only
23 lab in the country to meet the rigorous QAQC testing
24 criteria that we established.

25 So it was an erroneous result, as

1 indicated it was extremely high. We quickly investigated
2 and determined that it was a lab problem. So I just did
3 want to clarify that.

4 I hope that helps, and thank the Chair.

5 THE CHAIRPERSON: Thank you, Mr. Potter.

6 MS. OUELLETTE: Can I respond to that?

7 THE CHAIRPERSON: Yes, if it can be very
8 brief, please.

9 MS. OUELLETTE: I just want to say to
10 Frank, you have to understand they do state they
11 identified -- health risks were identified, that's the
12 key here, to the workers not wearing the appropriate
13 clothing.

14 I want to know what them workers had. Did
15 they have a headache? Did they -- were they tired? Were
16 they dizzy? The only thing they didn't do was drop dead,
17 but I just want to know what kind of symptoms they had,
18 because if they're having symptoms without protective
19 clothing on, I want you to know that that's what we have.
20 On the outside of the fence, the same symptoms that they
21 were getting on that side if they're not wearing
22 protective clothing, we're getting on this side of the
23 fence, and that's well documented in the Health & Safety
24 Plan.

25 You talked about the coal tar. That coal

1 tar left the Coke Ovens site, passed over a rail bed,
2 went in to the next property on Frederick Street. That
3 property now, that same area where the goo is, is all dug
4 out, and you have a holding area on the top of Frederick
5 Street now. That's where that tar -- that big goo of
6 tar, that's where that was at.

7 And the toluene smell, I read an article
8 in January 1915 that they made explosives on the Coke
9 Ovens site at 700,000 gallons of toluene. I think that's
10 probably where that smell came from.

11 THE CHAIRPERSON: Just if we can move on
12 from this fairly quickly, but Mr. Potter, can I just,
13 just for clarification, Ms. Ouellette is referring to --
14 is taking the term "health risks" and you are assuming or
15 asking about health symptoms.

16 MS. OUELLETTE: Yes.

17 THE CHAIRPERSON: Were these health
18 symptoms that were identified, or were they health risks,
19 and could you just clarify which -- what was the meaning
20 of the phrase "health risks" in that particular instance?
21 Was it, in fact, symptoms?

22 MR. POTTER: No, it was not symptoms, it
23 was a predictive, a tool we were using to predict what
24 the workers should wear based on our modelling and
25 estimation of the work that was going to be carried on

1 the site.

2 THE CHAIRPERSON: So the workers that are
3 cited in this particular instance, did not experience any
4 documented symptoms, is that what you're saying?

5 MR. POTTER: That is correct.

6 THE CHAIRPERSON: Okay.

7 I would now like to see if anybody else
8 has questions for Ms. Ouellette and, as we always do, I'm
9 going to take registered presenters first, and then I'll
10 provide an opportunity for others, and because we're
11 beginning to run over schedule, I'm going to ask for
12 basically one question, and possibly a follow-up.

13 I see Mr. Brophy, I see Ms. MacLellan.
14 Mr. Brophy first, please.

15 --- QUESTIONED BY MR. ERIC BROPHY:

16 MR. BROPHY: Debbie, do you know offhand
17 whether the first health risk assessment done outside the
18 fence looking at residents outside the fence might have
19 been the NOCO?

20 MS. OUELLETTE: That's the only one I
21 heard of, but prior to say 1996, 1997, I don't know if
22 any were done, and -- I don't know.

23 Transportation and Public Works, I don't
24 know if they did any, but there was certainly a risk to
25 us.

1 MR. BROPHY: And a follow-up, was there
2 work ongoing on the Coke Ovens site prior to the NOCO
3 health risk assessment?

4 MS. OUELLETTE: By that time, I think we
5 were moved off the street, Eric, so I can't really answer
6 that.

7 MR. BROPHY: I'll answer it for you, there
8 was.

9 Madam Chair, thank you very much.

10 THE CHAIRPERSON: Thank you, Mr. Brophy.
11 Ms. MacLellan.

12 --- QUESTIONED BY CAPE BRETON SAVE OUR HEALTH COMMITTEE
13 (MS. MARY-RUTH MACLELLAN):

14 MS. MACLELLAN: I actually only have two
15 short questions.

16 Debbie, do you remember ever seeing any
17 rodents that were deformed, or any frogs that had two
18 heads?

19 MS. OUELLETTE: All I remember seeing were
20 mice coming back deformed. They were literally on the
21 trap. My next-door neighbour had a trap, and she ran
22 over and she tried to show it to me, and I'm petrified of
23 mice, so we stood together and we did, we couldn't even
24 tell what that mouse looked like. It didn't look like a
25 mouse to us, but it was deformed.

1 MS. MACLELLAN: So you never did see the
2 two-headed frog that was ---

3 MS. OUELLETTE: No, I did not.

4 MS. MACLELLAN: Okay. Do you remember
5 back before JAG, somewhere between '93 and '95, any other
6 Crown corporation doing tests in that area?

7 MS. OUELLETTE: No. I can't think ---

8 MS. MACLELLAN: You don't remember them
9 testing the water in the brook or testing it.

10 MS. OUELLETTE: Oh, on top of the hill,
11 yes.

12 MS. MACLELLAN: There were a few people
13 that had wells on Frederick Street.

14 MS. OUELLETTE: Yes.

15 MS. MACLELLAN: Do you remember them
16 testing that?

17 MS. OUELLETTE: Yes, I do.

18 MS. MACLELLAN: Were you ever informed of
19 what was in that?

20 MS. OUELLETTE: No. No, and actually,
21 there was a previous buy-out on Frederick Street, and I
22 did not know that. The people on top of the hill, when
23 they got their wells tested, they did come back really
24 high contaminated, and they were given bottled water.

25 MS. MACLELLAN: For the record, it was

1 DEVCO who did the testing.

2 MS. OUELLETTE: Okay.

3 MS. MACLELLAN: It was their coal lab that
4 was here at the time, and there was not only all arsenic
5 and lead, there was also radiation in those.

6 MS. OUELLETTE: Okay.

7 THE CHAIRPERSON: Thank you, Ms.
8 MacLellan. Is there anybody else that's not a registered
9 presenter has a question for Ms. Ouellette at this time?

10 Well, thank you very much, Ms. Ouellette,
11 for your presentation. Thank you Ms. Kane and Ms.
12 MacQueen for your support for Ms. Ouellette, and ---

13 MS. OUELLETTE: I really thank you very
14 much. I did make a few mistakes in that tape and I'm
15 really sorry, but if you really want a good copy ---

16 THE CHAIRPERSON: No, it's a very
17 interesting tape.

18 MS. OUELLETTE: --- I'll give you a better
19 one.

20 THE CHAIRPERSON: I'm glad we didn't have
21 to see the two-headed frog through.

22 MS. OUELLETTE: Thank you very much, but I
23 just wanted to tell you it certainly doesn't look like
24 that today, Madam Chair. They did put a cap on the
25 landfill, but I can guarantee you what's underneath it is

1 not healthy.

2 And you can still see some of that orange
3 stuff in some of the brooks if you go up that area. And
4 I don't know what they're using the top of Frederick
5 Street now, but it looks like it's a holding area, you
6 know. It certainly doesn't look like home any more.

7 So thank you very much for listening to
8 me.

9 THE CHAIRPERSON: Thank you.

10 We'll take a 5-minute break while our next
11 presenter, Dr. Ignasiak, comes forward.

12 --- RECESS AT 6:12 P.M.

13 --- RESUME: 6:18 P.M.

14 THE CHAIRPERSON: Ladies and gentlemen, we
15 will resume. If you'd like to take your seats. Our next
16 presenter is Dr. Ignasiak.

17 So, Dr. Ignasiak, as you well know since
18 you're another regular attender, you have 40 minutes, and
19 I'll let you know five minutes before that time is up.

20 --- PRESENTATION BY DR. LES IGNASIAK

21 DR. IGNASIAK: Thank you very much, Madam
22 Chair, Members of the Panel, ladies and gentlemen. I
23 will come right away to the point.

24 What I would like to talk to you about is
25 that in-situ solidification/stabilization applied to

1 Sydney Tar Ponds will end up in failure.

2 Now, I will have a problem with that, but
3 I hope that if I read you will -- at the same time you
4 will be able to get my point.

5 The principles of in-situ solidification/
6 stabilization, SS. In-situ SS is based on mixing of
7 contaminated soils with chemical binders such as cement,
8 bentonite, additives and proprietary chemicals. The
9 objective of in-situ SS is to immobilize contaminants of
10 concern, metals and some organics.

11 Deep in-situ SS requires machinery like
12 mixing augers that is approximately the same size as
13 large drilling rigs. Please note that a few days ago the
14 Proponent announced that it will use backhoes for
15 sediment homogenization during SS treatment.

16 Of all EPA administered SS projects, only
17 6 percent were in-situ projects treating organics.
18 Organics content was in the range of several thousand
19 ppm. EPA carried out one in-situ SS project with coal
20 tar contaminated soils and the details are really not
21 available.

22 According to EPA, 33 percent of all sites
23 for which SS was to be applied were found not suitable
24 for SS application either at the design, installation or
25 operational stage. Consequently, other remedies had to

1 be selected to replace the SS. Please note, 33 percent
2 of all sites, and that refers mainly to metals and
3 metalloids, because there was, as you could see, a very
4 small percent of the sites that contained organics.

5 In-situ SS for organic contaminants is in
6 its infancy and its effectiveness has not been proven.
7 The information that I will be providing for you is
8 mainly based on EPA 542R00010 and also "SS of Organic
9 Contaminants" issued by Environment Agency of the United
10 Kingdom, Science Report, SC 98003, SR2, November 2004.

11 Also, this information that I will be
12 providing for you is completely consistent with what is
13 in the Portland Cement Association brochure, and it's
14 undersigned also by the Cement Association of Canada.

15 Furthermore, as I already mentioned, some
16 of this information is also based on rather very in-depth
17 report which was prepared by Oakridge National
18 Laboratories and published in March of 1994, and the
19 Panel does have all the information on the subject.

20 STPA proposes to apply in-situ SS for
21 stabilization of Tar Ponds sediment and it looks to me
22 like also the Tar Cell material. Of all in-situ SS
23 treated MGP sites only one -- Columbus, Georgia -- was
24 treated prior to 2003, it was exactly in 1992, and
25 evaluated nine years after completion of the treatment.

1 Nothing is known about the results of evaluation of the
2 remaining MGP sites.

3 The STPA lists two SS-treated MGP sites --
4 namely Columbus, Georgia and Cambridge, Massachusetts --
5 as evidence that Sydney Tar Ponds sediment and Tar Cell
6 material can be successfully solidified/stabilized. I
7 will provide details on remediation of those two sites as
8 well as other MGP sites in a few minutes.

9 In-situ SS, when applied to Tar Ponds
10 sediment and Tar Cell material, will fail due to a number
11 of reasons. The first one is high volumetric ratio of
12 organics to minerals, and again I will provide you some
13 numbers in a few minutes. High content of petroleum and
14 coal-derived compounds.

15 I would like to mention here that really
16 those organics, petroleum and coal-derived, were
17 determined based on Alberta Environment TPH method, it
18 was used by JDAC and it was used also by the Proponent,
19 and those methods are really derived for petroleum
20 organics not for coal-derived organics, but I cannot
21 provide any information at this point what would be the
22 difference.

23 Extreme variety of very high content of
24 organics. I know it from Environment Canada data
25 obtained prior to 1995, neither JDAC nor EIS provide the

1 results on total content of organics. The Earth
2 Technology Report -- the Earth Tech Report does not
3 mention also about total organics content.

4 Next thing, organics induced coal swelling
5 and associated with the swelling pressure. I haven't
6 seen any mentioning about that in the EIS. I will
7 provide some details on the subject in a few minutes.

8 Lack of any compatibility between
9 completed in-situ SS MGP projects and STPA proposed in-
10 situ SS treatment for Sydney Tar Ponds. Again, I will
11 provide some details in a few minutes.

12 Essentially unanimous agreement among the
13 experts that SS is not a long-term solution, and it is
14 not recommended for organic contaminants. These details
15 are provided in some submissions for the Panel as well as
16 my undertaking tabled with the Secretariat a few days
17 ago.

18 Finally, failure of the 2002 Technology
19 Demonstration Program, and in my opinion 2005
20 Solidification Technical Memo Report, to provide any
21 solid basis that SS can be effective for Tar Ponds
22 sediment and Tar Cell material treatment.

23 I will be happy to elaborate on this
24 subject in more detail during discussion, if the
25 discussion takes place. Some information, however, I

1 will be provide during the presentation.

2 Tar Ponds sediment composition on a dry
3 basis. The data regarding the weight percent are average
4 values and they are based mainly on Environment Canada
5 information generated prior to 1995. As you can see, the
6 coal and coke account for about 46 percent of the
7 sediment on dry basis, petroleum hydrocarbons about 3
8 percent, coal tars about 3 percent, the mineral metal 48
9 percent.

10 Now, this 46 percent does not really
11 include so-called intrinsic mineral metal which is really
12 a part, a chemical part of the coal matter -- or coke
13 matter.

14 If you really take that into account, and
15 if you take into account the densities which I put over
16 there for coal and coke, for petroleum hydrocarbon, coal-
17 derived tar and for mineral metal -- they are approximate
18 densities, of course -- then you can recalculate actually
19 the weight percent and volume percent, and you will see
20 that in terms of volume we have 59.7, for coal and coke
21 4.5, and the same, 4.5, for coal tars, as well for
22 petroleum hydrocarbons, and the mineral metal drops down
23 to about 31.3 because it is the heaviest.

24 Now, if you add the coal and coke plus
25 petroleum hydrocarbons and coal tars, you will come to

1 about sixty -- close to 69 percent by volume. The
2 mineral metal will account for about 31 percent by
3 volume. So, what we really want to do is -- essentially
4 what situation we have here is there is significantly
5 more in terms of volume of organics than we have of
6 mineral metal.

7 The Proponent proposes to introduce about
8 5 percent of slag -- this is the second column from the
9 right -- and about 15 percent of cement. So, that will
10 change a little bit, of course, the weight percent of all
11 the components that I already presented for you, and this
12 is shown in the -- right here, 41.6, 2.4 for petroleum
13 hydrocarbons, for coal 2.4, for mineral metals 33.6, 5
14 for slag, cement 15.

15 And again using the same simple
16 recalculation based on densities you will find that in
17 terms of volume you've got about 50 percent for coal and
18 coke, 3.8 for petroleum hydrocarbons, 3.8 for coal tar,
19 mineral metal 26.5, slag 3.9 and 11.8 for the cement.

20 So, the situation has changed a little bit
21 better for the mineral metal. Now we have about 42
22 percent of mineral components and about 58 percent of the
23 organic components in terms of volume, but it is still an
24 overwhelming, so to say, amount in terms of volume of the
25 organic components.

1 Now, this obviously has a major impact
2 when you want to encapsulate this stuff. How in real
3 life in some of those SS projects the situation looks
4 like.

5 This is not my transparency, this is based
6 actually on Georgia Power photographs taken of cores
7 which were taken from an MGP site -- and that was the
8 Columbus, Georgia site -- and what I would like to show
9 you here is that really on the left-hand side of this
10 core you've got very little of slag, which is also
11 inorganic component. Slag is a non-organic component.

12 You've got a brick, you've got a brick,
13 you've got a little piece of something here which is not
14 really the sand which is solidified, you've got a little
15 bit out here, a little bit out here. If you really did
16 measure the surface of those incorporated pieces of slag
17 or whatever it is, you would find out that really they
18 account probably for about 5 percent of the area, 5
19 percent.

20 If you recalculate that on the volume, you
21 will come probably with very much the same conclusion,
22 but I still would like to bring to your attention that
23 brick and slag are not really organic components. Maybe
24 those three are organic components, then we are talking
25 about one or 2 percent.

1 I think we are getting right now some
2 understanding that what is proposed for the Tar Ponds
3 sediment just doesn't make much sense.

4 Now, this is -- on the right-hand side, is
5 also a core but in this case, as you can see, there is
6 really a tar identified. Now, I did do a lot of
7 experiments with tar, I analyzed the tar from the MGP
8 site, and believe me it is generally not anything that
9 has a high compressive strength. It's actually quite
10 soft.

11 So, this particular core obviously failed
12 right away when it was subjected to the compressive
13 strength test. Where it failed? Where the tar was.
14 Those two, as you can see, they are slags, mineral
15 components, not organic components.

16 Well, what does Georgia Power say on the
17 subject? These are unconfined compressive strengths of
18 those cores, some of them I just showed you. The 2001
19 results ranged from 283 psi to 899 psi with an average of
20 473 psi. We are talking here about 17 to 20 psi.

21 Now, this is again the comment made by
22 Georgia Power.

23 "The wide range of results is not
24 related to QA/QC problem (quality
25 assurance/quality control), it is

1 related to inclusions."

2 You probably noticed how small inclusions
3 were in those two cores. The pre-remediation performance
4 criteria were 60 psi.

5 Now, this is again from Georgia Power,
6 chemical laboratory testing. They tested the PAHs in
7 those cores nine years after the SS treatment was
8 completed. They say similar composition and
9 concentrations as compared to pre-remediation assessment
10 data.

11 I think it is important -- it is important
12 to look at this work similar. I will give you some more
13 comments on the subject later on.

14 BTEXs. Analytical results revealed
15 significantly lower levels of BTEX constituents,
16 especially benzene and ethylbenzene. Well, if you want
17 to be really fair, you have to point at this time that
18 that does not mean that those BTEXs were removed during
19 those nine years.

20 Based on EPA information, I'm rather sure
21 that those BTEXs were really removed during the process
22 of cementation. I mention here one day that EPA actually
23 stated that in the very process of mixing and
24 homogenization about 90 percent of all BTEXs are removed
25 and the remaining 10 -- of the remaining 10 percent,

1 roughly about 50 percent is removed during curing. So,
2 not more than 5 percent of the original BTEXs can be left
3 after the process is completed.

4 Well, I haven't seen anything in the EIS,
5 Environmental Impact Statement, about whether coal could
6 contribute eventually to the problems associated with
7 application of in-situ SS to organic contaminants. As we
8 just said, SS involves mixing, agitation, introduction of
9 cement, temperature increase, generation of homogeneous
10 product, dispersion of liquid organic compounds,
11 absorption of some of these compounds on coal.

12 What are the consequences of exposing coal
13 particles to liquid hydrocarbons and hydrocarbon vapours?
14 Well, let me just make a brief statement on the subject.
15 If there are more questions later on, I'll be happy to
16 answer them.

17 Coal is a polymer, it is really a huge
18 macromolecular. It -- the molecule has hundreds of
19 thousand weight. It's a huge molecule as opposed to
20 something which would be like BTEXs or VOCs.

21 Now, cellulose-lignin are two key
22 components of wood, but -- and they are also polymers --
23 but also they are coal precursors. Coal was generated as
24 a result of coalification of wood which is cellulose-
25 lignin.

1 Now, everybody knows that wood is swelling
2 and that wood is really capable of exercising -- of
3 exerting some swelling pressure. I notice, actually,
4 last year when I was in Egypt that the ancient Egyptians
5 were using wood for splitting rocks. They were just
6 inserting wood into some slight places that the rock was
7 not ideal, subsequently pouring water for a long time and
8 they were successful actually in splitting rocks.

9 I think everybody heard about cracking
10 basement concrete walls by tree roots or problems
11 associated with weeping tiles due to roots.

12 Now, let's go back to coal. Any polymer
13 -- and that includes coal -- in presence of some gases,
14 vapours, liquids, solvents, including hydrocarbons, will
15 swell. Coal, in addition, will also swell in presence
16 of some metals. A metal that can pose tremendous
17 swelling actually is magnesium.

18 There are literally thousands of books,
19 monographs, scientific and technical papers on the
20 subject of coal swelling. Coal swelling is really the
21 key property of coal. It plays a crucial role in coal [-
22 -] and at the same time it plays a crucial role in
23 utilization of coal. Any utilization of coal, be that
24 combustion or coking or [--] or liquefaction technologies
25 and coal bed methane are really to some extent helped or

1 hampered by coal swelling.

2 And I will not go in details but I will
3 tell you that right now at this very moment in the United
4 States and in Canada and in Poland they are doing a lot
5 of large-scale tests, underground tests, that are
6 exploring the swelling of coal as a result of CO2
7 absorption.

8 You see, coal, any coal which is deposited
9 quite deep, any coal seam, will have a lot of methane,
10 and for the last 15 years people are trying to utilize
11 this methane. And, in fact, it is public knowledge that
12 in the United States right now about 15 percent of all
13 natural gas, which is methane, produced is coming from
14 coal bed methane. Not many people realize that.

15 Now, everybody knows about problem with
16 CO2. Now, [--] is a bureaucratic word for simply
17 disposal. Here we are talking about disposal. It
18 appears that those deep coal seams, when they are -- when
19 CO2 is injected, they actually release very easily the
20 methane and they absorb the CO2.

21 They absorb the CO2 in such a way that
22 coal swells and practically is becoming porous-free[?]
23 and exercises such -- and exerts such high pressure that
24 the rocks which are above the seam and below, they are
25 cracking. These are result of large-scale experiments.

1 And I can dwell on the subject more if somebody would
2 like to have more information.

3 Now I would like to switch to a different
4 subject, namely STPA results on testing of the SS treated
5 Tar Ponds sediment and Tar Cell samples for unconfined
6 compressive strength, permeability and leachability, and
7 this is based on the Solidification Technical Memo
8 Report.

9 Well, I went through this report in
10 details. First of all, some of the results cannot be
11 interpreted due to inadequate sensitivity of analytical
12 field equipment used. Some provide further experimental
13 evidence in addition to 2002 Technology Demonstration
14 Program that SS will be ineffective in solidifying the
15 Tar Ponds sediment and Tar Cell material.

16 Once again, STPA claim that unconfined
17 compressive strength target of at least 0.12 to 0.4
18 megapascals, which is equivalent to 17 to 20 psi, is
19 consistent with industry standards for strength testing
20 on in-situ solidification product, and with the proposed
21 future land use at the Tar Ponds and Tar Cell Site is
22 incorrect.

23 USEPA requires a minimum unconfined
24 compressive strength of 50 to 200 psi. Unconfined
25 compressive strength below 50 psi is, as a rule,

1 unacceptable. I really have to make a comment here.

2 This is the brochure of the Portland
3 Cement Association that I referred to you before. Those
4 people are certainly interested in selling cement. There
5 is no doubt. This is an umbrella organization for cement
6 producers. Well, let's look what they say, page 14 of
7 this brochure. I will quote the sentence which is over
8 there.

9 "Minimum unconfined compressive
10 strength of 50 psi is typically
11 specified."

12 How many minutes do I have still?

13 THE CHAIRPERSON: You have approximately
14 about 12 minutes.

15 DR. IGNASIAK: Thank you very much. Well,
16 further about this report, all samples except for two
17 generated with North Pond sediment failed to meet the
18 minimum unconfined compressive strength target of 50 psi.
19 However, what is worse, no information is provided on
20 total organics content in the sample.

21 If we know right now that we have about 55
22 percent of organics in terms of weight, then if we don't
23 really have this information -- if you don't take into
24 account this information, how we can argue, as a matter
25 of fact, whether the sample can meet the strength

1 criteria or not?

2 What, however, I would like to mention is
3 that the total petroleum hydrocarbon content is about 50
4 percent less for the North Pond sample that met the
5 criteria over 50 as compared with the South Pond sediment
6 sample that failed completely.

7 Of all samples for which the unconfined
8 compressive strength could be measured all but three show
9 lower compressive strength after 14 days of curing
10 compared to seven days of curing. Why? Normal thing is
11 that if you cure cement the cement increases -- the
12 strength increases with time and after about 28 to 30
13 days it reaches maximum strength.

14 Here we have that reverse situation. I
15 don't know. I haven't seen any really explanation for
16 that. I think there are a few explanations but I don't
17 know which one is right.

18 It is not clear whether the permeability
19 measurements were carried out on samples after six days
20 -- seven days of curing or not. The permeability should
21 be measured after at least 14 days of curing.

22 The next thing which surprised me. The
23 samples were not homogenized prior or during SS treatment
24 and this is reflected in a very wide scatter of results
25 of chemical analysis. In fact, what I found in the

1 report is that any particle that was larger than 2
2 centimetres was removed from the sample prior to SS.

3 Now, what is the percentage and the
4 composition of those removed particles? I don't have the
5 slightest idea. Perhaps that was coal, it could be coke,
6 but it could be globule of coal tar. This is a major --
7 a major -- I would say, mistake.

8 The report does not provide the results of
9 proximate and ultimate analysis, and that regards North
10 Pond and South Pond sediment and Tar Cell material. If
11 we really want to investigate the impact of those
12 organics on compressive strength and other things, how we
13 can ignore the results of total organics content?
14 Obviously, this precludes any meaningful discussion of
15 the results of geotechnical testing.

16 Next thing -- or last -- I will not bother
17 you longer with that. Benzene leachability tests were
18 carried out for sediment samples containing 3.1 and 4.5
19 ppm benzene. Benzene content in Tar Ponds sediment is in
20 the range of 3 to 234 ppm. Why were not samples tested
21 which had at least 30, 40, 50 ppm of benzene?

22 I just would like only to finish with
23 nothing more but just with the -- final conclusions and
24 recommendations of the report are quite surprising.

25 "The additive mixture with 5 percent

1 slag and 5 percent cement met
2 strength and permeability goals for
3 the solidification pilot test in the
4 North and South Tar Ponds samples."

5 I went through this report a few times
6 right from the beginning till the end -- this is the same
7 report which was submitted to the Panel -- and there are
8 absolutely no results that would justify this sort of a
9 statement, absolutely nothing. There is no one result.

10 Next I am taking from the report, final
11 conclusions:

12 "Further testing of the Tar Cell
13 material is required to determine an
14 appropriate additives blend for this
15 material. Additional testing using
16 cement and quicklime and other
17 impacted site soil should be carried
18 out to verify that the material can
19 be adequately solidified for
20 bacterium."

21 About seven days ago from this very spot I
22 started apologizing when it appeared that the Proponent
23 didn't really want to solidify this material but burn,
24 but this is the conclusion from a report which is dated
25 November last year. I am confused completely.

1 Well, finally -- I am coming to an end --
2 I think we should put a nix to this notion that there
3 were MGP sites which were solidified and that the Tar
4 Ponds sediment is very much like those sites.

5 Well, in-situ SS remediation projects
6 listed by STPA, Tables IR-42.1 and 42.2, these tables
7 were listed in response to Panel's request to provide the
8 Panel with examples -- the best examples that -- there
9 are five -- that were really containing very much the
10 same contaminants that could be actually solidified the
11 same way as the Tar Ponds.

12 Let's start with the MGP site Columbus,
13 Georgia. I already provided information on this site.
14 Many of my transparencies were regarding this particular
15 site. Well, this site had 4 acres and 75,000 cubic
16 metres of material were really solidified on the site at
17 a depth up to 10 metres.

18 I had a hell of a time to find what were
19 the contaminants, especially what was the content of
20 contaminants, but I found it. The material that was
21 solidified, the soil had about 2,400 ppm of PAHs, about
22 3,000 ppm of VOCs and about 5,500 ppm of petroleum
23 hydrocarbons. There was no coal and coke from what I
24 could conclude, but this is not really a clearcut
25 conclusion.

1 I would like -- before I come further, I
2 would like to mention about the second site. The second
3 site is also the one which was referred to tge Panel's
4 attention as a similar site to Tar Ponds Site.

5 It has -- the area of the site is 2.82
6 acres, 79,000 cubic metres were solidified, it was coal
7 tar supposedly on this material. There was, however,
8 fuel oil, most likely there was no coal and coke but I
9 cannot guarantee that, and unfortunately I couldn't find
10 any information on content of those two contaminants.

11 And, finally, the next site is MGP site
12 Appleton where 26,000 cubic metres were solidified, there
13 was -- I couldn't find any information on the subject of
14 what contaminants were over there and what was the
15 content. The same regards the MGP site Augusta, Georgia,
16 which was 1.8 acres and 39,000 cubic metres were
17 solidified. Below, just for your information, is what is
18 really in Tar Ponds.

19 Now, I really dig very deep in order to
20 find how the first site, this Columbus, Georgia, was
21 remediated.

22 THE CHAIRPERSON: Dr. Ignasiak, five more
23 minutes.

24 DR. IGNASIAK: Thank you very much. I
25 will finish within the time frame.

1 It appears that what happened is that a
2 cofferdam was built here to cut off the river from coming
3 directly to this contaminated site and subsequently what
4 was done is all this material was excavated and removed
5 from the site, this one between the river and between
6 this red line.

7 Roughly in the place where the red line is
8 a huge wall 2 1/2 metre was built, 2 1/2 metre, 25
9 percent of cement, and was extended along the river for
10 125 metres. So, whatever all the [--] and this was the
11 main contaminants were excavated and they were actually
12 drain here, they were not left here. Then this portion
13 which was impacted by this [--] was -- this portion was
14 really solidified. There was no solidification of the
15 byproducts, these byproducts that we have, for instance,
16 in the Tar Ponds. And I roughly describe already what's
17 happened with the Columbus, Georgia. I will switch right
18 away to the next site.

19 When I started digging it appears that
20 this site actually -- I mean the MPG site -- had area of
21 2.82 acres, but really the site, the whole site which was
22 developed, was 10 acres.

23 What appears to be the case that at this
24 point that an MGP plant was located 650,000 tonnes of
25 contaminated soil were excavated and removed from the

1 site, but below that, about 10 metres below the surface,
2 there were still soils which were impacted with small, I
3 presume -- I don't know exactly but I presume it is very
4 much like Columbus, less than one percent. Those soils
5 were solidified, not the byproducts.

6 Well, I look at the next site, the MGP
7 site, and I dig a little bit deeper what happened. All
8 those materials, those byproducts which were in the soil,
9 again were excavated to five feet below the surface and
10 only the soils below which did not have any by products
11 were solidified.

12 I am coming to an end.

13 THE CHAIRPERSON: Yes. Actually, Dr.
14 Ignasiak, your time is literally up now.

15 DR. IGNASIAK: Well, essentially I can
16 finish at this point. I don't think I really have to
17 draw conclusions. Thank you.

18 THE CHAIRPERSON: Well, thank you very
19 much, Dr. Ignasiak. I think the Panel would like a break
20 before we move into the questions. So, we're going to
21 take a 20-minute break. This means that we will be back
22 at 7:18 to resume.

23 One more thing. I assume you'll provide
24 copies of your overheads to the Secretariat.

25 DR. IGNASIAK: Actually, I already provide

1 it, yes.

2 THE CHAIRPERSON: Thank you very much.

3 --- RECESS: 7:00 P.M.

1 --- RESUME: 7:20 p.m.

2 THE CHAIRPERSON: Ladies and gentlemen, we
3 will resume and move on to questions. Oh, well I see we
4 -- in a minute.

5 Dr. Ignasiak, thank you very much for your
6 presentation. I think the Panel have a few questions for
7 you.

8 I wonder if we might have quiet in the
9 hall, please, so that we can move on to questioning.
10 Thank you.

11 --- QUESTIONED BY THE JOINT REVIEW PANEL:

12 THE CHAIRPERSON: The first question that
13 I'd like to ask you is you refer in your presentation to
14 -- on a number of occasions to the concepts of the
15 success of solidification/stabilization, the failure of
16 S/S treatment.

17 So I would like to ask the general
18 question, first of all, if you could -- in the context of
19 this particular remediation project, if you could tell us
20 what it is that you would consider would constitute
21 success of S/S, what should be attained in order for you
22 to say that S/S was successful, and similarly, what

1 constitutes failure.

2 DR. IGNASIAK: Well, during the last 10
3 days, I think I was giving examples of major failure --
4 to prevent the leaching of, for instance, phenols by
5 solidification. Specifically, I provided an example that
6 a sample of soil was solidified, and subsequently the
7 same sample was solidified after adding exactly two
8 percent of phenol.

9 What happened is that after this sample
10 that was solidified with phenol was subjected to TCLP, it
11 appeared that 100 percent of this phenol which was put
12 into the sample prior to solidification was recovered.
13 Everything was recovered. It means no phenol was really
14 retained in the solidified sample.

15 Then I also, I believe, provided a very
16 interesting example that another researcher who is
17 specializing in cement reactions was doing exactly the
18 same what I described but he was waiting for seven days,
19 for 14 days, for 21 days, and was extracting using TCLP
20 procedure those samples after seven, 14 and 21 days, and
21 he noticed something absolutely shocking -- that the rate
22 -- it means the efficiency of extraction increased with
23 curing time, which is completely against any reasonable
24 expectation if you know that cement when it's curing is
25 becoming harder with time. This -- something completely

1 opposite happened.

2 The other example that I would like to
3 provide -- a simple example is that even for metals and
4 metalloids, sometimes solidification/stabilization is
5 full of complete surprises.

6 An example, sample was solidified with
7 Portland cement only, and some sort of a strength was
8 determined for the sample. I don't remember exactly, but
9 it was, I believe, about 60/70 psi.

10 Now, in the next step, the same soil was
11 -- to the same soil, 0.02 percent of zinc was added, and
12 the sample was solidified and the strength was tested.
13 Surprisingly, the strength went up to about 600 psi. So
14 the same researcher did an experiment, that in next
15 experiment, instead of adding 0.02 percent, he added 0.04
16 percent. Shocking example, the strength dropped almost
17 to the level of sample that was not treated with zinc at
18 all. So he continued with 0.7 and 0.8, and essentially
19 the sample did not show any strength after that.

20 Well, if we are for single metal getting
21 this sort of problems -- and you have to bear in mind
22 that this is really a surface chemistry that is playing
23 the key role -- if we cannot really establish those
24 things for simple zinc, then how we can expect that we
25 will be able to apply some sort of a formula that will be

1 available and will be successful when we have 60 percent
2 by weight of organics, which by nature should not be
3 solidified.

4 That is the point I was trying to make,
5 and I -- really I didn't have enough time to finish.

6 THE CHAIRPERSON: So in your first reply
7 to me, essentially you were talking -- I asked really for
8 your criteria, what would make this form of treatment
9 successful in your view, and your answer obviously
10 referred to leaching characteristics. So in other words,
11 the ability -- or your -- one criteria is the ability of
12 the matrix to retain certain contaminants and prevent
13 them from leaching.

14 Now the second part of your answer was in
15 reference to the unpredictability of the methods in your
16 eyes. Now, was that in relationship to -- are you
17 primarily interested in the ability -- in the ability of
18 the remediation to prevent leaching of contaminants?

19 DR. IGNASIAK: Well I understand that this
20 is the prime objective of any solidification/
21 stabilization, to prevent leaching. If we do not
22 accomplish doing that here in Tar Ponds, then I think
23 this whole exercise is worth nothing.

24 THE CHAIRPERSON: Yes. So what I was
25 attempting to clarify from asking you these questions is

1 that you're not using a compressive strength by itself as
2 the determinant of success.

3 DR. IGNASIAK: I think that the
4 compressive strength is very important component, but
5 from the point of view of spreading of those
6 contaminants, the leaching is of incredible importance.

7 And this leaching is even more important
8 because, in fact, if you look at some work that was done
9 in the past, the organics which are solidified, they
10 essentially should not leach because the leaching test,
11 TCLP, is generally carried out with certain -- in an
12 acidic region. It is about four/five pH.

13 Now, it was considered that since organics
14 are generally not affected by acidic pH, they should not
15 leach. But everybody forgot, for instance, about
16 phenols. They will leach much better when actually the
17 pH will be in the order of nine/eight/ten. They will
18 really start leaching very badly at this stage.

19 THE CHAIRPERSON: Okay. Thank you.

20 DR. LAPIERRE: Good evening, Dr. Ignasiak,
21 and thank you very much. I just have a few questions.
22 The first one relates to -- there's one to leaching, but
23 I'll ask the second one.

24 The first one relates to cement. If you
25 integrate a greater amount of cement -- now you indicated

1 -- you gave two slides in your presentation -- one with
2 the Tar Ponds component, one with cement, and you
3 indicated that there was a diminishing -- the volume of
4 organics becomes smaller as you increase more cement.

5 Now, could you double the amount of cement
6 or even add a little more in order to dilute the organics
7 and get a compressive strength that you could work with?

8 DR. IGNASIAK: Well this question should
9 be really addressed perhaps to people who are
10 specifically in this business. I am a surface chemist,
11 and my interest is mainly in cement from the point of
12 view of the surface chemistry. I don't want to build
13 hypothesis here.

14 There is a possibility that you could
15 increase this strength and you could reduce the leaching,
16 but honestly speaking, I don't really think that the
17 chances are really very good. If you start with a
18 material which is 55/56 percent organics to start with,
19 this is really against -- this is really against the
20 principles of S/S.

21 I would like once again to bring your
22 attention to what the Portland Cement Association says on
23 the subject. And I believe that the people who really
24 put together this brochure, they knew what they were
25 talking about. The name of Mr. Conner is actually one of

1 the authorities in this area. So let me just answer with
2 reading one sentence.

3 "For nonhazardous oily wastes,
4 techniques have been developed to
5 solidify these materials when the
6 organic content is below
7 approximately 25 percent."

8 We have here 55/56 percent. Now, keep
9 also in mind that this is for nonhazardous oily wastes --
10 that the leaching is of no importance because they are
11 nonhazardous.

12 Now, for hazardous, the same brochure
13 says:

14 "For hazardous organic wastes and
15 Equis wastes with greater than one
16 percent hazardous organics, the
17 LENS BEN (sp) regulations effectively
18 [--] the treatment by S/S
19 techniques."

20 These are not my words. These are the
21 words of the Portland Cement Association.

22 DR. LAPIERRE: Okay. Thank you very much
23 for that answer. I then have a next question that
24 relates maybe more to your field of expertise. It
25 relates to leaching.

1 As you've, I'm sure, listened to the
2 presentations we had and the explanation as to how water
3 will be treated in the monolith or the matrix, the water
4 will be -- you know, there'll be some drainage systems
5 from underneath up to the top. There's a collection of
6 pipes, and these pipes would run to a drainage ditch or a
7 drainage canal, and at the end, if I understood
8 correctly, each one of those would be capped with a
9 valve.

10 And the question I have, would not the
11 leachate be collected -- isn't this a backup to collect
12 the leachate and to ensure that the leachate would not
13 return to the environment if most of the water is going
14 to be recuperated through this drainage system.

15 My understanding is this is why you have
16 this elaborate drainage system with these big holes from
17 the bottom to the top, piped into a series of canals, and
18 then monitored prior to release to the canal. Is this
19 not a process in which you could collect that leachate?

20 DR. IGNASIAK: Dr. LaPierre, I am not a
21 structural engineer, but when I look at the development
22 of the concept of solidification/stabilization from the
23 first day of the hearings and I could see continuously
24 some changes, I really became extremely sceptical about
25 the whole thing.

1 I simply doubt whether a system like that
2 can work, but I suggest that you ask the same question to
3 Dr. Fred Lee, who is an expert in this area.

4 DR. LAPIERRE: Okay. Thank you.

5 MR. CHARLES: Dr. Ignasiak, you gave us
6 some information about coal swelling, but I didn't quite
7 capture how coal swelling applied to this project. What
8 was the significance of coal swelling?

9 DR. IGNASIAK: Thank you very much. I
10 will try to be brief. You see, I give you a simple
11 example. If you have a test tube, glass test tube, and
12 if you put into this glass test tube about three grams of
13 coal, you mark the level of coal, and then you put in one
14 drop of methanol. If you pick a certain type of coal,
15 like for instance, lignite, or some bituminous coal, you
16 will observe during few minutes that this coal starts
17 swelling. And if you measured now how far the level of
18 coal swell, you will find that actually in this case, it
19 will go up to 30 percent of the original volume of this
20 coal.

21 Now, everything that swells exerts some
22 pressure. So this is one case.

23 The other case, I -- I think my case with
24 the coal bed methane is perhaps too complex for me to
25 explain in two minutes, but there are some other cases.

1 You can actually place again the coal -- different type
2 of coal -- not lignite now, bituminous coal -- coking
3 coal or caking coal -- and you can do the same experiment
4 except that you will put on top of this coal in this test
5 tube some sort of a weight, a disc, and it will be -- it
6 will have extended the arm with some writing system, and
7 you will be, as a matter of fact, that when you heat it
8 up, this thing will actually change the volume all the
9 time.

10 MR. CHARLES: But when it changes the
11 volume, are you suggesting that it does damage to our --
12 I don't know whether I should call it monolith or thing
13 or whatever it is we've got there after we stabilize and
14 solidify.

15 DR. IGNASIAK: Thank you for this
16 question. I think it leads me right to good answer.

17 You know, this is the place that we're
18 operating coke ovens. If you, for instance, treat coal
19 in a coke oven, and if you do not prepare the right blend
20 of the coal for coking, and if you don't have movable
21 wall, the coal may actually damage the whole oven. It
22 may -- it simply will shatter one or two walls.

23 So many, for instance, coke ovens are
24 equipped with moveable walls. So when the coal starts
25 expanding, this wall is moving away, thus, you know,

1 saving the other three walls from being shattered.

2 MR. CHARLES: Do you see this as a big
3 problem with solidification/stabilization of the coal --
4 the Tar Ponds, or is it sort of a minor problem that's
5 going to have to be dealt with?

6 DR. IGNASIAK: Dr. Charles, I cannot tell
7 you whether it is a big problem or a minor problem, but I
8 think that somebody who was looking at application of S/S
9 should certainly be aware of this problem. This may be
10 an important problem.

11 MR. CHARLES: All right. Thank you for
12 that. I have one last question. In the -- in your
13 presentation, I think you have a quote from the EPA that
14 says:

15 "The process of in situ S/S treatment
16 is shown to be in the range of 50
17 percent effective."

18 Have you any idea on what criteria they
19 were able to reach that percentage?

20 DR. IGNASIAK: Well, this has been taken
21 -- this has been taken from EPA report published in 2000,
22 and I actually provided this information to the Panel
23 regarding specific reference to this report. I would
24 like perhaps, if you allow me, to still come for a moment
25 to the question that you asked me before whether ---

1 MR. CHARLES: Before you do that, do you
2 have any idea what the criteria for reaching 50 percent
3 is that the EPA used? How did they decide that it was 50
4 percent effective and not 60 percent or 70 percent?

5 DR. IGNASIAK: As far as I remember, I
6 said 33 percent -- 33 percent simply. If they decided,
7 for instance, to go ahead with 100 projects that were
8 supposed to be remedied by S/S, then during either
9 planning or designing or implementation or operation,
10 they found that 33 of those projects did not work, so
11 they had to go to different remedial methods.

12 MR. CHARLES: All right. I may be
13 mistaken. I'll go back and check on my 50 percent.
14 Thank you very much.

15 DR. IGNASIAK: Thank you.

16 DR. LAPIERRE: I would just like to ask a
17 follow-up question on Mr. Charles' question. The
18 question relates to coal and water, absorbing water.

19 Now, if the coal is lying in the Tar Ponds
20 over time, wouldn't it already be reabsorbed? So if
21 you're just mixing it in with cement, would it reabsorb
22 additional water or would it not be saturated already?

23 DR. IGNASIAK: Thank you very much. I
24 think that relates really to Dr. Charles' question, and
25 I'm happy that you repeated to some extent this question.

1 You see, during S/S treatment, what you do
2 is, as a result of placing cement in the thing and
3 mixing, you generate higher temperatures. You should mix
4 actually -- in fact, S/S requires that you should
5 homogenize this material. If you have coal over there,
6 you should actually crush this coal, you should grind
7 this coal.

8 What is happening at this temperature of
9 about 70/80 centigrade is that in fact the pores of coal
10 which are filled with water, some of this water will be
11 removed.

12 Now, the incredibly important thing that
13 will happen at the same time is that the oil droplets or
14 the tar droplets which were in form of droplets, at this
15 temperature and at this conditions, pH about eight/nine/
16 ten, they will actually be becoming like oil that can be
17 spread very easily and they are absorbed on the surface
18 of the coal.

19 If those droplets of oil had before
20 minimal impact on surface reaction, now when they will be
21 spread all over this coal, their impact will be one
22 thousand more than before.

23 And I think that is one of the most
24 important things in solidification/stabilization that is
25 completely ignored.

1 THE CHAIRPERSON: Dr. Ignasiak, just a
2 couple of questions. I want to come back to my -- well,
3 I guess we've all been talking about success and failure,
4 but we have heard during the hearings -- it has been kind
5 of indicated to us that in fact the primary remediation
6 technology for the Tar Ponds is in fact the containment
7 part of the plan, of the design, and that in fact,
8 solidification/stabilization is a kind of -- is a
9 redundancy, is an added safeguard. Now -- and we've
10 heard other things as well, and I think we were hoping to
11 really kind of clarify that in the next couple of days.

12 But if that indeed is the case, do you
13 still think that the success or failure of S/S treatment
14 -- I mean, how crucial is it from your perspective with
15 the design that you have seen?

16 DR. IGNASIAK: My simple question --
17 simplest question would be -- my simplest answer would be
18 the sediments that exist right now can hardly maintain
19 the weight of a person weighing about 160 pounds. It
20 means that if you step really on the sediment and you
21 move one foot up, you will start sinking in this thing.

22 Now, if we really feel that we are ready
23 to leave the sediment the way as it is without
24 solidification/stabilization and put something on top of
25 that with considerable weight, then not being a

1 structural engineer, I have a real problem with
2 understanding how that would be possible.

3 THE CHAIRPERSON: So in fact, going back
4 to my first question about the criteria by which you
5 would determine success, it is both the ability to
6 contain contaminants to prevent it from leaching, it is
7 also compressive strength in the light of final use or
8 future use.

9 DR. IGNASIAK: The answer is yes.

10 THE CHAIRPERSON: And my last question,
11 and then I'll provide other people with opportunities.
12 Can I just ask for some clarification around the issue of
13 BTEX, the removal? You've indicated that there are
14 examples whereby there was 95 percent loss during the
15 process basically of the S/S treatment.

16 Now, this has presumably obvious
17 implications with respect to public health. In terms of
18 performance of the S/S treatment, is it an issue, or is
19 it a health issue?

20 DR. IGNASIAK: I think it is an incredible
21 issue. And you know, my understanding when I came here
22 was that the S/S is to be eventually, if it's approved,
23 applied in form of using the augers, which means those
24 big machines which go down to the -- well, 10 metres or
25 whatever, and they are mixing -- homogenizing -- mixing

1 and homogenizing by lifting and getting down [--].

2 Well, that is not supposed to be more like
3 that. Now the understanding is that we are going to --
4 to using backhoes.

5 Now, if you have the auger, the
6 technologies were really developed that you put a pan
7 over the auger and you can actually control those VOCs
8 that are being evolved during this treatment. If we have
9 here backhoes, I'm having a real problem to visualize how
10 this is possible actually to do anything about those
11 VOCs.

12 THE CHAIRPERSON: This is a very -- this
13 is a very minor point, but let's just clear it up for the
14 record.

15 When you had your overheads up, with
16 respect to conditions at other sites, I believe it was
17 the Columbus site, VOCs on your overhead, it said 300.
18 In your -- when you spoke, you said 3,000. Do you
19 remember that? Which was the correct one?

20 DR. IGNASIAK: Three hundred, 100 percent.
21 If I said 3,000, I apologize. I'm sure that it was
22 written 300, 300 in the original source of information.

23 THE CHAIRPERSON: Thank you. I just
24 wanted to clarify that.

25 I will now provide opportunities for

1 others to ask questions of Dr. Ignasiak. I'm going to
2 turn first to the Tar Ponds Agency. I'm going to -- as
3 we have been doing in the past and we were doing on
4 Saturday, I'm going to remind you that please address
5 questions to the Chair, and that the answers will also be
6 made to the Chair.

7 So Mr. Potter, 10 minutes for your
8 questions.

9 MR. POTTER: Thank you, Madam Chair. I'll
10 ask Mr. Kenyon to raise a few questions. Thank you.

11 --- QUESTIONED BY THE SYDNEY TAR PONDS AGENCY (MR.
12 JONTHAN KENYON)

13 MR. KENYON: Madam Chair, I guess first
14 just a point of clarification for Dr. Ignasiak.

15 In one of his last slides he had brought
16 up, it was the conclusion from the Earth Tech technical
17 memo which stated, I believe, a mix of five percent
18 cement and five percent slag was -- had successfully --
19 was a successful mix.

20 That is a typo from the memo. If you go
21 through the memo, I think it's quite clear that it's 15
22 percent cement and five percent slag that has passed. I
23 apologize to Dr. Ignasiak if he went through looking for
24 the five percent.

25 DR. IGNASIAK: Can I respond to this

1 thing?

2 THE CHAIRPERSON: Yes, go ahead. Yes.

3 DR. IGNASIAK: I would propose that I
4 simply come up and pick up the memo and we can resolve
5 the problem in no time. Is that reasonable?

6 THE CHAIRPERSON: I suggest that ---

7 DR. IGNASIAK: Or maybe I will provide
8 this information for my colleague after we finish
9 discussion.

10 THE CHAIRPERSON: That would be a good
11 idea.

12 DR. IGNASIAK: Thank you very much.

13 THE CHAIRPERSON: Mr. Kenyon.

14 MR. KENYON: If I might just -- it's not a
15 typo on Dr. Ignasiak's slide. It was a typo in the
16 technical memo. I think that ---

17 THE CHAIRPERSON: Yes, I understand that.

18 MR. KENYON: I'm not sure that Dr.
19 Ignasiak did.

20 THE CHAIRPERSON: Oh, I see. Did you
21 understand that, Dr. Ignasiak? It's not your error.

22 DR. IGNASIAK: I understood that. I'm
23 sure that in conclusions, it's five percent.

24 THE CHAIRPERSON: I suggest you resolve
25 that between yourselves, and if there's any change that

1 needs to be put on the record, you can bring it back
2 later.

3 MR. KENYON: Thank you, Madam Chair. I
4 guess the first thing I'd like to do is -- my
5 understanding is that Dr. Ignasiak is a principal of TD
6 Enviro. I wonder if he could first clarify his interest
7 in this hearing for us.

8 DR. IGNASIAK: I certainly can. TD Enviro
9 and TDE is one of many companies that I am consulting
10 for. I am not a principal of TD Enviro.

11 MR. KENYON: I guess what I'm wondering,
12 is he here speaking on behalf of TD Enviro or TDE or some
13 other company.

14 DR. IGNASIAK: Really, I was registered as
15 Les Ignasiak. I was not registered as Les Ignasiak, TD
16 Enviro, or TDE, or Mitsui Engineering and Ship Building
17 Company, or whatever, Kuwait Oil. No. I am registered
18 here as Les Ignasiak.

19 MR. KENYON: Dr. Ignasiak, many of your
20 comments that you've made this evening, you've prefaced
21 with "I think." My question is, Madam Chair, does Dr.
22 Ignasiak have any personal experience with
23 solidification/stabilization on site and practically.

24 DR. IGNASIAK: Madam Chair, I think I
25 quite clearly spelled out that my main interest in -- are

1 surface reactions. There is a lot of surface reactions
2 occurring during cementation, and my interest in
3 cementing is only associated with surface reactions.

4 MR. KENYON: Has Dr. Ignasiak been
5 involved in the clean-up of any sites with
6 solidification/stabilization?

7 DR. IGNASIAK: Once again, I am not
8 practically applying any of the remedial methods that I
9 am involved into. I am providing advice as to the
10 suitability of those methods, whether they can be used or
11 they cannot be used.

12 For instance, I am providing advice to
13 Kuwait government as to how those 80,000,000 tonnes of
14 oil contaminated soils over there could be remediated.

15 I certainly wouldn't suggest
16 solidification/stabilization. You can be sure of that.

17 MR. KENYON: Oh, I'm quite sure. If we
18 went back to your presentation, I believe this evening
19 you've spoken of a report that you read from the Oakridge
20 Laboratory of March, 1994, which dealt with
21 solidification/stabilization. You've also brought
22 forward the Portland Cement brochure.

23 I wonder if you have any more recent
24 material papers on solidification/stabilization that you
25 have researched in coming forward this evening.

1 DR. IGNASIAK: Actually, I have quite a
2 lot of very recent information about stabilization/
3 solidification of those four MGP sites that the Proponent
4 referred to as very close to Tar Ponds. This is
5 information from the recent years, because as you
6 probably remember, those MGP sites were stabilized in
7 2002, 2003 and 2004, and I consider that to be quite
8 updated information.

9 MR. KENYON: I guess the question for Dr.
10 Ignasiak is what is the source of that information and
11 has that information been provided to the Panel.

12 DR. IGNASIAK: I'm not sure I really
13 understand the question.

14 THE CHAIRPERSON: Mr. Kenyon is asking
15 whether the papers that you have just mentioned in that
16 previous answer, whether you have provided them to the
17 Panel.

18 DR. IGNASIAK: No. But I have absolutely
19 no problem with providing those papers to Panel or to
20 whoever.

21 THE CHAIRPERSON: Then I think we will
22 take that as an undertaking, Dr. Ignasiak, for the
23 record, that you will provide the papers you've just
24 alluded to, recent papers with respect to S/S
25 projects.[u]

1 DR. IGNASIAK: Yes, I will -- I will
2 provide those papers. I think I can do that by tomorrow.

3 MR. KENYON: Madam Chair, I think Dr.
4 Ignasiak cleared it up at the end of his presentation,
5 but I just want to be clear, is Dr. Ignasiak aware -- I
6 understand from his third slide, he had
7 stabilization/solidification of the tar cell listed there
8 -- is he aware that the tar cell is to be incinerated and
9 not stabilized?

10 DR. IGNASIAK: Yes. I -- as I mentioned
11 during my presentation, I, in fact, a few days ago
12 apologized to the Panel and to the Proponent that I
13 thought, based on my reading of the report, that in fact
14 I thought that this stuff is to be solidified and
15 stabilized.

16 But as I said, I looked at this report a
17 few times after I apologized to the Panel and to the
18 Proponent, and I realized that clearly one of the key
19 conclusions in this report is that this tar cell material
20 should be further tested for solidification/stabilization
21 in order to be land filled.

22 MR. KENYON: I'm not sure if this was
23 answered in Dr. Ignasiak's reply to Dr. LaPierre, but
24 with respect to coal swelling, I guess the question,
25 Madam Chair, is what would cause coal swelling in the

1 stabilized and solidified monolith.

2 DR. IGNASIAK: Just in response, I
3 believe, to Dr. Charles' question, I provided a
4 description of a very simply -- probably the simplest
5 example of coal swelling where you put three grams of
6 coal into a test tube, you drop -- you put one drop of
7 methanol, and you observe that this material will
8 increase its volume by about 30 percent.

9 Now, it appears that higher-ranked coals,
10 they will be not affected by methanol, but they will be
11 tremendously affected by some other organic liquids,
12 including BTXs, VOCs and oils.

13 And, in fact, the penetration of some of
14 those liquids into coal pores is such incredibly
15 systematic, that this is being used actually as an
16 analytical method for determination of the surface area
17 of the coal using benzene.

18 So there are thousands -- thousands of
19 monographs, books, that actually you can find out that
20 this is a major problem.

21 And also I was trying in the response to
22 Dr. LaPierre's question to emphasize that if in original
23 sediment, if you have globules of tar or heavy oil, which
24 are not really that bad because the surface area is
25 actually minimal because they are globules.

1 Now, if you do solidification/
2 stabilization, by the very nature of this treatment, you
3 will spread those globules all over the surface of coal.
4 Now the surface reaction will change completely --
5 completely.

6 I believe -- I'm not sure -- I said that
7 during presentation -- I believe that this may be
8 actually the reason why the strength, the compressive
9 strength of those samples stabilized as described in the
10 report are really -- the strength is much worse after 14
11 days than after seven days.

12 It would be interesting to see what it
13 would be after 21 days, but I think I would bet that it
14 would be even weaker.

15 MR. KENYON: One final question for Dr.
16 Ignasiak. This is dealing with the coal swelling or
17 simply just coal problems with
18 solidification/stabilization. Does he have any
19 experience with coal swelling or coal problems in
20 solidification/stabilization or does he have any
21 references to provide the Panel of problems in
22 solidification/stabilization from coal swelling?

23 DR. IGNASIAK: I've been working in coal
24 science and technology for many years, and as I mentioned
25 during my presentation, there is no other area in coal

1 science and technology which is more affected by anything
2 else than by coal swelling.

3 Coal swelling plays an incredible --
4 incredible role in any sort of coal utilization, and as
5 far as coal research is concerned, coal swelling is the
6 key thing ready for determining the structure of coal.

7 Is that sufficient? I propose -- I
8 propose that you simply write on internet, "coal
9 swelling," and you will get about a half million
10 responses.

11 THE CHAIRPERSON: I think Mr. Kenyon's
12 question, however, was in relation to do you have
13 experience of coal swelling directly affecting the
14 success of S/S remediation treatment. Is that correct,
15 Mr. Kenyon? Have I paraphrased you?

16 MR. KENYON: That's correct, Madam Chair.

17 DR. IGNASIAK: Okay. I was trying, but
18 perhaps I failed in making that clear that coal swelling
19 may actually crush rock. If this is not a clear example
20 that coal swelling can do really and can cause problems,
21 then I am really having a problem with further
22 explanation.

23 THE CHAIRPERSON: I think Mr. Kenyon's
24 question, though, is not -- you are putting this forward
25 as something that should be a concern. You don't

1 actually have documented evidence of it affecting a
2 particular S/S treatment project. Is that correct?

3 DR. IGNASIAK: Madam Chair, this is
4 correct. I don't have any specific example specific with
5 respect to S/S. That is correct.

6 THE CHAIRPERSON: And I just have a -- Mr.
7 Kenyon, you'd finished, had you? Yes.

8 MR. KENYON: I had, Madam Chair. I
9 believe Mr. Shosky does have one point of clarification,
10 if we could at the end of our questioning.

11 THE CHAIRPERSON: Can I ask a question
12 before you, Mr. Shosky? It relates to this. I'm just
13 not sure if I've got this quite straight. We're still on
14 the coal swelling.

15 Is it -- in this particular project, we're
16 told that in fact the target compressive strength is not
17 going to deliver -- if I've got this straight, is not
18 going to deliver a solid -- you know, sediments with a
19 solid property, but a far more friable -- a digable
20 quality.

21 So is coal swelling still as much an issue
22 in this instance as it would be if you were aiming to get
23 something that in fact was going to be basically a solid
24 block where I could see that if you had swelling of some
25 element within that, you could easily have fractures and

1 just wanted to get in a point of clarification and
2 possibly a technology transfer item.

3 It was insinuated that if we can't
4 understand zinc, then we shouldn't have any business
5 working with such complex organic compounds. I'd like to
6 -- and the example was given that a research colleague of
7 Dr. Ignasiak's was having trouble with that.

8 Perhaps your friend could give me a call.
9 Four years ago, I personally managed and finished a
10 130,000 cubic yard project in Williamsburg, Virginia,
11 where the compound of concern was zinc. We managed to
12 crack that nut, and we used the same mixing and capping
13 techniques basically that we're proposing for this
14 project.

15 So we do understand that one, and I think
16 we understand the other ones as well. Thank you.

17 THE CHAIRPERSON: Thank you, Mr. Shosky.
18 Very briefly, Dr. Ignasiak.

19 DR. IGNASIAK: Can I respond to that?

20 THE CHAIRPERSON: Yes.

21 DR. IGNASIAK: Absolutely my intention was
22 not to say that one cannot resolve the problem with zinc
23 in the soils that you want to solidify and stabilize. My
24 point was to make it clear how the surface reactions and
25 the chemistry are complex if addition increase from 0.02

1 percent to 0.04 percent can cause entirely different
2 effects.

3 I didn't say at all or at least I didn't
4 intend to say that one cannot overcome this thing. My
5 key point is, as a matter of fact, not metals and
6 metalloids. I made it quite clear during my presentation
7 that I am concentrating on organics and particularly on
8 organics in high concentrations.

9 THE CHAIRPERSON: Thank you, Dr. Ignasiak.
10 I'm now going to provide an opportunity for other people
11 to ask questions. I think I'm going to ask you to keep
12 it to two questions, please, and we'll see how the time
13 goes. We're running late.

14 So could I just get a show of hands from
15 registered participants who would like to ask Dr.
16 Ignasiak a question. I see Mr. Marcocchio. I see Ms.
17 MacLellan. I see Ms. Kane. Mr. Marcocchio.

18 --- QUESTIONED BY THE SIERRA CLUB OF CANADA (MR. BRUNO
19 MARCOCCHIO)

20 MR. MARCOCCHIO: Thank you, Madam Chair,
21 and thank you, Mr. Ignasiak. I wanted to ask you a
22 question on a point that you raised several days ago that
23 I found fascinating and interesting, and I hope you can
24 shed more light on it.

25 As you pointed out, the chemical reaction

1 during the cementation process raises the PH very
2 dramatically to the range of 10 or 11.

3 If I heard you correctly, is it true that
4 at those PHs all of the phenolic compounds that normally
5 would not become volatile, do, in fact, become volatile
6 in those PH conditions?

7 DR. IGNASIAK: Yes, I believe that a few
8 days ago I made a point of that, that while normally,
9 when you raise the PH to 7, 8, and 9, 10, the metals, for
10 instance, would not be solubilized so easily.

11 In case of phenols, it appears that, at
12 this PH, there will easily be -- phenols are acids, very
13 weak acids, and they are becoming better acids when you
14 raise PH to 10, 11. Then they essentially are converted
15 into, I said, phenolates, and those phenolates just leach
16 like crazy.

17 I provided, a few minutes ago, an example
18 that 100 percent of phenol could be extracted from
19 solidified, stabilized samples. So phenol essentially
20 cannot be solidified/stabilized unless -- there are cases
21 that people that are doing that, if phenols were in small
22 amounts, they're adding activated carbon. And I
23 discussed it as a matter of -- discussed this with few
24 experts.

25 However, please keep in mind that

1 activated carbon, the cheapest one is \$1,000 per tonne.
2 If you want to really get something better, you go to \$4-
3 5,000 per tonne.

4 MR. MARCOCCHIO: Thank you, Dr. Ignasiak.

5 One other question about the issue of coal
6 swelling and stabilization/solidification.

7 Would it not be an elegant -- an eminently
8 good reason not to do stabilization/solidification
9 because of the coal swelling properties of it, and is it
10 not quite possible that the reason that examples aren't
11 apparent is it's not indicated -- a treatment train for
12 these materials?

13 DR. IGNASIAK: Well, thank you very much.
14 I think this is a perfect question for which I think I
15 have a perfect answer.

16 I have never seen, in any project, that
17 somebody's trying to incinerate material that contains
18 over 50 percent of coal and coke, or somebody's trying to
19 stabilize material that contains over 50 percent of coal
20 and coke. This can be utilized, and is not going to
21 cost.

22 I think the idea of really solidifying and
23 stabilizing material that has over 50 percent of coal and
24 coke is really very questionable.

25 DR. MARCOCCHIO: Thank you very much,

1 Madam Chair.

2 THE CHAIRPERSON: Thank you, Mr.

3 Marcocchio. Ms. MacLellan.

4 --- QUESTIONED BY THE CAPE BRETON SAVE OUR HEALTH

5 COMMITTEE (MS. MARY-RUTH MACLELLAN):

6 MS. MACLELLAN: Thank you, Madam Chair.

7 Through you to Dr. Ignasiak, you have a core sample on
8 the slide, and it showed cracks in the cement around it.

9 Were those core samples from Georgia?

10 DR. IGNASIAK: Yes.

11 MS. MACLELLAN: Okay. That was in a river
12 bed?

13 DR. IGNASIAK: Sorry, could you repeat
14 that?

15 MS. MACLELLAN: Was that in a river bed, a
16 freshwater river bed?

17 DR. IGNASIAK: Actually, not. This sample
18 was taken from an area about 50 meters from the riverbank
19 on the other side of this wall, 2.1/2 meter wall, that I
20 described.

21 MS. MACLELLAN: But there was no exposure
22 to salt water.

23 DR. IGNASIAK: It was not exposed to
24 water.

25 MS. MACLELLAN: What I'm trying to ask

1 you, I guess, is what effect would salt water exposure
2 have on that solidified core sample?

3 DR. IGNASIAK: Well, I don't want to come
4 up with hypotheses, but what I did not mention during my
5 presentation, and thank you for actually making me
6 possible to mention about that now, is that between the
7 wall and between the river, all the soil was excavated
8 and fresh soil was put in place of this contaminated
9 soil.

10 Now, 9 years after the remediation was
11 completed, as I mentioned, the evaluation of the site was
12 done, and the samples of the fresh soil between the wall
13 and the river were taken and were subjected to TCLP. It
14 appears that they failed, the TCLP passed in terms of
15 drinking water standards.

16 Please keep in mind, this was fresh virgin
17 soil. There was a 2.1/2 meter wall between the soil and
18 the solidified material on the other side of the wall.
19 After 9 years already we can see that there is a problem.
20 That's why I mentioned to you, at a certain point, that
21 there was a word used of "similar" concentrations were
22 obtained, but really concentrations were similar but in
23 terms of TCLP this is a big difference.

24 MS. MACLELLAN: You mentioned BTEXs, and
25 their effect on human health.

1 Were there BTEXs present in Georgia? Are
2 you aware of any?

3 DR. IGNASIAK: Well, I have actually
4 visited the worst MGP sites in the United States working
5 for EPRI, and I have seen horror stories. I have never
6 seen a site that didn't have BTEXs.

7 MS. MACLELLAN: How close to populated
8 areas were these sites?

9 DR. IGNASIAK: Well, the problem is that
10 when they were setting up those plants, 100-150-180 years
11 ago, they always were setting up those plants as close to
12 the river as possible, because the cheapest way to bring
13 the coal which was required for running those plants was
14 by barge using the river.

15 So essentially, the majority of those
16 plants were really next to the river, and those plants
17 are leaching. The companies, the private companies that
18 are responsible for those sites, they generally paid the
19 owners of the houses which are in the vicinity in asking
20 them to move out.

21 MS. MACLELLAN: So they gave the people
22 the option of moving.

23 DR. IGNASIAK: Pardon me?

24 MS. MACLELLAN: They gave the people in
25 that area the option of moving away from ---

1 DR. IGNASIAK: Yes. For many of those
2 companies, actually, it is much cheaper to move those
3 people right away from those houses, and then start
4 thinking about remediation.

5 THE CHAIRPERSON: Ms. MacLellan, I think
6 that's at least two questions.

7 MS. MACLELLAN: Okay.

8 THE CHAIRPERSON: Thank you. Ms. Kane.

9 --- QUESTIONED BY MS. MARLENE KANE:

10 MS. KANE: Good afternoon. Good
11 afternoon, Mr. Ignasiak, and thank you for your
12 presentation.

13 We've heard about increasing compressive
14 strength in the Tar Ponds by adding more cement. The S/S
15 treated sediments have been recently referred to as a
16 rock.

17 I'm wondering how the coal swelling that
18 you've been talking about would affect this more solid
19 material.

20 DR. IGNASIAK: When I listened to
21 Proponent's presentation, I heard on a number of
22 occasions this word monolith, and actually I must tell
23 you that I looked in the dictionary, and then, when
24 Portland Cement came and they actually acknowledged that
25 this is a monolith that, in fact, you can shovel from one

1 place to another, I realized that we are not talking
2 about monolith any more.

3 MS. KANE: Another question I have, I
4 asked the Sydney Tar Ponds Agency several days ago if
5 they felt that the unconfined compressive strength test
6 results in Table 7, which showed only one sample out of
7 23 that actually increased in compressive strength, was
8 due to where the sample came from, which was at the mouth
9 of the north pond at the harbour, where the tidal
10 flushing is the strongest.

11 Do you have an opinion about that, I
12 wonder?

13 DR. IGNASIAK: I think your point -- I
14 perfectly well remember when you raised this point and
15 addressed this question, I believe, to Mr. Shosky.

16 Well, I have to say that I share totally
17 your opinion. The reason why the sample from the north
18 pond after solidification/stabilization showed higher
19 compressive strength, slightly over 100 psi, in my
20 opinion, is almost 100 percent sure due to the fact that
21 the tight actions simply removed most of the contaminants
22 that were absorbed on coal and coke out, and we've got
23 mainly minerals over there. And then the problem of
24 solidification/stabilization is not a problem any more.

25 But look at the sample from the south

1 pond. This sample is not -- south pond sediment is not
2 subjected to this tight action, so those organics are
3 mainly there. This sample, you know, when was tested for
4 strength, essentially showed no strength.

5 MS. KANE: And there were no samples in
6 ---

7 DR. IGNASIAK: Also, in fact, if you look
8 at the report that we were discussing today about, and I
9 believe I mentioned that in my presentation, the sample
10 from the south pond contained almost exactly 50 percent
11 more total petroleum hydrocarbons than this sample, which
12 was from north pond, and which really had reasonable
13 strength.

14 MS. KANE: One more question, and I think
15 it might be for Sydney Tar Ponds.

16 I'm wondering if the tar cells, the
17 contents of the tar cells are to be incinerated, why was
18 unconfined compressive strength tests conducted on tar
19 cell material?

20 THE CHAIRPERSON: Mr. Potter, do you wish
21 to just clarify that?

22 MR. POTTER: Part of the alternative means
23 we were looking at involved not having incineration,
24 therefore the tar cell material would have to be dealt
25 with.

1 than we probably have tonight.

2 THE CHAIRPERSON: All right. So we'll
3 have that on the record as something requiring more
4 discussion. Thank you.

5 Thank you, Ms. Kane.

6 MS. KANE: Thank you.

7 THE CHAIRPERSON: Is there anybody else
8 who is not a registered participant who has a question
9 right now for Dr. Ignasiak?

10 MR. POTTER: Madam Chair, could I get two
11 very quick clarifications?

12 THE CHAIRPERSON: Yes, Mr. Potter.

13 MR. POTTER: Just to address the phenol
14 question. We did take a look at the numbers. Our
15 phenols, for the most part, are non-detects. We have
16 very, very low phenols in our sediment.

17 With manufactured gas plants, they tend to
18 be typically in the inner part of city cores. All the
19 sites we've looked at, people we've talked to, these
20 remediation projects took place in the city core without
21 relocation of people. So that's a very traditional way
22 of doing these cleanups.

23 THE CHAIRPERSON: Thank you, Mr. Potter.

24 DR. IGNASIAK: Can I answer this question?

25 THE CHAIRPERSON: I'm not sure it was a

1 question to you, Dr. Ignasiak, but if you wish to make
2 brief comment.

3 DR. IGNASIAK: Well, I mentioned clearly
4 that many of those plants were located by the river.

5 Do I understand that there are not rivers
6 in city cores? Most of the rivers are flowing through
7 the cities in the United States.

8 THE CHAIRPERSON: Dr. Ignasiak, I believe
9 the point of clarification that Mr. Potter said was that,
10 the sites that they had looked at, there had not been
11 relocation of the residents around the sites. That was
12 your main point, not the presence of rivers.

13 DR. IGNASIAK: Then I apologise.

14 THE CHAIRPERSON: Okay. Thank you.

15 Our next presenter is Dr. Lee. Dr. Lee, I
16 think we're going to take a 5-minute break. I think we
17 need to stand up. And then we will resume.

18 --- RECESS: 8:20 P.M.

19 --- RESUME: 8:24 P.M.

20 THE CHAIRPERSON: We're going to start
21 with the Sierra Club of Canada.

22 MS. MAY: Thank you, Madam Chair. We
23 are pleased to be able to provide the expertise to this
24 Panel of Dr. Lee. He is one of the leading authorities
25 in North America on hazardous chemical sites and landfill

1 technologies.

2 He has extensive peer-reviewed paper
3 publications that you can find in his c.v. as well as
4 over 1,000 publications of chapters, papers, books, and
5 is recognized as a leading authority by the American
6 Academy of Environmental Engineers. So, I'll turn it to
7 Dr. Lee.

8 --- PRESENTATION BY SIERRA CLUB OF CANADA (DR. FRED LEE)

9 DR. LEE: Thank you, Elizabeth. As
10 Elizabeth mentioned, I've been asked to review the
11 adequacy and reliability of the Sydney Tar Ponds Agency's
12 proposed approach for remediation of the Sydney Tar Ponds
13 sediments.

14 Now, I'm going to be talking primarily
15 about the Tar Ponds sediment, but much of what I'm going
16 to be saying is equally applicable to the Coke Ovens Site
17 soils, except for the method of treatment that they're
18 going to use, but the issues I'm raising are about the
19 same kinds of problems.

20 What I've done in preparing this
21 discussion is to review the complete EIS, I have reviewed
22 all the responses to your questions, the Panel's
23 questions to the Agency, and I've also read all but two
24 of the transcripts which haven't been available to me yet
25 that have taken place here over the past -- what are we

1 in now? -- 15 days or so, and have prepared, as you know,
2 a roughly 90-page review of these issues where I have
3 quoted from what's been said by the STPA and then
4 discussed those issues based on my experience in working
5 on these kinds of problems for about the last 40 years.

6 So, as a way of background to this, I want
7 to just briefly review my background that's pertinent to
8 the conclusions I'm going to present to you.

9 I have a bachelors degree from San Jose
10 State College in public health focusing on water quality
11 and waste management, a masters in public health from the
12 University of North Carolina focusing on these same
13 issues, and then a PhD in environmental engineering from
14 Harvard University that was obtained in 1960 where I also
15 focused on aquatic chemistry issues. So, I have 30 years
16 of university graduate level teaching and research in
17 aquatic chemistry as it relates to water quality issues.

18 It's with this background that I come to
19 you and say, well, I've been involved in many of these
20 issues now almost throughout my career, and the -- I look
21 at the research that I've done in the university which
22 amounts to about \$5 million dollars and published about
23 500 papers while I was in the university, and there are
24 about four of these areas that are directly pertinent to
25 the discussions we have here.

1 In the work that I did at the New Jersey
2 Institute of Technology where I was a distinguished
3 professor of civil and environmental engineering, I was
4 also director of a multi-university hazardous waste
5 research centre and it was my responsibility to look at
6 remediation of sites, to help develop remediation
7 approaches for sites and to do research that would be
8 pertinent to this.

9 In the \$5 million dollars of research that
10 I did in the 30 years I was a university professor I
11 looked at a number of issues that have direct relevance
12 to the situation here. Back in the '60s my graduate
13 students and I, while I was a professor at the University
14 of Wisconsin, Madison, were some of the first -- I think
15 maybe the first -- in North America to look at PCB
16 issues.

17 And I've been involved now in PCB as a
18 source of pollutants and their effects now since about
19 the mid-1960s. This has included major research on just
20 where PCBs are located, what is their leachability and so
21 forth as pertinent to the situation here.

22 One of the areas I'm particularly
23 concerned about is the leaching of chemicals from aquatic
24 sediments. During the 1970s I had a million dollar
25 contract from the US Army Corps of Engineers to examine

1 the release of chemicals from aquatic sediments when you
2 suspend those sediments in the water column.

3 This is related to the dredging of
4 sediments as part of waterway maintenance in the US. And
5 the Corps was asked, well, what happens when you suspend
6 a sediment -- in this case we measured 30 parameters,
7 including PCBs -- into the water column, are pollutants
8 released and what are the conditions that govern release?

9 My work on landfill liners has direct
10 relevance to this. I started in the '70s where the USEPA
11 National Groundwater Research Centre came to me -- at
12 that time I was director of the Centre for Environmental
13 Studies at the University of Texas, Dallas, and we were
14 beginning to be concerned about the ability of clay-lined
15 ponds and clay liners for landfills being able to truly
16 prevent pollutants from transport through them.

17 And so I did some of the first work ever
18 done on the effects of organics on clay liners, and this
19 is subsequently shown by others to be correct in that
20 organics can, under certain conditions, interact with
21 clays to cause them to shrink and crack and become
22 ineffective as a liner.

23 In the '80s I branched out in my work on
24 liners to consider the HDPE liners, and I had a contract
25 to examine the properties of HDPE with respect to is it a

1 proper liner material and is it the best out there at
2 that time.

3 There was no question then, and today,
4 that as far as chemical inertness HDPE is the material of
5 choice. However, as I pointed out then -- and is still
6 true today -- HDPE liners will degrade over time and
7 ultimately will fail to be an effective liner.

8 I've also been involved in the evaluation
9 of testing procedures, and in my report I talk about the
10 evolution of what was called then the EPTOX test or now
11 the TCLP test, and I published a paper for ASTM which was
12 judged one of the best papers presented at their
13 conference several years ago on the inappropriateness of
14 trying to use TCLP to assess leaching of materials.

15 It's not a test designed for that purpose,
16 it should not be used for that purpose. Unfortunately,
17 it's widely used because most people don't understand its
18 limitations. It is not appropriate to evaluate the
19 efficacy of SS-treated sediments.

20 I have repeatedly been involved as an
21 advisor to governmental agencies and industry throughout
22 the US and other countries on solid and hazardous waste
23 management issues related to water quality protection,
24 and this involvement has included working with industry
25 and public groups.

1 In 1989 I retired after 30 years of
2 university teaching and began to expand my part-time
3 consulting to a full-time activity. Since then, for the
4 last 17 years, my wife, who is also a professor, and I,
5 we have a two-person firm and we've published an
6 additional 600 papers and reports, so we're now up to
7 about 1,100 or so. This is part of our efforts as a
8 continuing education of the field, it just helps get the
9 information out that helps, you know, set up public
10 policy.

11 During the course of this effort I have
12 looked at about 80 landfills, and some of these are what
13 I call capped waste piles, and that's what we're going to
14 try to develop here, is a capped waste pile as a means of
15 containment of the SS-treated sediments.

16 And this examination that I've made over
17 the years is focusing on the ability of liners and covers
18 for capped waste and landfills to prevent the release of
19 pollutants from the capped system or landfilled system.

20 I've been involved -- and still am
21 involved -- in advising the public on hazardous waste or
22 hazardous chemical site investigation and remediation

23 These are Superfund sites, and some are
24 not national Superfund sites but they're equivalent at
25 the state level, where it's my responsibility to serve as

1 a USEPA-sponsored advisor to the public to say is the
2 site being adequately investigated, is the site being
3 adequately remediated to protect public health and the
4 environment for as long as the wastes that are left at
5 the site will be a threat.

6 So, this is something that is right in
7 line -- what I'm doing here is in line with what I've
8 been doing now as part of my work on Superfund sites.

9 An important issue also is the fact that
10 I'm on the editorial board of the journal Remediation.
11 Remediation is, I think, considered to be the premier
12 journal in the field for remediation of hazardous
13 chemical sites, and I'm part of that board, and also of
14 storm water.

15 I've done a lot of work over the years on
16 water quality criteria and standards development. I was
17 an invited peer reviewer for the National Academies of
18 Science and Engineering Blue Book of Water Quality
19 Criteria in the early '70s.

20 I was part of the American Fisheries
21 Society's review of the Red Book of Water Quality
22 Criteria published by the USEPA in 1976 where I was on
23 the PCB Criteria Committee and examined the
24 appropriateness of the Red Book Criteria for PCB.

25 In the '80s I was an invited peer reviewer

1 to the USEPA on their so-called Gold Book of Water
2 Quality Criteria Development Approach, and this is
3 important because this helps establish now the issues of
4 what should be the goal for remediation, to come back to,
5 Madam Chair, your question earlier -- and I'll come back
6 to that -- because it's important to consider what should
7 you be trying to achieve with SS treatment of these
8 sediments.

9 My findings, the first two are obvious,
10 the Sydney Tar Ponds sediments are polluted with PCBs,
11 PAHs, some heavy metals, and an area that is not
12 addressed in the EIS but could become extremely important
13 is the unrecognized, unregulated chemicals that are
14 present out there in those sediments.

15 I will come back to that just at the end
16 of my presentation, but it's an area that tends to have
17 real significance here when you're trying to establish
18 the efficacy of SS treatment, realizing that there's a
19 lot of things that came from the sewage that went in
20 there until just about a year ago or so that are out
21 there in those sediments, and some of these, like the --
22 what I'll call PPDEs, they're out there.

23 So, we'd better understand how they behave
24 in these processes, because it could make a big
25 difference down the road as to, you know, are you really

1 effective. You might be effective on PCBs but there's
2 going to be other things there where you could -- may not
3 be effective at all which are significant hazards to
4 public health and the environment. We're just beginning
5 to understand that.

6 The Tar Ponds sediments are a wet
7 environment, and as you'll see or as you know, they've
8 talked a lot about trying to establish barrier walls of
9 HDPE to try to prevent waters from coming into the
10 sediments that are solidified, to try to capture through
11 a series of trenches and pipes all the water that
12 interacts with the sediments that could have pollutants
13 in it to capture and treat the polluted water.

14 When I looked to this issue of, well, how
15 are they going to treat -- because I have -- I taught
16 treatment, water and wastewater treatment for 30 years to
17 graduate engineers, it turns out the STPA hasn't defined
18 this.

19 And I asked, well, have they defined the
20 remediation goals? In other words, what are these?
21 Clearly not. So, I said, well, I don't know how you make
22 a judgment about this kind of a project without that
23 information. That's crucial to trying to establish a
24 good remediation project.

25 Now, there's no question the water that's

1 going to come into this system, that it will interact
2 with the sediments and transport pollutants, possibly
3 PCBs, PAHs and other chemicals, to your barriers which
4 are supposed to control release.

5 But as we're talking about -- as we talk
6 about this, we'll see that the whole barrier concept is a
7 complex water management system that's going to be a
8 nightmare to try to manage that system effectively for as
9 long as the wastes are going to be a threat.

10 STPA is proposing to use SS treatment as a
11 means to prevent further leaching of pollutants from the
12 Sydney Tar Ponds sediments that could lead to pollution
13 of the estuary. You know, as I look at this and I say,
14 well, here are my conclusions of the potential
15 effectiveness of this approach, it has significant long-
16 term technical problems that the EIS does not discuss.

17 I find the EIS very deficient in properly
18 complying with the requirements set forth for the EIS of
19 informing the decision-makers and the public about the
20 project and in particular its potential effects. Those
21 are clearly delineated in the presentation by Mr. Swain
22 of the Public Works of Canada where he talked about these
23 issues back on May 3rd, and that's a bottom-line issue
24 here that we need to consider.

25 As was discussed here, the Tar Ponds

1 sediments have a high organic content. That makes them
2 unique. I don't know of any place that has the same kind
3 of a mix of organics and the situation that you have out
4 here. So, right off you're up against a situation that
5 there is no other place that's going to be like this.

6 So, you're really into totally new grounds
7 and so you've got to do very careful evaluations ahead of
8 time to be sure that if you're going to spend \$400
9 million dollars that you fully understand what you're
10 going to get for that money and that it's going to be
11 effective for as long as the residues in the Tar Ponds
12 sediments are a threat.

13 The STPA claims that there are a number of
14 examples of successful practice of STP -- or
15 solidification/stabilization of high organic waste. Such
16 claims are not -- are without foundation, and for several
17 reasons.

18 As I've discussed in some detail,
19 unfortunately our field has gotten off in a very bad
20 direction with respect to trying to use TCLP as a proper
21 measure of whether something is leached or not at
22 sufficient concentrations to adversely affect water
23 quality.

24 That is not a valid basis for doing this.
25 The TCLP test evolved from the work that I did in the

1 '70s for the Corps of Engineers. That million dollar
2 contract involved looking at what's called there in the
3 dredging field the elutriate test.

4 The elutriate test is designed to simulate
5 hydraulic dredging of sediments, and we measured the
6 sediment release at 100 sites across the US for 30
7 parameters, including PCBs, we did major field studies
8 where we took 1,000 samples in a day associated with
9 disposal, like in New York Harbour and Seattle, in other
10 places, and saw what was actually released in the field.

11 So, this is a massive database and it's
12 served as a basis now for the USEPA and Corps of
13 Engineers' regulatory approach for open water disposal of
14 dredge sediments, and it all came out of my work.

15 The TCLP test came along, or EPTOX first,
16 the extraction procedure, toxicity test procedure, tried
17 to match the same conditions in terms of liquid/solid
18 ratio and so forth. There's no rationale for doing that.
19 The conditions that exist, the leaching of sediments, are
20 so different, and all -- we know these factors influence
21 the results.

22 And so when you say, well, we're going to,
23 you know, use a 20 to 1 ratio of solids to liquids, that
24 is fine for hydraulic dredging because that's what they
25 dredge, it's not fine for TCLP.

1 And as I'll show you, these are not just
2 my views, I've quoted a number of EPA officials on the
3 same issue, that it's not an appropriate test although
4 it's been used by EnviroTech and IT Corporation in their
5 work for the Agency on the evaluation of SS treatment of
6 the Tar Ponds sediments.

7 The water management system. And I do a
8 lot of landfill work and so I've looked at landfill
9 liners and caps now for many, many years, and where STPA
10 claims that their complex surface water, groundwater and
11 rain water flow management system will not allow waters
12 to enter the SS-treated sediment -- but if it does then
13 they have a problem because they've got an open bottom
14 where you have fractured bedrock feeding up into the
15 sediments, feeding water into part of it, and also
16 letting water out of those sediments to the fractured
17 bedrock which can then pass under the barriers out to the
18 estuary.

19 That's another issue but that whole issue
20 here is, will this system work? And when you ask, well,
21 can a liner -- and this is an example of HDPE. Now, I
22 don't know what thickness of HDPE they're going to use,
23 they didn't say as far as I could see anywhere in the
24 discussions, that's the Sydney Tar Ponds Agency.

25 This is a typical thickness that's used in

1 USA municipal solid waste landfill liners, 60 mil, or 60
2 thousandths of an inch, and basically you're going to
3 say, well, can this material or material of something
4 about the same thickness prevent water associated with
5 pollutants derived from the Tar Ponds sediments, prevent
6 transport to the estuary, through it, for as long as
7 those wastes are going to be a threat?

8 And I'm going to come back to that issue,
9 "for as long," because it's -- the STPA has grossly
10 underestimated the period of time that it's going to be a
11 problem.

12 The key issue is that STPA has failed to
13 acknowledge and prepare for the inevitable failure of the
14 HDPE. It will fail. There is no question about the fact
15 that these vertical walls made from this plastic sheeting
16 will in time fail.

17 I've cited one example of -- from a
18 Professor Rowe at Queens University in Kingston, Ontario,
19 where he investigated an HDPE lagoon and found that the
20 HDPE in that system failed in about two years to prevent
21 lagoon leachate from passing through it. And it's not a
22 chemical reaction there, this is degradation of the
23 polymer itself.

24 They can last for hundreds of years, too,
25 but there's no question about the fact that they will

1 fail at some time in the future. That's not an issue.
2 So, you've got to prepare for that.

3 Unless you can convincingly demonstrate
4 that these systems -- you know, that the waste out there
5 will not contain -- or the sediments won't contain
6 anything that would pollute during the time that these
7 liners are effective, you have to think about the
8 possibility of failure and how you're going to detect
9 failure.

10 When you have vertical sheets of this
11 plastic sheeting, as the Tar Ponds Agency proposes,
12 hanging in the -- you know, or suspended in the system,
13 around that system, you're asking, well, how are you
14 going to know when it fails?

15 You're only going to know it when there's
16 massive pollutant transport. You know, you're not going
17 to know it because you can look at it, because it's
18 buried, and this is one of the real fallacies of this
19 whole issue of can you properly detect failure.

20 With respect to the cap, Sydney Tar Ponds
21 Agency made the claim that the -- what they call GCL
22 layer, or geosynthetic clay layer, in the cap will be
23 effective to prevent moisture from entering the waste.
24 And I've quoted from some of their statements in the
25 testimony.

1 That can be true at the time that the GCL
2 layer is laid down, if it's laid down properly. However,
3 this is a very thin clay layer and it's subject to all
4 kinds of problems, and I've discussed these problems here
5 from the literature, not just my work but the work of
6 others, and particularly of concern is the interaction
7 with high calcium like you're going to have around the
8 cement.

9 The calcium interacts with the sodium in
10 the sodium bentonite, and I assume that that's what
11 they're using because that's typically used. You've got
12 the clay layer in there and calcium substitutes for
13 sodium in the clay lattice. That causes the clay to
14 shrink and crack. It's a well-known phenomenon, it's
15 been known well since the late '80s. It's being ignored,
16 largely because they don't know what to do about it.

17 You know, we have a requirement in our
18 landfill liners that we have to use a clay liner system
19 and the agencies are allowing the use of GCL, but as you
20 see from the quotes in my notes or the report, there are
21 a number of people now all saying they shouldn't be doing
22 that because it is not a stable system that can be
23 certain of preventing moisture or moisture and
24 pollutants, water, from passing through it.

25 The other thing about that GCL layer in

1 the cover is that, how do you determine when it fails?
2 Again, it's buried under several feet of -- there's a
3 topsoil layer and then there's a low-porosity -- I think
4 they describe it as 10 to the minus 6 centimeters per
5 second permeability layer on top of it, and that layer --
6 then you don't -- you can't visually inspect.

7 So, you're going to have to do this by
8 either getting larger amounts of water to pass into the
9 waste and then you see that in your collection system,
10 which means that you've got more water in there than you
11 originally projected when you said it wouldn't leak at
12 all.

13 The key component of this system, I
14 mentioned earlier, that makes this a very difficult
15 system, is the fractured bedrock system.

16 There's a very nice modelling paper by
17 King and a group of others that talks about the flow out
18 of the fractured bedrock into the Tar Ponds and flow from
19 the Tar Ponds sediments back out to the estuary.

20 This flow alone could negate all of the
21 barriers that you establish where you could have the
22 down-gradient side, you know, toward the barriers, with
23 the pollutants that are leached going out the bottom of
24 the system into the fractured rock, under the barriers
25 and then eventually surfacing in the estuary and harbour.

1 So, that's an issue that needs to be
2 considered as a potential significant failure mechanism
3 here.

4 Madam Chair asked a lot of questions about
5 walk-away, and I remember reading that transcript several
6 times and saying that, you know, what are they going to
7 say about this? Are they going to walk away from this?
8 And STPA staff said, yes, in 25 years you'll be able to
9 walk away from this system, it'll be remediated. They
10 were emphatic on that. I couldn't believe that anybody
11 would say that.

12 Well, I understand the politics of this,
13 that was set up in the MOA, and that's a thing they have
14 to be able to do. But it's not going to work. The
15 likelihood of the sediments out there being in a
16 condition in 25 years, or even 50 years, so that you
17 could say you could just walk away and only have to do
18 minor monitoring, as they have said, is -- there's no
19 possibility of that. That's just simply wrong.

20 The planning purposes -- like for a
21 landfill we have a much better liner system than anything
22 they're proposing here -- you'd better plan on an
23 infinite period of time for funding and monitoring,
24 because that's the issues you're going to have to face.

25 And if you try to go into this and say,

1 well, we've only got \$400 million and we've got to get it
2 all in in 25 years, then we can forget about it, that's
3 just the start of the problems that you're going to have.

4 The STPA claims that the 25 years -- you
5 will eliminate pollution of the estuary by the Sydney Tar
6 Ponds sediments through the SS treatment and the barrier
7 system. This is not in accord with what I feel, having
8 worked on these kinds of problems now for about 40 years.

9 The cost of the remediation could be
10 considerably higher than the \$400 million when you look
11 at the ad infinitum monitoring and the maintenance that's
12 going to have to be done and the treatment of these
13 wastes and the replacement of the liners.

14 Ultimately, I'm very concerned about the
15 fact that this SS treatment will be realized somewhere
16 down the road that it didn't achieve the goals. It was
17 cheap -- cheaper, not cheap -- cheaper than what you
18 could do otherwise, but you're going to look back and
19 say, well, we made a mistake in 2006.

20 And what we've come to is, well, we went
21 ahead, we got stuck into some political decisions about
22 the amount of money available and the time frame it all
23 has to be done, and so we got -- you know, we got some
24 remediation and that's fine, except that you may have to
25 come back and do the remediation again. And that is a

1 real concern to me as to what the ultimate outcome of all
2 of this will be.

3 Now, what about this proven technology?
4 This MOA is explicit in that STPA is supposed to select a
5 proven technology that has been successfully -- and this
6 is Swain's words -- successfully employed for projects of
7 a similar size and nature.

8 Now, that's a good requirement. There is
9 no demonstration like that anywhere, because this is a
10 different system, and you don't have the same kinds of
11 mixes of organics, and particularly the high organics is
12 of real concern here as to whether you can really make
13 this system work.

14 What we know, and what I personally know,
15 is that it's erroneous to conclude that prior use, which
16 is the basis by which STPA has said what's proven because
17 it's used everywhere -- well, I'm involved and have been
18 involved for -- you know, in Superfund site remediation
19 now, well, since the early '80s.

20 I know the political processes that
21 frequently occur, especially at industrial sites where
22 there's been a lot of SS treatment, that governs what
23 happens, and it's not necessarily the control of
24 contaminants. It's usually cheaper cost, get something
25 done, get the public off our back, and just go on and do

1 something else and then let somebody down the road worry
2 about what happens.

3 The bottom-line issue is that if anybody
4 tries to claim that TCLP is reliable, they should just go
5 back and understand how that test was developed. It was
6 developed for the purpose of classifying garbage and
7 solid waste as to whether you go to a municipal landfill
8 or a hazardous waste landfill. That has nothing to do
9 with the real world that we're concerned about here.

10 Even wastes that passed the TCLP test,
11 which are classified as municipal solid wastes for
12 hazardous waste classification purposes, still have high
13 concentrations of hazardous substances. They're not
14 classified as hazardous waste because of a definition but
15 they're still hazardous and they can be a threat to
16 health and the environment.

17 As part of my work I have reviewed the
18 literature out there on these issues. You don't have
19 these two slides in there. I just put them in last
20 night. But I've reviewed two books. ASTM, the American
21 Society for Testing Materials, has published two
22 comprehensive reviews of solidification and
23 stabilization. This is one and here's the second one.

24 My wife went through these page-by-page to
25 look at what the numerous authors -- these are papers of,

1 you know, a few pages each -- typically have said about
2 what do we know on solidification and stabilization of
3 organic wastes and the use of TCLP?

4 And in my report I have quoted -- and been
5 very careful not to quote out of context -- what various
6 authors have said about this issue. And that becomes
7 then the bottom line, is this a proven technology?

8 And in doing this I'm going to cite just a
9 few here, but the others are in my report. And this is
10 the work of Conner when he looked at this.

11 "To date there has been little or no
12 verification of these tests [and
13 these are the leaching tests] to
14 ensure that they accurately predict
15 behaviour of the tested materials in
16 field settings."

17 So, we just don't have that coupling
18 between any of these tests and what happens in the field.

19 "Even though [as it continues] SS has
20 been used for over 30 years..."

21 In that case the use was in the
22 radiological field for nuclear waste, but we have a lot
23 of experience there.

24 "... there's no direct evidence for
25 long-term material durability in the

1 field. The durability of an SS waste
2 is dependent on how well it endures
3 the long-term exposure to
4 environmental stresses. Where a
5 number of physical tests have been
6 applied to SS waste to determine the
7 durability of the material, these
8 tests are all short term and do not
9 give a full correlation to field
10 performance."

11 All right. And I've got a couple more
12 here. A paper by Means et al talks about the long-term
13 performance and talks about the fact that the TCLP is not
14 an adequate measure of long-term leaching.

15 "The monitoring data from field sites
16 are needed to detect premature
17 deterioration of solidification and
18 stabilization, and because of the
19 uncertainties [and this is a key
20 point] surrounding the long-term
21 performance, waste previously treated
22 using SS and disposed of may have to
23 be retrieved and retreated."

24 This is not just my views, this is --
25 there's a fair number of people who say we're using it,

1 it's cheaper than a lot of other things, but it is not
2 necessarily reliable.

3 Now, the key paper here with respect to
4 work on organic waste, and this is the work of the USEPA
5 staff, Wiles and Barth. I mentioned earlier that I'm on
6 the editorial board of the journal Remediation. Ed Barth
7 is also on that board, so I know him quite well.

8 Now, Ed Barth and Wiles published a paper
9 in one of these ASTM proceedings where they talked about
10 this whole issue of trying to solidify high organic
11 waste. His one quote:

12 "However, results of several studies
13 as well as the data from remediation
14 of several Superfund sites have
15 raised concerns about whether SS is a
16 valid technology for treating
17 organic-bearing waste. Furthermore,
18 studies have provided evidence that
19 tests other than the regulatory test,
20 the TCLP, will be required to
21 evaluate the effectiveness of SS,
22 especially when applied to organics."

23 These results of Wiles and Barth suggest
24 that any successful durability test or predictive model
25 will have to account for the significant chemical and

1 structural changes that take place over time in SS-
2 treated waste that influence the leaching.

3 The durability of SS waste remains
4 unclear, in part due to the relatively short time that
5 these technologies have been used, and the lack of
6 information on the sites where it's used.

7 That's a real problem with a lot of the SS
8 projects, because, yes, it's used at a lot of industrial
9 sites, but we don't have the information -- and this is
10 just not my assessment, Wiles and Barth say the same
11 thing -- we don't have the information out of those sites
12 as to what really happens over time.

13 Finally, they talk about:

14 "The evaluation of the SS process
15 design, performance and treatment
16 efficiency should be based on a
17 matrix of several testing protocols.
18 No single test, such as TCLP, can
19 provide all the information required
20 to evaluate contaminant release
21 potential, contaminant release flux
22 and physical durability. An
23 appropriate test matrix to evaluate
24 SS processes should include tests
25 that will address these issues."

1 Now, when I got involved in this about a
2 month ago when the Sierra Club contacted me and I began
3 to read what this is all about, I contacted Ed Barth and
4 said, what's the situation today? You wrote that in --
5 and these quotes are from the early '90s. Has it
6 changed? And he said emphatically, no, we have not
7 changed, we haven't developed the information now that
8 shows that SS treatment of high organic waste can be
9 effective.

10 So, although SS treatment of solid waste
11 has been widely applied, largely because it's initially
12 cheaper than removal and treatment of the waste, it is
13 not -- and I emphasize "not" -- a proven technology that
14 has been successfully demonstrated on similar wastes to
15 the Sydney Tar Ponds sediments.

16 THE CHAIRPERSON: Dr. Lee, just five more
17 minutes.

18 DR. LEE: Thank you. STPA's proposed
19 approach for SS treatment of the Tar Ponds sediments does
20 not meet -- or fails to meet the MOA requirements for a
21 remediation approach for those sediments. There is no
22 issue here about that situation.

23 Now, with respect to post-project
24 management, when you look at the MOA you say, what
25 happens in 25 years?

1 Well, Nova Scotia is going to inherit a
2 legacy of highly polluted sediments out there in the
3 harbour if you proceed with this, or in the estuary as
4 you call it, that have the potential to release
5 pollutants at sufficient concentrations to be a threat to
6 public health and the environment in the estuary.
7 There's no issue about that. It's going to be there.

8 Nova Scotia will also inherit an elaborate
9 water management system that will require detailed
10 monitoring and management to try to detect and then
11 repair as best they can the components of this system,
12 the HDPE, the GCL layers and so forth.

13 The inevitable failure of these components
14 of the water management system will require that the --
15 Nova Scotia will look at this and say, my God, what have
16 we got here? A mess. We're having to spend large
17 amounts of money. We don't know when it's going to leak,
18 and if these things start to leak, we see pollution, we
19 have to go in and dig out these liners and so forth and
20 try to repair them.

21 They're going to come to the conclusion --
22 you know, I won't be here to see it, but I'll bet you
23 they do come to the conclusion that we made a mistake in
24 2006, if we proceed with this approach, and we'll have to
25 re-remediate to stop the further pollution of the

1 estuary.

2 I want to touch just briefly in the last
3 couple of minutes on this whole issue of unrecognized
4 pollutants. This is a diagram that was developed by Dr.
5 Thornton of the US EPA who heads up a program now of
6 investigating unrecognized pollutants.

7 If you understand the water pollution
8 control programs in the US and Canada, you realize that
9 we got misled badly in the '70s with our priority
10 pollutant list. We picked out 120-something chemicals,
11 127 originally, and said these are the most important and
12 that's the only ones we really look at.

13 So, when we go analyze a waste and say,
14 well, what's out there, we say, well, we're going to look
15 at 100, maybe 200 if we really, you know -- and that's
16 that little pink area over on the left side, that's all
17 we look for.

18 We know that there are 22 million
19 chemicals in existence. We've got six million chemicals
20 in commerce in the US and Canada, six million. We're
21 analyzing for and regulate 100 or so.

22 Now, we are seeing that domestic waste
23 water, such as was dumped into the Tar Ponds here in
24 large amounts until very recently, contains a wide
25 variety of chemicals and some of the group of greatest

1 concern are what we call the PPCPs, pharmaceuticals and
2 personal care products. These are the drugs that we
3 excrete, we take and then excrete through our urine and
4 faeces, or that we throw down the toilet as a means of
5 disposal.

6 These are causing sewage plants throughout
7 the country with good treatment to have problems with
8 male fish being converted to female fish in the receiving
9 waters, these are endocrine -- there's no end to this
10 picture of the unrecognized pollutants.

11 And one of them I'll just briefly mention
12 are the PBDs, polybrominated diphenyl ethers. These are
13 fire retardants, they're used in your mattress, they're
14 used on some clothing, they're used in curtains, they're
15 used in furniture. They are now known to be widespread
16 pollutants like the PCBs, they're everywhere.

17 And what's come up recently is that in
18 Europe they've been archiving human breast milk over the
19 years where they have been, you know -- and they started
20 -- and they went back and said, PPDEs have been in human
21 breast milk now for 15 years, we didn't know it, we
22 weren't analyzing for them. They are carcinogens,
23 they're like PCBs.

24 Are they out there in the Tar Ponds? No
25 question, they are out there. They are occurring. We've

1 done a lot of work in San Francisco Bay, they're in
2 seals, they're in other organisms, they're in fish, and
3 they're starting to be banned so that they stop using
4 them, but they're still in the environment and they're
5 very persistent. And that's just one.

6 Now, alternative approach -- and I'll
7 finish -- the removal and treatment and management of the
8 Tar Ponds sediments would in the long term be more
9 technically valid and cost-effective in restoring the
10 estuary to a non-polluted or significantly less polluted
11 condition.

12 The excavation and off-site management of
13 PCB-polluted aquatic sediments has been found recently by
14 the US EPA to be the most technically valid, cost-
15 effective approach for reducing PCB pollution of the
16 Hudson River and Estuary in New York and the upper Fox
17 River in Wisconsin.

18 And with that I'll stop and I'd be happy
19 to try to answer questions.

20 --- QUESTIONED BY THE JOINT REVIEW PANEL

21 THE CHAIRPERSON: Dr. Lee, thank you very
22 much for your presentation. I will start with a couple
23 of questions.

24 I guess the first one is a little bit of
25 an obvious one. You've presented a critique of the use

1 of TCPL leachability test. You've indicated you don't
2 believe it's an appropriate test to use to determine the
3 likely success of S/S treatment, and you've quoted --
4 someone -- sorry -- yes, probably -- saying that --
5 emphasizing that and saying that what's going to be
6 needed is, I gather, a kind of suite of tests.

7 And I guess my question is does -- and
8 refers to the phrase of "an appropriate test matrix" --
9 does such a test matrix exist? Has it been developed?
10 How can solidification and stabilization projects,
11 whether it be this one or any other one, be evaluated?

12 DR. LEE: I asked Barth that question
13 because he was the one in charge of the EPA Superfund
14 site program to evaluate procedures for S/S -- you know,
15 S/S treatment -- and he said back in the '90s, EPA was in
16 the process of trying to develop a group of tests that
17 never got finished. We got switched off -- he's not in
18 this area -- he's in EPA still, but he's not in this area
19 now. It's not -- such a, you know, cookbook approach
20 doesn't exist.

21 But now let me address the question you
22 asked earlier about how do you evaluate the efficacy of
23 S/S treatment in this system. All right? That has to be
24 done in terms of controlling the flux of pollutants,
25 certainly PCBs, certainly PAHs, any metals, and PBDEs and

1 other things as we begin to understand this, so that
2 their concentrations when they leave through the barrier
3 system or through the fractured rock ground water system
4 do not lead to violations of water quality criteria for
5 these chemicals in the estuary, in the surface waters.

6 Now, you ask, "Well what is the EPA
7 criterion for PCBs?" Well, first of all, in my report, I
8 went into some detail on this. I was involved in
9 reviewing this some years ago. The 2002 number that EPA
10 has established to prevent excessive bio-accumulation of
11 PCBs in edible organisms, which is the primary thrust of
12 why we're concerned about PCBs, is four zeros -- that's
13 0.00064 micrograms per litre.

14 Now, in the Earth Tech study -- I looked
15 particularly at the Earth Tech study and said, "Well what
16 was their detection limit when they said that the PCBs
17 met the TCLP test?" Well their detection limit for the
18 analytical methods was either .25 or .05 micrograms per
19 litre. And I think that figures out to be 7,000 times
20 too high.

21 STPA does not know -- I do not know if the
22 treatment of these sediments with S/S treatment, as they
23 propose, can immobilize PCBs sufficiently so that you do
24 not have, through water transport that will be
25 surrounding the sediments and will bypass the barriers

1 either under them or through them as they fail and get
2 out of the estuary and cause a problem. We don't know
3 that. What we do know is that there's a potential for it
4 and you better consider it.

5 So the flux is the bottom line thing and
6 you need to consider that properly as to just what would
7 be the flux. And we don't have that information at this
8 time from this study.

9 THE CHAIRPERSON: And from what you're
10 saying, you're suggesting that there's no way to
11 determine it other than to put the project in place and
12 then monitor for many many years, and then presumably at
13 some point, you might be able to determine whether the
14 flux is acceptable or not.

15 Are you saying that there is no way at the
16 front end to ---

17 DR. LEE: Well, you could ---

18 THE CHAIRPERSON: --- determine whether
19 that could be achieved?

20 DR. LEE: We could do a better -- excuse
21 me, Madame Chair. We could do a much better job in
22 evaluating S/S treatment than has been done by IT Corp or
23 Envir -- Earth Tech, I'm sorry -- Earth Tech. They
24 haven't done it correctly. STPA hasn't properly
25 evaluated what you can expect to get, even in short-term

1 testing of Tar Pond sediments with respect to cement
2 solidification. We don't know.

3 That we could begin to get a handle on.
4 We could design a series of tests. But from my point --
5 and remember I mentioned I have a public health
6 background, and there's some what we call precautionary
7 principles that we -- from public health we look to all
8 the time and we ask, "Well how should you proceed?"

9 In this case, it's pretty clear. Because
10 of the known pollutants and the unrecognized, unmonitored
11 pollutants, you've got to take them out. You know,
12 people are not going to like to hear that. You've got to
13 take them out, treat the residues, and then properly
14 manage the residues in a landfill.

15 And we know how to design landfills so
16 they'll be protected. I mean, I've discussed this in
17 some detail. You don't do the cheap landfill approach
18 either. But you can do this. Get them out of here, and
19 then you will have solved this problem.

20 And that applies to the Coke Oven site
21 soils as well. The land farming isn't going to give you
22 a residue there that is not a long-term threat.

23 THE CHAIRPERSON: My second question is if
24 you can briefly give me some idea of what the U.S.
25 legislative context is, or regulatory context is with

1 respect to S/S projects, and particularly S/S projects in
2 relationship to PCBs.

3 And is there a -- I mean, is there a limit
4 on the concentrations of PCBs that can be treated by S/S?

5 DR. LEE: I know of no limits of that
6 type, and I'd be surprised -- the way we select
7 remediation approaches for particular locations, it's
8 pretty much a local decision. If EPA is involved, it
9 will be through the regional boards or the region -- you
10 know, San Francisco Region where I am, or others --
11 working with the PRPs, if there are any identified --
12 that's the principal responsible parties for the site --
13 and then coming up with an approach that is acceptable.

14 The public has to be part of this process
15 -- and this is where I come in -- but there's no national
16 standard. We see a lot of S/S treatment because it does
17 in fact provide some remediation. There's no question
18 that in many situations, the flux is less.

19 The issue that Barth has addressed and
20 what I have addressed is is the flux sufficiently low
21 over the time that the waste will be a threat after
22 treatment to be protective of the environment, or are we
23 simply going to pass that problem on to future
24 generations and have to address it at that time.

25 THE CHAIRPERSON: Thank you.

1 DR. LAPIERRE: Thank you very much, Dr.
2 Lee, for your presentation. I would like to ask you one
3 or two questions, please.

4 The first one relates to leachate and the
5 control of leachate. It's a similar question I asked
6 earlier this evening, if you were here, and it relates to
7 the monolith or the cemented area of the Tar Ponds, which
8 is going to have a very sophisticated drain system,
9 drainage from the bottom, because water is going to be
10 underneath the monolith, and it will drain through the
11 top, tie into a series of drains that would catch the
12 water coming, I would guess, from the top and from the
13 bottom, and that would be canalled through a series -- if
14 I understand correctly what's been presented to us -- to
15 the drainage canal, which is going to be built on design
16 -- all of these pipes would be capped and they would be
17 monitored prior to release.

18 Now, could you comment on the efficiency
19 of such a system to control leachate?

20 DR. LEE: Well this is very similar to the
21 kinds of things that I face routinely in reviewing
22 landfill design, because we have the same problem. We've
23 got leachate that's generated because of water
24 interacting with the waste, either hazardous waste or
25 municipal solid waste, and we have leachate collection

1 systems. All right? That's the same as what they
2 propose.

3 Now, the problem we have is the problem I
4 discussed, in that if properly constructed -- if -- and
5 that's not a small "if." If properly constructed and
6 inspected, the HDPE, the GLC systems can be effective
7 when they're new. They deteriorate over time. No
8 question about it. And so you eventually wind up then
9 with a system that's prone to failure over time.

10 And so you're going to wind up then and
11 say, "Well, can it work?" Yes. Could you set up a
12 system where, say, periodically like every 50 years or
13 every 20 years or whatever, you could go in and just
14 automatically do maintenance on these systems, so that
15 you replace the HDPE, and you know, you know, that it's
16 worked for that long, but you don't know how much longer
17 it's going to work before the free radical attack will
18 start to tear apart the polymer.

19 The system, new, can work. Over time, and
20 especially as you start to get a little bit tired of
21 watching and spending money on things that don't seem to
22 be doing anything, you start to get sloppy in your
23 monitoring and maintenance, and you're going to see then
24 failure. This is a chronic problem in all of our
25 landfill situations, and it's going to be a chronic

1 problem here.

2 Could it work? Yes. Will it work?

3 Highly doubtful.

4 DR. LAPIERRE: Okay. If it was to work,
5 it would have to be backed up by a fairly comprehensive
6 water treatment system.

7 DR. LEE: Yes. And what -- I mean, if I
8 were going to design this system -- it's like in my
9 design of landfills to try to protect -- you don't use a
10 single HDPE liner. You use a combination of liners with
11 leak protection systems between them, so that you're
12 monitoring not only the water that has passed through the
13 solidified waste that's in front of the barrier, but also
14 between the HD -- first barrier and the second barrier,
15 because if you get pollution between those two barriers
16 in a leak protection system, like we do with a double
17 composite-lined landfill, that's a clear indication that
18 your first liner has failed, and you better go to work
19 and get that prepared.

20 So it could be done, but not at the kinds
21 of costs you're talking about. You're going to have to
22 pay for it.

23 DR. LAPIERRE: My second question relates
24 to the permeability of the cap. And let's take the Coke
25 Oven sites.

1 I think you indicated in your report, if I
2 read it right, that ten to the minus six would be
3 equivalent to letting in a thousand gallons of water a
4 day.

5 DR. LEE: Per acre.

6 DR. LAPIERRE: Per acre.

7 DR. LEE: Or 933 -- what did I figure out
8 -- litres per hectare per day, yeah.

9 DR. LAPIERRE: Anyhow, I used your
10 rounded-off figure of per thousand.

11 DR. LEE: Yeah. All right.

12 DR. LAPIERRE: And the question I have is
13 -- there's two questions. First of all, does that -- in
14 order for that to happen, does it mean that the cap needs
15 to be under water, or will a continuous rain over 24
16 hours give you that type of penetration? I don't have
17 that knowledge, so I ask that.

18 And my second question is, this is an
19 area, as you've indicated, which there is no cap at the
20 bottom. So this water then would eventually have to be
21 either captured by a treat-and-pump system or eventually
22 it would filter, if I understood you correctly, in the
23 lower levels, maybe reach the fractured bedrock and move
24 out to either the harbour or some other place.

25 DR. LEE: Yes. I remember your discussion

1 of this issue with STPA staff in the transcript.

2 No question the -- as I said, the geo-
3 synthetic clay layer in the Tar Ponds -- now, in this --
4 in the Coke Oven site sediments, as I understand it --
5 and they keep changing what they're proposing, but as I
6 understand it, they're talking about a ten to the minus
7 six centimetre per second cap of one foot or so. A very
8 thin cap.

9 Well we went through that in California in
10 '84. One foot of clay at ten to the minus six
11 centimetres per second. It's the Darcy's equivalent rate
12 of flow.

13 We found, by '90, that all of the
14 landfills that they designed with that approach were
15 leaking just like they had no liner at all. And so this
16 thousand gallons per acre per day is based on the fact
17 that you have to have water on top of the cap. It can be
18 a thin film, but there has to be water there to supply
19 that rate, to get that flux.

20 So it's a potential. If you have a long
21 rainy period, you're going have it, for sure. It's going
22 to go through there.

23 And it depends on the head. You know, if
24 you know Darcy's Law, you have the -- the thickness of
25 the water depth is important in calculating that. And so

1 it might be 980 or 1,200 or something, but it's a ball
2 park figure. And that's not my figure. That's Dr. David
3 Daniel, who is at the University of Texas as an expert in
4 these matters. That's from an EPA manual.

5 So you do have then the potential. I
6 mean, a ten to the minus six permeability is very
7 permeable, I mean, relatively. And so we don't allow
8 that. It's too permeable to be an effective barrier.

9 DR. LAPIERRE: Could you effectively
10 conduct a pump-and-treat system to relieve or stop the
11 water from permeating through the polluted ground level
12 and reach the bedrock? Could you effectively put a
13 treatment -- pump-and-treatment system in?

14 DR. LEE: Yeah. Pump and treat in
15 fractured bedrock is pretty questionable if you don't
16 know the flow pattern. If this were a homogeneous sand
17 system, no question -- if it were even a clay system or
18 silt system.

19 Now, I'm not really clear as to where the
20 till layer is. It's discussed but it's not really laid
21 out very clearly to me. So could you use a pump and
22 treat in the till layer to possibly collect and to really
23 suck up stuff out of the fractured rock, which is
24 polluted now, and to capture anything coming down? Quite
25 possibly, but you'd have to look at that. That's a very

1 complex hydro-geology situation out there, and it's not
2 adequately defined. But in principle, this approach
3 would work, so long as you don't have to try to pump it
4 out of the fractured rock. You're not going to make that
5 work.

6 DR. LAPIERRE: No, no, I was talking about
7 the till layer that's going to be below these barriers
8 that are going to be in there to stop the water table
9 from effectively running over it.

10 DR. LEE: It could work there. You know,
11 it depends on the permeability that you have there in the
12 till layer. I don't think -- I haven't seen those
13 figures. It would take a significant additional hydro-
14 geological investigation out there, way beyond what's
15 been done so far, to see if that's a feasible approach
16 that might work.

17 DR. LAPIERRE: Okay. Thank you.

18 MR. CHARLES: Dr. Lee, we were referred by
19 the proponent to a site -- I think it's Columbus, Ohio --
20 where they had done a look -- an examination of a
21 remediated site some 10 years or nine years after the
22 remediation ---

23 DR. LEE: I think that's in Georgia, but
24 yes.

25 MR. CHARLES: --- in Georgia, sorry -- had

1 taken place. Do you know of any other examples where
2 there have been sort of this long-term looking back to
3 see how the system worked, how stabilization/
4 solidification worked?

5 DR. LEE: That is similar to the situation
6 you have out here, no. There could be. There's
7 certainly not very many. I haven't done a detailed
8 review of all of the sites, and as Ed Barth points out,
9 you really don't have the information from most sites as
10 to what's really happening there. And so you -- it's
11 hard to get because these are private sites.

12 MR. CHARLES: I was sort of following up
13 on that. I noticed that in Wiles and Barth, is it, they
14 conclude that:

15 "S&S has not been demonstrated to be
16 effective in preventing mobilization
17 of high organic waste components to
18 the environment."

19 And I just -- I was wondering what sort of
20 data did they have from the remediated Superfund sites
21 upon which to base that sort of conclusion.

22 DR. LEE: Yeah. As I recall, they've
23 looked at a number of sites, and laboratory studies
24 specifically.

25 MR. CHARLES: Sorry ---

1 DR. LEE: Laboratory studies.

2 MR. CHARLES: Laboratories.

3 DR. LEE: Yeah. And I think they're
4 primarily concerned with a mass balance on a
5 solidification process in the laboratory where they see
6 that the low molecular weight volatile organics are lost.
7 And that's what you would expect under these conditions.

8 MR. CHARLES: Okay. And I guess that was
9 sort of an observation on my part, being a non-scientist.
10 When I read your report and there were references to "the
11 evidence shows" and so on, I asked myself is this
12 evidence from an examination of actual sites or is it
13 evidence that's collected from laboratory experiments.

14 DR. LEE: Yeah. I do not recall any
15 actual sites. It could be done on an actual site. It's
16 difficult to do because you've got to collect that off-
17 gas.

18 In a laboratory, it's pretty easy to do,
19 by a mass balance. You look at before and after. In the
20 field, it would be difficult to do. It could be done. I
21 don't know that it's been done. But no question -- I
22 don't think there's any question that it occurs. You're
23 going to have loss of the volatiles out of this system if
24 you add cement to it.

25 MR. CHARLES: So I understand that, you

1 know, scientists work with theories and they can
2 hypothesize about what should happen or may happen, but
3 there's a difference between that and actually seeing
4 what happens. Scientists aren't always right, just like
5 lawyers aren't always right. But put that to one side.

6 I guess I was -- you've given sort of a
7 suggestion that there's not enough evidence to suggest
8 that S&S in the long term is going to be effective, but
9 have you got any evidence to suggest that it isn't
10 effective?

11 DR. LEE: Well, it's kind of like having
12 spent 40 years looking at this kind of thing and having a
13 very strong chemistry background, coupled with
14 engineering, and I look at this and I said, "If I were
15 responsible for this, I would not proceed that way. It's
16 my own intuition. Don't do it."

17 MR. CHARLES: Based on experience, though,
18 and a lot of knowledge ---

19 DR. LEE: Based on experience, right.

20 MR. CHARLES: The final question. You
21 reference this -- the failure of the liner by the Queen's
22 researcher, who -- and I think you said it was only two
23 and three years old. Would that be considered sort of an
24 exceptional occurrence?

25 DR. LEE: Yeah. I was ---

1 MR. CHARLES: I mean, liners last longer
2 than that, don't they, normally?

3 DR. LEE: I'm sorry I interrupted. I know
4 Dr. Rowe's (sp) work. I was involved in Ontario for a
5 number of years on where do you put Toronto garbage. Do
6 you take it up to Kirkland Lake or not? And I'm
7 responsible for now Toronto hauling it to Michigan
8 unfortunately. But basically ---

9 MR. CHARLES: I have relatives in
10 Michigan.

11 DR. LEE: Yeah, well they don't want it
12 either. But I'm also working with the Sierra Club to try
13 to stop Toronto garbage from coming into Michigan.
14 That's another issue, but ---

15 Basically Dr. Rowe has -- and I was
16 surprised at his findings when I came across that paper.
17 And I know him to be a reputable person. I said, yeah,
18 this is failure in a couple years.

19 Now, that's conceivable, but that's
20 unusual that in -- you know, and they looked at something
21 -- I think it was 10 to 15 years or so -- that you would
22 have that kind of failure.

23 But when you're getting near the surface
24 -- and that's one of the issues of concern out here.
25 See, in a landfill liner where you're buried down under

1 the waste -- and so you have a different kind of an
2 environment that you're going to have out here -- that
3 kind of a system is much more stable. It still
4 deteriorates, but in the surface here, or near surface.

5 And the problem is what we call free
6 radical attack. There are types of chemicals that
7 interact with this polymer, you know, high-density
8 polyethylene. It breaks this chain. These are well-
9 established processes and they cause the polymer then to
10 disintegrate and it loses its properties with respect to
11 preventing the passage of water through it.

12 So they talk about, "Well, they might last
13 for a couple hundred years." There's one speculation
14 based on limited laboratory studies that these things
15 will last for a couple hundred years.

16 Others, there's a series -- and I quote
17 this in -- I have what I called a flawed technology
18 review that I've cited repeatedly in my comments. That
19 review cites the literature. And there's several English
20 studies on "What do you expect out of this stuff as a
21 liner in a landfill?" And they say, "We don't really
22 know. All we know for sure is that this HDPE will
23 disintegrate while the wastes are still a treat in a dry
24 tube type environment." That's for sure.

25 MR. CHARLES: Thank you, Dr. Lee.

1 THE CHAIRPERSON: Turning now to the Tar
2 Ponds Agency, Mr. Potter, would you like to ask some
3 questions? Ten minutes.

4 MR. POTTER: Thank you, Madam Chair. I'll
5 ask Mr. Kenyon to provide a few questions.

6 --- QUESTIONED BY SYDNEY TAR PONDS AGENCY (MR. JONATHAN
7 KENYON)

8 MR. KENYON: Thank you, Madam Chair.

9 Now, I've had the opportunity to review
10 some of Dr. Lee's report and his findings. I understand,
11 from reading through his report, that he has extensive
12 experience in dealing with landfills.

13 I'm wondering if he could please outline
14 his practical and field experience with solidification
15 and stabilization projects.

16 DR. LEE: Madam Chair, my primary
17 experience there was in the 80s with what's called the
18 Chemfix process.

19 Chemfix was a company out of Louisiana
20 that attempted to commercialize using cement, pouring
21 cement to interact with sewage sludge, and then to use
22 this friable material, probably not too different than
23 your shovelable tar pond sediment stuff here that you may
24 get, to use that as a landfill cover for daily waste, and
25 so forth, as a means of disposal of sludge.

1 In that system, we found -- and I was
2 involved with the company looking at that as part of a
3 university project -- it did not immobilize a lot of the
4 key constituents that were of concern with respect to
5 leaching from the sewage sludge.

6 MR. KENYON: I understand from listening
7 to Dr. Lee's statements this evening, that the theory
8 that stabilization and solidification isn't going to work
9 for organics really comes from the Wiles and Barth
10 articles or textbook, is that correct?

11 DR. LEE: Yeah, these are research
12 publications. And it's not just that.

13 My own chemistry background talks about
14 the issue that -- and other quotes that I have in my
15 report talk about the fact that while, for metals, they
16 can interact with cement, you know, with the structure of
17 cement and get locked in, there is no locking in with
18 respect to organics. They don't fit into that matrix.
19 And so you wind up, then, with something that's kind of
20 loosely absorbed there, and it certainly can be leached.

21 So you have to be careful about that.
22 It's not a chemical process that's well defined at all,
23 as I cited in several of my quotes.

24 MR. KENYON: I believe, Madam Chair, that
25 the other authority that Dr. Lee cited this evening, with

1 respect to stabilization and solidification, was Jesse
2 Connor and Jesse Connor's textbook.

3 I wonder if Dr. Lee had the opportunity to
4 review -- I know Mr. Connor was unable to provide his
5 presentation himself as a result of illness last week,
6 but it was provided, on his behalf, by Wayne Adaska, and
7 it also did provide many sites where solidification and
8 stabilization has been used, including organics.

9 I wonder if you had the opportunity to
10 review that presentation.

11 DR. LEE: Yes, I did read the transcript
12 of that presentation, and I also was sent the PowerPoint
13 slides that they used.

14 So I had a deep -- you know, I was
15 particularly concerned about the Portland Cement and the
16 Canada Cement Association's presentation as to what they
17 would say, and I came away from that saying they didn't
18 convince me, and I'm sure not very many others who
19 understand the processes, that this has been demonstrated
20 as a process that works for high organic waste.

21 Ed Barth comments on this, you know --
22 Connor's stuff was right around 1990, Barth's statement
23 is "It hasn't changed." We still don't know, and there's
24 lots of reasons to question whether it should be used.

25 MR. KENYON: I wonder if Dr. Lee could

1 just clarify. My understanding from his statements was
2 that Ed Barth's theory was based on laboratory results,
3 and my understanding from Mr. Connor's presentation was
4 that that was based on solidification and stabilization
5 actual field experience up to 2006. Is that correct?

6 DR. LEE: I looked at the comments made by
7 the Cement Association representatives in their
8 testimony, and in their PowerPoint slides, and I said,
9 well how did they evaluate the effectiveness, was TCLP.

10 Clearly, the Florida site that they talked
11 about, TCLP was used. TCLP is not a reliable procedure
12 for making this evaluation. You could fail, or you could
13 pass the TCLP test for -- now, TCLP has no limit on PCBs
14 but it does have on a number of PAHs -- you could pass it
15 and still cause significant pollution because it's a
16 contrived test. It's actually a political test if you
17 understand the origin, where EPA wanted to limit the size
18 of the Superfund -- the hazardous waste stream in the US
19 so that they didn't have to treat everything for
20 hazardous waste and they put a lot of it in municipal
21 waste landfills.

22 So they were using -- I looked
23 specifically for that, did they do a proper evaluation.
24 No. They used TCLP and that's not a reliable procedure
25 for evaluating how well it works.

1 MR. KENYON: I wonder if Dr. Lee could
2 comment on the current situation. I wonder if he agrees
3 that right now there are no caps, no walls, no liners,
4 and yet we're not seeing the massive pollutant transport
5 that he predicts would occur if the stabilization and
6 solidification failed.

7 DR. LEE: Well, you misquoted me with
8 respect to distorting my statements on massive pollutant
9 transport.

10 My statements were explicit saying that
11 this approach could lead to continued pollution of the
12 estuary with PCBs that would continue to have lobster and
13 other shellfish out there, you know, unedible.

14 Now, I am familiar with the testimony that
15 was presented here by Fisheries and Oceans, where they
16 talk about since the coke oven and steel mill have shut
17 down the flux out there has decreased, and we do have,
18 then, decreasing concentrations in the sediments, and,
19 apparently, in the edible organisms.

20 What I'm concerned about is, yes, that
21 will occur over time, and there's no question if you can
22 immobilize, truly immobilize what's coming out of the Tar
23 Ponds sediments. So if they don't continue to be a
24 source, then there will be cleanup, no question, in time.
25 It may be a very long time, but it will come.

1 But I am concerned about the fact that you
2 may have a continuous flux, low-level flux, which is just
3 enough -- because remember, you're dealing with 4064
4 micrograms per litre of PCBs. If they get out there,
5 that's enough to cause you problems, and so that's the
6 issue of concern to me.

7 MR. KENYON: Madam Chair, Dr. Lee, in his
8 written remarks, stated that:

9 "Volume 7 of the Environmental Impact
10 Statement failed to evaluate the
11 potential for persistent organic
12 chemicals, such as PCBs, to bio-
13 accumulate through the food web to
14 excessive concentrations in edible
15 organisms of the area."

16 I'd like to know whether Dr. Lee is aware
17 that the Health Canada guideline value for the protection
18 of humans consuming fish products is 2 mgs per kg, and
19 that JDAC in 2002 measured concentrations of PCBs in fish
20 and crabs living in the Tar Ponds, and the values ranged
21 -- the values that were found were below the Health
22 Canada guidelines for fish consumption.

23 DR. LEE: I was not aware of the Canadian
24 values. I do know the US values fairly well, and they're
25 very close to what you have said here with respect to

1 tissue concentrations.

2 The issue is what's in the estuary. The
3 estuary is now, and the harbour is now, polluted. The
4 organisms are not safe to eat, they're closed to the
5 fisheries. And so could this be a continued source that
6 maintain the low level out there, not up here in the tar
7 pond sediments, that's such an artificial -- out there,
8 where you're really concerned about protecting the
9 aquatic life and people who eat the aquatic life.

10 MR. KENYON: Why would Dr. Lee imagine
11 that there would be an effect on the harbour if there's
12 no effect on the tar ponds at present?

13 DR. LEE: Well, you have a different
14 ecosystem. The situation is that you have the
15 accumulation of materials, say in lobster or so, through
16 a food web. You don't have that same food web out here
17 in the tar ponds.

18 I went down and looked at those today.
19 That's a really -- if there's any food web out there at
20 all, it's pretty meagre. You may have some organisms but
21 it's a totally different system in terms of bio-
22 accumulation potential.

23 In the estuary, you know, as you get out
24 to the marine part, and then in the harbour, it's
25 different, and that affects how you bio-accumulate.

1 MR. KENYON: Madam Chair, in Dr. Lee's
2 written submissions, he remarks on page 22 -- I won't
3 take you to -- you don't need to turn to the reference, I
4 will read it for you, if you prefer:

5 "The most significant error made by
6 the Sydney Tar Ponds Agency in their
7 EIS evaluation of chemical impacts is
8 their use of the co-occurrence
9 (coincidence approach) for assessing
10 the potential impacts of contaminants
11 associated with aquatic sediments."

12 Is Dr. Lee aware that this approach, which
13 is derived by Long et al, is the basis of the CCME
14 Sediment Quality Guidelines, and that these guidelines
15 were used by the Sydney Tar Ponds Agency in the EIS?

16 DR. LEE: Yes, unfortunately -- Madam
17 Chair, unfortunately they were used. They are not
18 reliable. This is an issue that I have addressed now for
19 30 years with respect to how do you relate total
20 concentrations of chemicals, which the co-occurrence or
21 what we properly call coincidence approach of Long and
22 Morgan and MacDonald is based.

23 There is no relationship. In my core of
24 engineers' work in the 70s, we looked at this issue, can
25 you use total concentrations of a contaminant to predict

1 toxicity. We also measured toxicity in sediments. No.

2 Now, I am heavily involved, as I said, in
3 the State of California current \$2.5 million effort to
4 develop sediment quality guidelines, or objectives as we
5 call them, in this State, to determine when a sediment is
6 polluted, and the guidelines are explicit. You can't use
7 co-occurrence.

8 Unfortunately, MacDonald got into the
9 Environment Agency and convinced them that you guys
10 should use it. There are many Canadians who say you made
11 a serious error, and I hope you abandon it because it's
12 wrong, flat out wrong.

13 MR. KENYON: So Madam Chair, just so that
14 I'm straight on that, is it the position of the Sierra
15 Club of Canada that the CCME Sediment Quality Guidelines
16 are not valid?

17 DR. LEE: In this case -- I'm sorry, Madam
18 Chair -- I am not speaking for Sierra Club, but I hope
19 that they would review the extensive publications. I
20 cited the work or the conference that was organized by
21 the CCIW, in Burlington, Chair, on the unreliability of
22 this approach in my report.

23 There's paper after paper discussing this,
24 it's well known that this is not a reliable approach.
25 You need to use what we call a triad approach where you

1 use a combination of sediment toxicity and organism
2 assemblage alteration, coupled with an examination of
3 what is the cause of toxicity or altered organism, bent
4 the organism assemblages.

5 This is the approach that California,
6 after spending now a couple of years and \$2.5 million has
7 come to. This is the approach that many of the experts
8 in the field agree is the approach that you should use to
9 regulate contaminated sediment, not the Long and Morgan
10 or MacDonald approach.

11 THE CHAIRPERSON: Thank you. Mr. Kenyon,
12 that is, I'm afraid -- do you want one more question?

13 MR. KENYON: One follow-up on the ---

14 MS. MAY: Does Mr. Kenyon want me to
15 answer on behalf of Sierra Club of Canada, or are we past
16 that point?

17 MR. KENYON: Well, I'd like to ask my
18 follow-up question, so as long as Ms. May is not going to
19 lose my time, I'd like her to answer that question.

20 MS. MAY: The CCME guidelines are the
21 ultimate political compromise in setting regulatory
22 standards and negotiating lowest common denominator
23 standards among all the jurisdictions in Canada.

24 The fact that they are too high for the
25 Sydney Tar Ponds Agency is a continuing concern for us,

1 but we support Dr. Lee in his comments.

2 MR. KENYON: My follow-up question, Madam
3 Chair, if I might.

4 Is Dr. Lee aware that JDAC used the triad
5 approach in 2002 and arrived at site-specific values that
6 were considerably higher than the CCME guidelines?

7 DR. LEE: I am not aware of the JDAC
8 effort in this regard. I would be interested to see how
9 that was carried out, and whether it was properly done
10 with respect to incorporating chemical information into
11 the triad. That's a key issue that is not often done
12 correctly.

13 MR. KENYON: Thank you, Madam Chair. I
14 understand Mr. Shosky has two clarifications. I don't
15 know if we have -- I understand we're running late on
16 time, but ---

17 THE CHAIRPERSON: Mr. Shosky.

18 MR. SHOSKY: They're very short, thank
19 you.

20 The first one was a question that was
21 asked by you, Madam Chair. It was concerning flexibility
22 of looking at alternative designs for PCB treatment and
23 disposal, and I'll point you back to the project we
24 talked about a few nights ago in Alaska where we
25 negotiated with Region 10 a final solution for that

1 particular problem.

2 Originally, they had a solvent extraction
3 process which we negotiated out of the ROD agreement
4 because of the fact that it was still experimental
5 technology.

6 We also used the cap and containment
7 system that relied heavily on stabilization because of
8 international transport laws of PCBs out of Alaska. And
9 finally that area was capped and reused as a temporary
10 storage parking.

11 The second clarification goes to Dr.
12 LaPierre, mostly because it really hasn't been discussed
13 in a lot of detail, but to give him some comfort.

14 The water treatment system that we're
15 looking at, while it's not totally finalized yet,
16 includes equalization tanks to separate suspended solids,
17 an oil/water separator for floating oils, some biological
18 treatment to remove organics, and clarification for the
19 biosolids. And, in addition to that, we would be looking
20 at running the water through a series of filtrations with
21 filters, microbags and activated carbon prior to
22 discharge.

23 But, at this point, it is an end to the
24 pipe option, and it's intended to be able to meet the
25 criteria that we set forth in the EIS for discharge.

1 Thank you.

2 DR. LEE: If I might comment, there are no
3 criteria for discharge in the EIS. I looked
4 specifically. You're going to meet some criteria that
5 are yet to be defined.

6 THE CHAIRPERSON: I'd now like to move to
7 providing an opportunity for other people to ask
8 questions, bearing in mind we are running late, I'm sure
9 you'd like to go home, but can I just ask among the
10 registered participants who has a question for Dr. Lee.
11 Ms. Ouellette, Ms. MacLellan, Mr. McMullin.

12 THE CHAIRPERSON: Ms. Ouellette, could we
13 make this more or less one question each?

14 MS. OUELLETTE: It's only going to be one
15 question.

16 --- QUESTIONED BY MS. DEBBIE OUELLETTE:

17 MS. OUELLETTE: Hi Fred, this is Debbie
18 Ouellette. I just wanted to ask you, I don't know if you
19 have any background on the Coke Ovens Site, but in
20 pictures they use like a plastic barrier, and what
21 they're doing is they're digging out the soil, and
22 putting down this plastic barrier, and then filling it in
23 with rock and new soil, but they're only doing like some
24 of the site, but most of the site, as I can remember, I
25 think there was 200,000 gallons of benzene poured on the

1 site, just like thrown on the site.

2 Will that affect the barrier that they're
3 working on now?

4 DR. LEE: First -- thank you, Madam Chair
5 -- Debbie, I want to thank you for the 50-plus pictures
6 you sent me, so I've got a tremendous wealth of
7 background before I even got here because of your
8 pictures, including the drains.

9 Yes, you have to be concerned about that
10 system. First, in the deterioration of HTPE that's going
11 to be in there lining the system underneath the rock,
12 second, as I discussed in my report, when you're talking
13 about benzene and low moleculatate organics, we have
14 another process that can lead to transport through the
15 safety PE, it's called permeation, and it's been well
16 known since the 80s. I've discussed it in my reports,
17 and it's not just my stuff, there's plenty of literature
18 on this, where benzene/low moleculatate can pass through
19 this without holes.

20 It's a chemical process where you dissolve
21 into the matrix and out the other side within hours.
22 It's a very, very rapid process. And so when you're
23 dealing with low moleculatate organics, you'd better be
24 careful because they can go right through this.

25 MS. OUELLETTE: So actually, they're doing

1 the work for nothing basically, because that's what
2 they're doing, they're taking out the contaminated soil,
3 replacing it with rock and new plastic barrier, and here,
4 the rest of the site is full of benzene. So they're
5 doing your work for nothing is what I can see.

6 Thank you very much.

7 THE CHAIRPERSON: Ms. MacLellan.

8 --- QUESTIONED BY CAPE BRETON SAVE OUR HEALTH COMMITTEE

9 (MS. MARY-RUTH MACLELLAN)

10 MS. MacLELLAN: With your permission,
11 Madam Chair, I actually have two questions.

12 THE CHAIRPERSON: If they can be fairly
13 brief, yeah.

14 MS. MacLELLAN: My concern first is with
15 the effect of salt water on the barrier, and also salt
16 water on the clay soil. We get very high winds here, and
17 salt water carries in the wind. It doesn't matter how
18 far you're going to put the clay soil, in the appropriate
19 area you're going to get the salt water on the soil. How
20 will that affect it?

21 DR. LEE: Yeah, Dr. LaPierre asked that
22 question earlier, and I've looked at that. I'm not an
23 expert in that area and, of course, the Cement
24 Association has talked about "Well, the problem with salt
25 water is it's a corrosion of the steel."

1 I'm not sure that's the only problem,
2 because I have looked, and I've got a number of papers, I
3 didn't put them into my notes, but they talk about the
4 fact if you have cement-based systems around salt water,
5 you'd better use a special coating on that to prevent the
6 salt interactions.

7 There is a potential for interaction that
8 you've got to be concerned about, and I don't know in
9 this system, but it's one of concern.

10 MS. MacLELLAN: Well, I'll leave it at
11 that, but the other question is regarding public health,
12 and I think you said you had some experience in public
13 health.

14 DR. LEE: Yes, I have a Bachelors and a
15 minor Ph.D, yes.

16 MS. MacLELLAN: In view of the fact that
17 there's all kinds of toxic soups in the Tar Ponds from
18 the mixed chemicals and the synergistic effects, what
19 would you do with the people before any work or any
20 project started?

21 DR. LEE: I have been writing out, on the
22 plane, on my 13-hour trip here the other day, as to what
23 I would do if I were given the responsibility.

24 Now, I didn't put it in my notes. In
25 fact, it hasn't been completed yet, but clearly you're

1 going to have to -- any excavation, movement of those
2 sediments, as Debbie has discussed, has to be done under
3 a dome -- has to be -- where the air is collected and
4 treated to control releases, because there's going to be
5 releases, if nothing else, odours. And odours can be a
6 significant health risk, it's not just a nuisance.

7 I cite extensive work by physicians on
8 odour impacts on people's health. So you've got to
9 control it so that the people -- first of all, you get
10 them away from this area, and that has to be a pretty
11 long distance. I don't think 300 meters is going to do
12 it ---

13 MS. MacLELLAN: I don't either.

14 DR. LEE: --- in terms of spreading
15 materials without a cover over the areas that you're
16 working.

17 You set a cover in there, and you make
18 them operate it properly, and you've got to have -- in
19 these systems, you've got to have independent third party
20 monitoring. You can't rely on the agencies or industry,
21 or anybody else, who's got a mission to accomplish a
22 project within a certain time in a certain budget.

23 You've got to get independent review or it
24 won't work. I've just seen too many failures in that
25 respect.

1 MS. MacLELLAN: Thank you, Madam Chair.

2 THE CHAIRPERSON: Thank you, Ms.

3 MacLellan. Mr. McMullin.

4 --- QUESTIONED BY MR. DAN MCMULLIN:

5 MR. McMULLIN: Good evening. Dr. Lee,
6 thank you very much.

7 One question of clarification. Over the
8 past two years there's been considerable time and
9 considerable money spent to characterize our site as
10 being one "like many others." In fact, there have been
11 trips made to many areas of Canada and the States to
12 characterize our site, once again, as being "like many
13 others."

14 During your presentation, you mentioned
15 that the high organic content makes this site rather
16 unique, and perhaps a new ground is being set or should
17 be set with this study.

18 Can you clarify that, please, are there
19 other sites that come close to this site for the organic
20 content matter here?

21 DR. LEE: Madam Chair, the issue is not
22 high organic content, per se, you know, and you can
23 characterize it just like TOC, it's the organic matrix
24 that you're dealing with, the tar, the globules, the
25 coke, the coal, all of these issues that were discussed

1 in the previous presentation here, are all part of making
2 the site unique.

3 You can't really say that because you
4 remediated some town gas site, and I worked on town gas
5 sites where -- you know, they were discussing here
6 earlier where you have a high organic waste matrix, with
7 some of the same kinds of things. Although it's quite
8 different in some respects, you do -- you have to look at
9 these individually and see if, in fact, there are
10 comparable situations, and there is not.

11 MR. McMULLIN: Is the presence of human
12 waste, as in sewage, a factor in any other sites that
13 you're aware of in the matrix?

14 DR. LEE: No, not like this. No. I mean,
15 I'm trying to think, the only other place I see something
16 like this, even though it's not really the same, there
17 was a PCB situation in New Bedford Harbour in the States,
18 where they did some solidification, but they also
19 isolated that material in a much more effective way than
20 we're talking about here.

21 I don't think there's any sewage -- no,
22 I'm sure that the sewage sludge issue is -- I mean, this
23 is really unusual where, in the 2000s, you've still got
24 raw sewage going into open waters like this, you know, as
25 you did till a year ago. So that sludge is out there,

1 and that's a real concern.

2 MR. McMULLIN: Thank you very much.

3 THE CHAIRPERSON: Thank you, Mr. McMullin.

4 Is there anybody else who has a question
5 before we close the session? Yes, Mr. Ells.

6 --- QUESTIONED BY MR. CAMERON ELLS:

7 MR. ELLS: Thank you, Madam Chair.

8 Ultimately, Dr. Lee, would -- or Madam
9 Chair, would Dr. Lee agree that ultimately success or
10 failure in what happens at that Tar Ponds Site, if an S/S
11 type approach were happening, would be based on the flux,
12 or the rate that the mass of the compounds of concern,
13 are ultimately transferred into the receiving aquatic
14 habitat?

15 DR. LEE: That is the issue of concern,
16 will the flux, as I described, after development of this
17 approach, and especially after 25 years, be sufficient to
18 continue to pollute, and by "pollute", impair beneficial
19 uses. That term has very specific meaning, not just that
20 there's some out there, but that there is a continued
21 excessive bio-accumulation in the edible organisms,
22 that's the issue.

23 MR. ELLS: And would it be fair to say
24 that the variables that influence that flux or mass rate
25 are going to be a combination of the hydraulic

1 conductivity, the permeability of the material itself,
2 the leachability of the different compounds of concern,
3 that there's a group of different variables that all
4 influence ultimately that flux rate?

5 DR. LEE: Correct.

6 MR. ELLS: Thank you.

7 THE CHAIRPERSON: Thank you, Mr. Ells.

8 If there's nobody else ---

9 MR. POTTER: Madam Chair ---

10 THE CHAIRPERSON: However -- yes, a point
11 of clarification, Mr. Potter?

12 MR. POTTER: Yes, just very quickly. Dr.
13 Ells referenced the New Bedford, Massachusetts site --
14 Dr. Lee, sorry.

15 One benefit of going to these sites and
16 looking is that you do first-hand get to see how they do
17 the remediation there.

18 They did do solidification using steel
19 sheet piling with armor stone in front of the sheet
20 piling with a cap on top, that would be very similar to
21 what we're talking about for our site.

22 THE CHAIRPERSON: Thank you, Mr. Potter.

23 DR. LEE: But the system is quite
24 different with respect to organic content than out here.

25 THE CHAIRPERSON: Dr. Lee, thank you very

1 much for your presentation, and thank you for answering
2 questions.

3 To everybody else, thank you for sticking
4 it out an extra hour this evening, that's a long session.
5 We really appreciate your attendance and attention.

6 So tomorrow we resume at 1 o'clock with
7 questions to the Sydney Tar Ponds Agency, and then,
8 following that, in the evening, we have two
9 presentations.

10 So thank you again, and we'll resume
11 tomorrow at 1 o'clock.

12

13 (ADJOURNED TO TUESDAY, MAY 16, 2006 AT 1:00 P.M.)

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF COURT REPORTERS

We, Lorrie Boylen, Ruth Bigio, Janine Seymour and Gwen Smith-Dockrill, Court Reporters, hereby certify that we have transcribed the foregoing and that it is a true and accurate transcript of the evidence given in this Public Hearing, SYDNEY TAR PONDS AND COKE OVENS SITES REMEDIATION PROJECT, taken by way of digital recording pursuant to Section 15 of the Court Reporters Act.

Lorrie Boylen, CCR
Janine Seymour, CCR
Ruth Bigio, CCR
Gwen Smith-Dockrill, CCR

Monday, May 15, 2006 at Halifax, Nova Scotia