

PUBLIC HEARING
SYDNEY TAR PONDS AND COKE OVENS SITES
REMEDIATION PROJECT
JOINT REVIEW PANEL

V O L U M E 16

HELD BEFORE: Ms. Lesley Griffiths, MCIP (Chair)
Mr. William H.R. Charles, QC (Member)
Dr. Louis LaPierre, Ph.D (Member)

PLACE HEARD: Sydney, Nova Scotia

DATE HEARD: Tuesday, May 16, 2006

PRESENTERS: TD Enviro Inc.
Mr. Jim Kramer
Mr. Tony Rojek

Ms. Marlene Kane

APPEARANCE: Sydney Tar Ponds Agency:
Mr. Frank Potter
Mr. Donald Shosky
Mr. Greg Gillis (AMEC)
Dr. Malcolm Stephenson

Recorded by:
Drake Recording Services Limited
1592 Oxford Street
Halifax, NS B3H 3Z4
Per: Mark Aurini, Commissioner of Oaths

I N D E X O F P R O C E E D I N G S

PAGE NO.

THE CHAIRPERSON - OPENING REMARKS 2811

TD ENVIRO INC.

 MR. JIM KRAMER - PRESENTATION 2952
 MR. TONY ROJEK - PRESENTATION 2955
 MR. JIM KRAMER - PRESENTATION 2959

MS. MARLENE KANE - PRESENTATION 3023

QUESTIONING

SYDNEY TAR POND AGENCY - MR. FRANK
POTTER, MR. DONALD SHOSKY, MR. GREG
GILLIS AND DR. MALCOLM STEPHENSON

 Questioned by Joint Review Panel 2813
 Questioned by Joint Review Panel 2880
 Questioned by Elizabeth May (SCC) 2888
 Questioned by Les Ignasiak 2903
 Questioned by Mary-Ruth MacLellan (CBSOH) 2913
 Questioned by Eric Brophy 2922
 Questioned by Cameron Ells 2923
 Questioned by Henry Lelandais 2924
 Questioned by Dan McMullin 2929
 Questioned by Ron Marman (GLRR) 2937
 Questioned by Debbie Ouellette 2945

TD ENVIRO INC.

 Questioned by Joint Review Panel 2976
 Questioned by Jonathan Kenyon (STPA) 3002
 Questioned by Mary-Ruth MacLellan (CBSOH) 3011
 Questioned by Elizabeth May (SCC) 3013
 Questioned by Cameron Ells 3015
 Questioned by Dan McMullin 3018
 Questioned by Douglas MacKinlay 3020

MS. MARLENE KANE

 Questioned by Joint Review Panel 3060
 Questioned by Debbie Ouellette 3069
 Questioned by Mary-Ruth MacLellan (CBSOH) 3070
 Questioned by Cameron Ells 3073
 Questioned by Donnie DeLeskie 3075
 Questioned by Joanne Citrigno 3077

1 --- Upon commencing at 1:02 p.m.

2 THE CHAIRPERSON: Good afternoon, ladies
3 and gentlemen. We will begin the afternoon session
4 today.

5 We will begin with housekeeping matters.
6 After that, the -- what we are doing this afternoon is --
7 the Panel will be asking questions of the Sydney Tar
8 Ponds Agency, and we have booked the time from 1:00 till
9 4:00 to do that. However, within that time, at the end
10 -- we had earlier in the proceedings received two formal
11 requests from Sierra Club and also from Dr. Ignasiak for
12 additional time to place questions to the Agency.

13 So, we are responding to that, and we will
14 provide time for both of those parties to ask questions.
15 However, we will not be having a general participant
16 questioning time this afternoon.

17 We will then take a break, and this
18 evening we have two presentations by TDE and by Ms.
19 Marlene Kane.

20 Before we begin with the Panel questions,
21 I would like to see if we have any undertakings to be
22 placed.

23 So, Mr. Potter?

24 MR. POTTER: Thank you, Madam Chair. We
25 have three that we'll hand in today. No. 23 is

1 information on costing and destroying all of the
2 sediments in the Tar Ponds with a cost estimating table,
3 and I'll mention that we've tried to keep the table
4 similar to -- I think it was Undertaking No. 9, where
5 we've identified costs before, just so it's clear how the
6 components all fit together.

7 Undertaking No. 53 and No. 54 are both
8 hand-ins, and they are providing information on the
9 remediation process and criteria and results from May
10 11th, and also on May 11th, No. 54 was the height of the
11 sea wall. So, we'll be handing those in. Thank you.

12 THE CHAIRPERSON: Thank you, Mr. Potter.

13 Does anybody else have an undertaking that
14 they wish to put on the record?

15 We will -- then we are going to -- no?

16 MS. MACLELLAN: Just a point of
17 clarification, if I may, Madam Chair?

18 The other day when I asked how much time
19 we would each be allowed to ask questions of the Tar
20 Ponds Agency, I understood that we could all ask
21 questions, and I would like some time to ask the Tar
22 Ponds Agency some questions, please.

23 THE CHAIRPERSON: Ms. MacLellan, we'll
24 take that under advisement and get back to you at the
25 break.

1 THE SYDNEY TAR PONDS AGENCY:

2 --- QUESTIONED BY THE JOINT REVIEW PANEL

3 THE CHAIRPERSON: Mr. Potter, we have been
4 -- the Panel has been under the impression, because you
5 told us so, that the -- you provided us with information
6 as to what you consider to be obviously the project --
7 what you consider to be the alternatives to the project,
8 and also the alternative means of carrying out the
9 project, as it was -- it was mentioned yesterday by one
10 of the questioners.

11 There have been a number of references
12 during the hearings to things that your design team has
13 been investigating, and particularly with reference to
14 the tar cell, which obviously leads us to wonder whether
15 you have any additional approaches that you are now
16 considering to be alternative means of carrying out the
17 project.

18 So, yesterday you indicated that there
19 might be something you might want to provide us with some
20 further information about, and very specifically for the
21 record, I believe what I asked was that -- you had
22 indicated that -- removing incineration from the project,
23 and having total encapsulation of the Tar Ponds
24 sediments, and presumably some other method of dealing
25 with the materials on the Coke Oven Site that were

1 scheduled to go to the incinerator, but originally you'd
2 informed us that this could not be considered an
3 alternative means of carrying out the project, because it
4 would not meet -- strictly meet the terms of the
5 Memorandum of Agreement, which lays out parcel removal
6 and destruction incineration -- parcel removal and
7 destruction and parcel encapsulation.

8 So, would you like to clarify where we are
9 today?

10 MR. POTTER: Certainly. Thank you, Madam
11 Chair. I'll try to walk through this.

12 What we indicated in the EIS Report --
13 I'll refer to Section 2.13.2 -- refers to the alternative
14 that we identified as an alternative means of being
15 assessed. That alternative, as you indicate, is the non-
16 incineration alternative, where we would solidify the PCB
17 material in the Tar Ponds, as well would have to deal
18 with the two components on the Coke Ovens Site, the tar
19 cell and Coke Oven Brook.

20 If we go back to -- I think it's May 3rd
21 when Public Works and Government Services appeared as a
22 presenter, they likewise spoke to the fact that the --
23 you know, the EIS did identify an alternative and that
24 the MOA had accommodated that -- had a process in place
25 to accommodate the alternative means.

1 -- I won't read this in its entirety, but it indicates:

2 "The parties shall enter into an
3 agreement describing in detail the
4 specific elements of the project over
5 a 10 years period...

6 And I'll skip a little bit here. But then
7 it says:

8 "...which shall not exceed the scope
9 of the work described in subsection
10 1.2 above."

11 The intent of Section 1.3 -- and we did go
12 back just to make sure that they were -- fully understood
13 this, with the Justice Counsel that prepared the MOA --
14 the purpose of Section 1.3 was to allow for the project
15 to be modified.

16 And the only way the project could be
17 modified under -- from Section 1.2 would be to remove a
18 component. You could remove one of the five elements.
19 You could not add a new element to the project. That's
20 why the wording was such that it read, "Which shall not
21 exceed the scope of the work described in Section 1.2."

22 So, that would allow you to remove an
23 element from the project. That could be land farming on
24 the Coke Oven Site, it could be the PCB incineration
25 component.

1 So, that's how the MOA addresses that and
2 that's why we did put that qualifier in the EIS, and we
3 obviously have to clarify that. We do consider that the
4 -- while the original description did not meet all of the
5 original proposed elements of the MOA, the MOA wording
6 under Section 1.2, 1.3 does provide for that
7 consideration.

8 Therefore, that's why this -- this
9 alternative is considered to both technically and
10 economically feasible within the intent of the MOA, and
11 as contemplated would be an alternative means to be
12 assessed during the process.

13 So, we did look at the alternative means
14 in terms of all the EISS components, in terms of
15 assessing it with the interactions with the VECs and the
16 ECs and deemed it to be fully assessed under the EIS that
17 we submitted.

18 THE CHAIRPERSON: So, now an approach that
19 is minus incineration is now, you're saying, formerly on
20 the table, as far as you're concerned, as an alternative
21 means of carrying out the project. And you've just
22 stated that as far as you're concerned you feel that the
23 EIS fully assesses that alternative, even though, in
24 fact, you did not set out to fully assess that
25 alternative.

1 MR. POTTER: The EIS does refer to that,
2 and I could ask that of Mr. Gillis and Mr. Duncan to go
3 back to that section, but there is a section in the EIS
4 that would refer to that point that we did assess the
5 alternative means. I think it would be 2.13.2, I guess,
6 if we can just ---

7 THE CHAIRPERSON: Perhaps before -- while
8 you're turning to that, perhaps I can ask -- so this
9 alternative means of carrying out the project, could you
10 perhaps spell out exactly what the components would be.
11 I understand that the incinerator would be gone with all
12 the things that were attached to that, and that you would
13 solidify the -- all of the sediments in the Tar Ponds.
14 There would be no removal of sediments in the Tar Ponds,
15 correct?

16 MR. POTTER: That's correct. That's
17 correct. The components that disappear would be
18 everything associated with the Victoria Junction Site,
19 the incineration component, of course.

20 There'd be -- the transport aspect of
21 moving material from the Tar Ponds to the VJ site would
22 disappear. The water processing, material handling
23 components at the -- down by the Coke Ovens would
24 disappear, because that would no longer be required.

25 What would be -- then additional would be

1 the solidification of the two areas where we were going
2 to excavate the PCBs sediment and the tar cell and that
3 very small portion of sediment in the bottom of Coke Oven
4 Brook would -- those two components would have to be
5 solidified or addressed through solidification.

6 THE CHAIRPERSON: Solidification in-situ?

7 MR. POTTER: Yes, the -- more than likely
8 -- there's a small amount of sediment just sitting in the
9 bottom of the brook. That conceivably could probably be
10 picked up and moved to -- you know, it could be taken to
11 the tar cell site. It's a very small volume. You know,
12 if absolutely necessary it could be solidified in place,
13 but it might be just more practical to move it to just a
14 couple of hundred feet over to the tar cell to be
15 solidified there.

16 I don't think we've addressed that in
17 detail, if that had to be solidified in place. But it's
18 possible that could be moved and solidified more
19 conveniently with the tar cell.

20 THE CHAIRPERSON: Do you feel you've
21 addressed in detail the solidification of the tar cell?

22 MR. POTTER: We've looked at it. The Tech
23 memo does address that, and Mr. Shosky can expand on that
24 further if necessary.

25 But we did look at it, as indicated in the

1 Tech memo. There was just an initial look and some
2 mixtures applied. The Tech memo did indicate that we are
3 confident that with, you know, further testing we will
4 find the right -- correct cement mixture to achieve a
5 desired solidification criteria for that site.

6 THE CHAIRPERSON: You have to remind me.
7 Does the Tech memo address containment of those
8 solidified materials?

9 MR. POTTER: I'll ask Mr. Shosky to
10 respond to that one.

11 MR. SHOSKY: The same criteria would hold
12 true for the tar cell that holds true for the Tar Ponds
13 area, the same unconfined compressive strength at this
14 point and also the same hydraulic conductivities.

15 We might do some additional work on the
16 cap there. There's been some discussion about thickness
17 of the cap in that area, but basically the design would
18 still be conceptually equivalent, at this point.

19 MR. POTTER: I should add, as well, that
20 the work around the tar cell was going to be covered.
21 Likewise, when the solidification was taking place there,
22 there'd be a cover over the cap, because of the level of
23 tar in the tar cell.

24 THE CHAIRPERSON: You mean the work would
25 be carried out under cover? That's what you're referring

1 to?

2 MR. POTTER: Correct. Unlike the
3 solidification in the Tar Ponds, which we didn't deem
4 requiring any covering, the tar cell did -- it was deemed
5 that we would be likely covering that as well.

6 THE CHAIRPERSON: But when I mentioned
7 containments, so -- the containment of those solidified
8 material would be provided by the perimeter containments
9 of the Coke Ovens -- the whole Coke Ovens Site, there
10 would be no additional structural elements introduced?

11 MR. SHOSKY: That's correct. It would all
12 fall in the same footprint of that containment system
13 already designed for the Coke Ovens, and also it would
14 still maintain a cap and then, as Mr. Potter said, we
15 would probably take the sediments from Coke Oven Brook
16 and move them over to be processed underneath the
17 enclosure, that all the processing would take place in
18 the tar cell enclosure?

19 MR. SHOSKY: Yes, Ma'am.

20 THE CHAIRPERSON: And the ultimate
21 destination, then, would be the tar cell material?

22 MR. SHOSKY: Yes, Ma'am. That's correct.

23 MR. CHARLES: Mr. Potter, in the MOU and
24 those criteria that you listed, there's reference to
25 destruction of materials. Incineration isn't necessarily

1 specified as the method of destruction. Is that true?

2 I'm just wondering how tied in and where
3 in the MOU or in the EIS or in the terms of reference of
4 the Panel, do we get tied in to incineration as a sort of
5 recognized, required part of the project.

6 MR. POTTER: That would be the first
7 element of Section 1.2.

8 It refers to the removal and destruction
9 of PCBs from the Tar Ponds, as well as the removal and
10 destruction of the contents of the tar cell and the Coke
11 Ovens site with a proven technology such as high
12 temperature incineration and single use ---

13 MR. CHARLES: So there is reference to
14 incineration in there as an example of destruction?

15 MR. POTTER: Yes. Yeah.

16 MR. CHARLES: So it's not a requirement of
17 the MOU?

18 MR. POTTER: No.

19 And as I indicated, Section 1.3 does allow
20 you to remove an element from that Section 1.2.

21 And if full solidification were to be
22 considered with the alternative means, that that whole
23 first bullet would be removed completely.

24 MR. CHARLES: Yeah, I guess I'm just
25 wondering how satisfied you are that the stuff in the tar

1 cell, which is apparently pretty nasty stuff, and you
2 wanted to -- or had planned to incinerate initially, can
3 be dealt with to solidification and stabilization.

4 Now I know you're going to turn to Mr.
5 Shosky to answer -- have him answer that question, but
6 how confident are you? Is it a more difficult problem
7 than dealing with what's in the Tar Ponds themselves for
8 SS?

9 MR. POTTER: We're quite confident that
10 the work -- the SS work necessary to solidify the tar
11 cell can be accomplished.

12 We've gone back over the past year or two
13 and thoroughly reassessed the levels in the tar cell.

14 The original estimate was about 25,000
15 tonnes of coal tar material based on some reasonable
16 amount of sampling.

17 We actually went back and did an even more
18 thorough sample -- test pitting of the tar cell area and,
19 you know, that more recent testing suggested, you know,
20 the levels of tar cells -- of the tar in that tar cell
21 would be even less than what we first contemplated.

22 So, we're quite confident that it can be
23 solidified, and I will ask Mr. Shosky to expand on that.

24 MR. CHARLES: Because the original testing
25 didn't do very well with that material, I think. It was

1 suggested that it might not work that well, but I gather
2 you've made further investigation.

3 Just a second complimentary question. Is
4 your level of comfort based on other places that have
5 dealt with a similar type of material?

6 MR. POTTER: I'll pass that to Mr. Shosky.

7 MR. CHARLES: Yes.

8 MR. SHOSKY: Yes. Based on my experience,
9 I've cleaned up over 50 manufactured gas plant sites in
10 my career, dealing with a lot of heavy tars. Usually
11 there's some form of treatment involved with that.

12 Typically, in the United States, we're
13 asked to take down the benzene concentrations
14 substantially prior to removal of that material.

15 Once the material has been treated, the
16 choice of the utility company is to either take it off to
17 a landfill or leave it in place, and the results that we
18 got in the Tech memo, while they were disappointing for
19 the cement, at that point in time when we were doing the
20 testing, we didn't -- we had decided not to, at that
21 point, use some more aggressive approaches which would
22 include the use of Quicklime and things like that in
23 order to raise the temperatures of the tars high enough
24 in order to get a thorough mixing to occur that results
25 in a much stronger, stabilized product.

1 Since we're doing all this material
2 handling under cover, during the course of my career I've
3 done 10 jobs under cover in densely populated urban
4 areas, and have not had a problem with odour emissions
5 controls, provided that everything is managed
6 appropriately on site, and we have not had any problems
7 with meeting performance criteria once we go to the more
8 aggressive chemical additives.

9 MR. CHARLES: Am I correct in assuming
10 that this kind of material has a lower organic content
11 than you have in the Tar Ponds, particularly the south
12 pond?

13 MR. SHOSKY: Well, the interesting thing
14 about the tar cell material is that it -- the tar itself
15 is very highly concentrated tar when you encounter it,
16 but it's surrounded by a lot of materials that are of
17 less tarry compound.

18 And the materials that we did our
19 stabilization testing on for the Tech memo were the
20 highly concentrated tars.

21 And it's a more difficult material to deal
22 with than the stuff that's in the Tar Ponds, because of
23 its viscosity and high concentrations of organics, but
24 it's not impossible to treat that material.

25 And the project that I had given you to

1 look at, the Taunton Massachusetts Project, the one that,
2 even though it's smaller, was similar to the project that
3 we have with the Tar Ponds now, is similar types of
4 material that we stabilized with cement at that location.

5 MR. CHARLES: Okay, one final -- it's not
6 a question, I guess, it's clarification.

7 You're going to do the excavation -- or
8 treatment -- not excavation, treatment, of the tar cell
9 material, under cover. But as far as the rest of the
10 solidification and stabilization on the Tar Ponds
11 themselves, that will not be done under cover, am I
12 correct in that?

13 MR. SHOSKY: Based on risk analysis that
14 was performed by Dr. Magee and the investigations done by
15 AMEC, it was determined that we wouldn't be exceeding any
16 levels that made covering that area necessary.

17 MR. CHARLES: And that remains your
18 position?

19 MR. SHOSKY: Currently it does, yes.

20 MR. CHARLES: Thank you.

21 THE CHAIRPERSON: Could you just remind
22 me, how many tonnes of material there are in the tar
23 cell?

24 MR. SHOSKY: There's 25,000 tonnes in the
25 cell area itself, and then another 13 to 1,500 tonnes in

1 the stream sediments.

2 THE CHAIRPERSON: Now, does this require
3 any kind of drainage alterations at all?

4 When originally in the EIS, the
5 solidification of the Tar Ponds, was presented, we didn't
6 have any details at that point of any internal drainage,
7 and since I understand it's a different issue, being in
8 an estuary -- estuarine environment, but do you have to
9 make any drainage modifications of the tar cell if you're
10 going to solidify those materials?

11 And associated with that is the cap. What
12 is the design of the cap? Is it the same as the Coke
13 Ovens cap, or the same as the Tar Ponds cap?

14 MR. SHOSKY: We would probably, by choice,
15 upgrade the cap of the tar cell over to match what we
16 have at the Tar Pond area.

17 But there would not be any additional
18 drainage changes.

19 THE CHAIRPERSON: And there are no
20 complications -- regulatory complications?

21 For example, if you choose to move the
22 sediments from the Coke Ovens Brook and treat them
23 somewhere else? It's all one site? It doesn't make any
24 difference? Is that correct?

25 MR. SHOSKY: I believe that's correct,

1 because we had intended on moving them anyway.

2 So the process of excavation -- excavating
3 the sediments and moving them to a treatment zone would
4 have been similar to what we did with the incinerator.

5 THE CHAIRPERSON: Yeah. That makes sense.

6 Well, how about costs?

7 You indicate that you're putting this on
8 the table as technically and economically feasible.

9 Obviously, you're removing relatively
10 costly elements, but what information can you provide the
11 Panels on the breakdown of costs for this?

12 MR. POTTER: In the undertaking No. 23
13 today that we submitted for looking at the incineration
14 of all the costs, and again, I mentioned we were trying
15 to use that same table format. So, in that submission,
16 we've included in that table, or actually Table B, I
17 guess it would be called, the costing.

18 If you pull out the incineration
19 component, you would have to, of course, bump up some of
20 the solidification costs.

21 I'll ask Dr. -- he's almost a doctor now.
22 I'll ask Mr. Shosky to -- just to walk through that for a
23 second.

24 MR. SHOSKY: The base amount that we
25 started with originally under our undertaking 9 was 400

1 million. We -- off of the table that I gave earlier this
2 week.

3 What we did, when modifying that for -- to
4 stabilize all the sediments was -- is that we took that
5 element out of incineration and removed it and put it
6 over into sediments. Or not -- just stabilizing all of
7 the PCB material and the tar cell, and the price came
8 back at -- or the cost came back to about three hundred
9 twenty-seven point five million. It would be an
10 inclusive of everything.

11 Now, the things that would not be included
12 in that number would be any additional treating of
13 materials under cover beyond the tar cell, and things of
14 that nature.

15 So, we've -- this would be a comparison to
16 what it would just removing the incinerator element.

17 THE CHAIRPERSON: But you don't get to
18 keep the change? Is that what we clarified earlier? Is
19 that right?

20 MR. POTTER: The federal government keeps
21 the change, the province doesn't.

22 As we've explained in the funding formula,
23 the province essentially pays up front the -- roughly
24 speaking, the federal government pays the back end.

25 THE CHAIRPERSON: Well, I think if my

1 colleagues don't mind -- they probably do, but there we
2 are. I will -- I would just like to keep going, while
3 we're on the subject of alternatives, we may want to come
4 back to some aspects of this new development.

5 But I would like to go back to the
6 alternatives that were assessed under the RAER process,
7 and then subsequent to the RAER process, I've just got a
8 few questions.

9 And I'd just like to work -- basically
10 work from Table 2.13-2 in the EIS. And that's the table
11 that's entitled, "Summary of RAER Options as Alternatives
12 to the Project."

13 You also included in that -- however, this
14 is not only RAER options. You've included options that
15 were developed subsequent to the RAER reports that were
16 looked at, and some of which subsequently, basically,
17 became the description of the project that we have on the
18 table.

19 And really, I guess I would like to focus
20 mainly on what was said here about Option 3 for both --
21 Option 3 for the Tar Ponds remediation and Option 3 for
22 the Coke Ovens.

23 And we've had a lot of talk about that,
24 and a lot of assertions one way or another, and I'm sure
25 we're going to hear more.

1 But right now, I wonder if you could tell
2 us -- and maybe you could start off with a list of
3 advantages and benefits and disadvantages and adverse
4 effects for both of those Options 3, and tell us more
5 about how you understood that those were assessed. Now
6 -- and what is the meaning of some of the things that are
7 down here.

8 So, really, we'd like to, I think, have a
9 fuller idea of the reasons why you concluded where --
10 what strengths you saw in this option, and why you
11 ultimately concluded that it was not -- could not be
12 brought forward as an alternative means of carrying out
13 the project, as not being economically and technically
14 feasible.

15 Do you want me to keep asking questions,
16 or ---

17 MR. POTTER: We're getting tired, but
18 we're not that tired, really.

19 No, Mr. Kaiser is going to respond to the
20 questions on the table.

21 MR. KAISER: Just to, I guess, maybe
22 restate one of your questions. You want to have an
23 explanation of how we saw the advantages compared to the
24 disadvantages of RAER Option 3 as a starting point?

25 THE CHAIRPERSON: I think a good way to

1 address this right now would be to look at those two --
2 what was written in the -- in this table, in the EIS,
3 under the two columns, Advantages and Disadvantages, and
4 for those -- for the -- for Option 3 for the Tar Ponds
5 and then Option 3 for the Coke Ovens, and maybe just go
6 through those bullets and tell us a bit more.

7 Then if you've got some additional things
8 you want to say, that's good, too.

9 But let's go through the bullets, since
10 we've got them there.

11 So under, "Tar Ponds Option 3
12 Alternative", the advantages that were identified were
13 that there would be socioeconomic benefits from almost
14 exclusive use of local resources and that both ponds
15 would be remediated.

16 Do you have anything you want to add to
17 those two bullets?

18 MR. KAISER: I guess at this point in time
19 there's not a lot to add to those bullets. The RAER
20 options were compared based on evaluation criteria that
21 were developed through a consultative process. We then
22 compared each of the options to those evaluation criteria
23 and in this case, the socio-economic benefits due to the
24 use of local resources was deemed to be a clear
25 advantage. As well, the fact that both ponds would be

1 remediated to, you know, pre-industrial waste deposition
2 scenarios, that also rated highly and was deemed to be an
3 advantage.

4 THE CHAIRPERSON: I mean, what I noted was
5 that there was no mention of the fact that there was
6 complete removal of the contaminants. It was not noted
7 there as an advantage but anyway we'll let that one go.
8 So when it comes to the disadvantages could you -- you've
9 indicated -- the table indicates that there would be
10 increased health and environmental impacts from this
11 alternative, a limited technology track record, a high
12 remediation risk, high cost with low probability of
13 success. I mean, what we've been -- what we heard from
14 other presenters have suggested that this was -- that
15 this option was thrown out on the grounds of cost alone.

16 So I'm trying to get some clarification of
17 how -- what your evaluation of this option. Why would
18 there be increased health and environmental impacts for
19 example?

20 MR. KAISER: In particular to that
21 particular bullet, due to the fact that we're looking at
22 a multi-phase or multi-step process in order to get all
23 of these components that are bundled into this option up
24 and running and get all of the steps accomplished to make
25 the remedy a success, you have to go through, you know,

1 many instances where you move material around and you
2 treat material or manage material, all of those factors
3 tend to, you know, be an increased potential risk so it's
4 factors such as that that tend to, you know, score this
5 as a bullet. I think as well, Mr. Shosky wanted to add
6 to this particular answer.

7 MR. SHOSKY: Yeah, when looking at the
8 disadvantages for this particular technology, they're
9 numerous and I've had experience with all of the
10 technologies that are listed under this item, including
11 the coal burning. For a long time, I did a lot of coal
12 burning in the early 90's for power plants where we would
13 take coal tar, waste material and burn it in power
14 plants. At that point in time it was believed that power
15 plants were a good way to get rid of that.

16 It was all state-of-the-art type of air
17 emission control equipment and things like that. Well,
18 over the last ten years or so we found that the power
19 plants aren't quite the panacea that they were laid out
20 ten or 15 years ago when coal burning was starting to be
21 popular for a lot of different types of waste. I coal
22 burned at five -- four different power plants here in the
23 U.S. and I did some test burning in Australia using that
24 same technology, where we would basically go in and take
25 the coal tar residues and mix them with coal and burn

1 them at a power plant.

2 Well, power plants are really reluctant to
3 take that material now for a variety of different
4 reasons. The studies have shown that only seven percent
5 of the feed stock can actually be the soil that you're
6 putting into the power plants at any one particular point
7 in time without having large impacts on the power plants
8 themselves.

9 The other problem that occurs is that
10 there's no good -- there's typically no good storage
11 handling facilities for this material so basically you
12 would be taking the material from here, putting it in a
13 truck and hauling it off to a power plant and putting it
14 in a pile. In a sense just removing it from point A to
15 point B to be burned over some period of time which
16 typically is not a controllable variable in most
17 regulatory environments.

18 In addition to that the power plants
19 really don't, at this point in time, have the emission
20 control systems to handle the dioxins that come out of
21 them or mercury concentrations, things of that nature
22 which is what this material has the potential for
23 generating through DENOVO and things like that. When the
24 materials go out of the stack they change into dioxin
25 because they're not cooled fast enough and it creates

1 quite a large problem on a more regional basis than on --
2 than locally.

3 So you've got the increased health
4 impacts, not only locally but on a much wider scale.
5 I've also been involved with a number of different soil
6 washing techniques some of which have been experimental,
7 some of which have claimed to be pretty good. Under the
8 different types of material, use of different surfactants
9 and things like that, without you know -- we had actually
10 in this area, had actually teamed with a small soil
11 vendor, soil washing vendor from B.C. to do work on the
12 adjacent site to the Tar Ponds. And we had very mixed
13 results with that. And he had very good surfactants,
14 very good system in mind of how to conduct that.

15 So you start adding these things together
16 and you start saying, you know, the predictability of
17 success is very low. Contractually, it becomes very
18 difficult to control it. And it continues to have a high
19 risk of failure and which is why we chose not to back
20 that particular technology. And you know, it's just not
21 -- you know my opinion, we had a lot of other people look
22 at this as well and it's -- you know, it's a big problem
23 right now with just using the straight coal burning or
24 soil washing technology.

25 THE CHAIRPERSON: Your comments about coal

1 burning, do they apply also to cement kilns? Cement
2 kilns, the burning conditions are different from power
3 plants, generally?

4 MR. SHOSKY: I can pass that question over
5 to Dr. Walker but it's my understanding that because the
6 stack heights are even lower on the cement kiln plants,
7 that there's a higher chance for those other toxins to
8 form. Dr. Walker, would ---

9 DR. WALKER: I think the bigger problem in
10 terms of burning in any other facility is the risk of
11 permitting. That the -- it simply places a big risk on
12 the operation of the cement kiln or the power plant. And
13 in the case of a local utility did turn down the
14 possibility of burning the Tar Ponds sludge because of
15 the business risk involved and the public exposure to
16 criticism.

17 THE CHAIRPERSON: But in terms of the
18 actual process of burning such materials or such
19 alternative fuels or synthetic fuels or whatever in a
20 cement kiln compared to a power plant, are there
21 significant differences from your perspective in terms of
22 environmental impacts?

23 DR. WALKER: I think it depends on the
24 specific power plant that's involved and the specific
25 cement kiln. There are air pollution controls on cement

1 kilns but I think the fuel is generally clean enough that
2 they don't have as much as the power plants. Certainly
3 not as much as they would in, for example, Point Aconi.
4 But perhaps more than they had in the older generations.

5 THE CHAIRPERSON: So you are saying to us
6 that from your perspective this option was not -- it was
7 not costs alone that took this off the table.

8 MR. SHOSKY: Not at all. There's a lot of
9 technical reasons why it's a problem.

10 THE CHAIRPERSON: Now, when we look at --
11 there's probably nothing -- when we look at option 3 for
12 the Coke Oven site you've indicated that this would be
13 coal burning is the proven technology for PAH
14 destruction.

15 MR. KAISER: That's correct. Proven to a
16 limited degree.

17 THE CHAIRPERSON: I think we had some
18 confusion on the other day when there was some discussion
19 about this option or version of this option. I think we
20 have on the record -- not confusion from you but some
21 confusion about what happened to the PAHs in this
22 particular option but it's my understanding that the PAHs
23 do get destroyed in this option, is that right?

24 MR. KAISER: That's correct. I think the
25 confusion was that there was a statement that PAHs

1 weren't part of the fuel product. But actually they are
2 definitely part of the fuel product and do presumably get
3 destroyed at the facility that uses that fuel.

4 THE CHAIRPERSON: Okay. And I guess when
5 we look at the disadvantages that you've identified for
6 the Coke Oven site are more or less the same. You
7 referred to long duration here, increased health risks
8 due to excavation, increased long term liability. Well,
9 I've just got one more question about this table. I'm --
10 I was curious when I went through it how, under
11 "Disadvantages" and for a number of options you've
12 identified ongoing liability as being as being a
13 disadvantage.

14 However, when it comes to the options that
15 -- you know what does constitute an ongoing liability and
16 why would it be -- why would any option that didn't --
17 that ends up with some contaminants being left on site
18 would not -- is there not ongoing liability for all
19 options? Now, for example, the option, Coke Oven 6 which
20 is the one that in fact, is forming the core of the
21 project, you referred to ongoing maintenance and
22 monitoring required. Well, that's fair enough. That's
23 -- we know that and we've presented that. Do you believe
24 that there's no ongoing liability involved with the
25 current proposal?

1 MR. KAISER: No, actually we do believe
2 that and I guess should have added that as a bullet on
3 its own or maybe clarified the bullet but definitely that
4 is what is meant because we will have materials here that
5 must be monitored and facilities that must be maintained.
6 We see that and as has been discussed that would become a
7 provincial responsibility.

8 THE CHAIRPERSON: Okay, thank you.

9 DR. LAPIERRE: Good afternoon and thank
10 you for the opportunity to ask a few more questions. I
11 would like to go back to a question I asked on Day 1 and
12 it relates to the Tar Pond -- the Coke Oven site. Now if
13 I go back to the Coke Oven site in relation to water and
14 water that's going to eventually be left to percolate
15 through the polluted material that's still left there.
16 But if I'm not correct I want you to correct what I'm
17 going to tell you.

18 My understanding is that you have an area
19 that's fairly polluted to bedrock. That you're going to
20 put in a plan for diversion of the water table which
21 should eliminate some of the water that's going to
22 percolate through the polluted site. You are going to
23 control surface water. You're going to cap the area,
24 however listening to Dr. Li last night, the cap does have
25 a permeability which you indicated at ten to the minus

1 six I think which could allow up to 1,000 gallons of
2 water through it a day.

3 The question I had asked is eventually you
4 still have water that's going to infiltrate under your
5 barrier. The water table is not only surface. It goes
6 to bedrock. So you still have water at the base and
7 essentially you have an open system where whatever
8 leaches through the system will get into or drain away
9 from through the bedrock, either on surface or through a
10 fractured bedrock which you've indicated is fractured.

11 Now the question I had asked originally
12 was, where will this water finally end up? And the
13 question I had is if it'll follow and move down to the
14 bottom and get to the base of the Tar Ponds. I have a
15 little problem with that because I'd like to understand
16 -- get a better understanding of the fractures in that
17 bedrock. I'm not certain that all the fractures would
18 lead down to the bottom of the hill. There could be
19 fractures that lead sideways and eventually they could
20 lead out to the harbour.

21 And my question is, how certain are you
22 that the pollution left on that Coke site once you put
23 the cap on it and you divert your water, I'm sure you'll
24 agree you're still going to have water that's going to
25 percolate either through the cap or underneath that that

1 water will not reach the ocean with contaminants that you
2 wouldn't want out there. And I guess the -- that's my
3 first question.

4 The second one is, if you had encountered
5 that problem, could you put in place a pump and treat
6 system which would, if you had some very specific end
7 points on what you allow -- what you will allow as water
8 flowing over that contaminant site. How many gallons,
9 how much water would you allow to percolate through it.
10 Could you, if it went beyond your end point, consider
11 placing a pump and treat system to ensure that the water
12 from the Coke Site as it percolates through the system
13 doesn't get to the harbour?

14 MR. POTTER: I'll ask Mr. Shosky to
15 address that. You do understand that on the Coke Ovens
16 Site we do currently have a groundwater treating system
17 for -- we're going to catch the water at the bottom of
18 the Coke Ovens and contain it, treat it, discharge it
19 again, so -- but I'll ask Mr. Shosky ---

20 DR. LAPIERRE: Yeah, but I'm thinking more
21 water at depth.

22 MR. POTTER: Deeper, yes, I understand
23 that's -- yeah.

24 MR. SHOSKY: Okay. The area where the
25 deeper contamination exists is near the area of the Tar

1 Cell area and the plan is, of course, to either remove
2 and treat that material by incineration or stabilize it.

3 Once that's done, and once the cap's in
4 place, we feel that the source would be removed, so what
5 we'll be dealing with is the residual materials that are
6 left.

7 Based on the modelling that's been done by
8 our hydrogeologists, it appears that that water,
9 potentially contaminated water, would daylight underneath
10 the monolith in the Tar Pond area, which is one of the
11 reasons we have the control mechanisms there to relieve
12 the water pressure and check for contamination that might
13 collect in that area.

14 Of course it is possible to monitor and
15 put in a pump-and-treat system or try some additional
16 treatment mechanisms, like in-situ oxidation using
17 potassium permanganate or some other chemicals that have
18 been proven to work on these coal tar derivatives. There
19 are a number of different in-situ treatment techniques
20 that could be used.

21 Those, unfortunately, would be looked at
22 in a lot more detail during the detailed design phase, so
23 I can only speak at this point in hypothetical terms, but
24 it's my understanding that from the modelling that I see
25 it would end up -- more than likely the water from that

1 area would end up underneath the Tar Ponds.

2 MR. KAISER: I'd like to add, too -- you
3 asked about the fractures in the bedrock, and you're
4 correct, the fractures don't all go in the same
5 direction, and as Mr. Potter said in his opening
6 statement fractured bedrock is a particularly difficult
7 scenario in which to recapture any contamination that
8 exists, also as Mr. Shosky has just spoken to.

9 But the, I guess, overriding point is when
10 you have groundwater you have regional flow, so there's a
11 particular direction which can be determined in which
12 that groundwater is generally moving, and that's the --
13 sort of the basis upon which you approach the problem.
14 You determine the direction of the regional flow and then
15 you address any issues that exist.

16 DR. LAPIERRE: I understand that, and I
17 think that's what you're trying to address with your
18 sheet piling and deviating the surface water.

19 However, I'd like to be assured that
20 you're going to have some end points beyond which you
21 would be ready to intervene if, you know, your best guess
22 did not achieve what you thought they were going to
23 achieve. I'd like to be assured that the process in the
24 final design would address that.

25 MR. SHOSKY: There'll be components in the

1 final design that'll address that in detail. That's one
2 area that's going to go through a lot more investigation
3 as far as those hydraulic pathways at the deeper levels.

4 MR. POTTER: I should add, too, that is
5 one of the advantages of those drains in the ponds. If
6 we do -- we can monitor those, if we do start to see
7 anything showing up -- and I do want to emphasize that
8 we're not expecting massive contamination. I don't want
9 to have that impression, that we have a lot of
10 contamination moving off the Coke Ovens Site.

11 We know that in the -- on the Coke Ovens
12 Site in the deep fractured bedrock that the DNAPLs have
13 gone down into the fractures, it's typically about the
14 upper 5 metres of the bedrock that has that fracture in
15 it, and the contaminants have dropped into those
16 fractures and remain there. All the sampling we've done
17 on that site indicates that those DNAPLs are staying
18 there and are not moving.

19 We will monitor for any soluble components
20 that might come off the site, and as I say, the safety
21 check down on the Tar Ponds is that we have those drains,
22 we can watch for anything showing up and we'll have the
23 very discrete, known location and if something were to
24 show up we could, you know, of course, go back to where
25 that drain might be first detecting it near the leading

1 edge of the SYSCO property on that side where it would
2 come from, we can deal with treating it, and that's what
3 some of the designs would have to take a look at, is if
4 something shows up how would we deal with it and how
5 would we treat it.

6 But we feel it's a very robust system with
7 a lot of checks built into it, that if something
8 unexpected happens we can detect it, we can deal with it
9 and we can treat it.

10 DR. LAPIERRE: Well, that leads me to a
11 second question, that leads me -- now you've got the
12 water down to the -- below the monolith, and I just want
13 to get back at this -- a few questions I have on that
14 drainage system that you're going to have.

15 I mean, I can understand that you've got
16 water coming in under the monolith, you've got a drainage
17 system that's going to allow that water to move to the
18 top and then you've got a series of canals and ditches
19 under the cap that would allow it to move towards, I
20 understand, your drainage system.

21 Now, I want to be sure I understand,
22 because I just think maybe I didn't understand correctly
23 the first day. I can't see how you could do what I
24 understood.

25 Once these pipes are going to all join

1 together someplace, if it's -- each one of them is going
2 to empty into the canal, my understanding was that they
3 would be closed or valved and that you would monitor
4 them.

5 I can hardly see that you would have, you
6 know, 20, 30 or 100 pipes coming in there, each one of
7 those monitored, headed, and then a valve on them and
8 then that you would test that.

9 I don't know -- I don't understand how
10 you're going to do that. Will they be free-flowing into
11 the canal, or will you just test the water periodically
12 to see what what's coming in is clean, or will it be a
13 closed system that'll only go in once you've tested and
14 you're sure it's clean? I just don't understand.

15 And you may not be at that phase of the
16 design where you can reassure me, because I think if your
17 system is correct, this water collection system to me is
18 a very important one, because that's going to be the
19 safety valve if the -- either the material moves from
20 below or contamination moves from the Coke Ovens Site.

21 This is really your last chance of
22 capturing it before it goes out into the canal and out to
23 the harbour. So, I'd like to understand that, if I
24 could.

25 MR. POTTER: I'll ask Mr. Shosky to try to

1 elaborate on that.

2 MR. SHOSKY: We don't have all the design
3 details at this point, but I can tell you conceptually
4 how we've decided to approach the problem.

5 One is that we know right now based on the
6 information that's been collected over time and the
7 hydrogeologic model that has been built up for the site
8 that there are certain areas of that model that need more
9 data in order to fill in those voids.

10 Once that's filled, once those data voids
11 are filled, the actual spacing of those drain lines will
12 be determined, because we'll have a better understanding
13 of where the highest potential is that we may have
14 impacts into the monolith.

15 And then right now the plan is to have
16 each one of those drains individually piped and monitored
17 separately periodically for chemical parameters to make
18 sure that we're not having a problem with either the
19 monolith or the deeper waters that may be contaminated
20 coming into the monolith.

21 DR. LAPIERRE: So, each valve -- each one
22 of those drainage pipes would be -- your intention now is
23 to have those closed and monitored?

24 MR. SHOSKY: Yeah, we had to do it that
25 way because one of the early designs that we looked at

1 was actually a large interceptor system that would have
2 collected all the water from all of those, and the costs
3 associated with running a large treatment plant that was
4 primarily treating clean water were just cost-prohibitive
5 on that sort of system.

6 So, we felt it was more prudent to have
7 these individual areas. That way if we did -- because of
8 the fractured nature of bedrock, it's not going to be
9 contaminated uniformly, it typically comes up in, you
10 know, sections of fractured bedrock or something like
11 that, it's not like as if it was flowing through a nice
12 smooth sandstone or something where it was all uniform.
13 So, it could be very spotty.

14 And as a result of that, we wanted to make
15 sure that if we had only one line or two lines that were
16 contaminated we could deal with that with a cost-
17 effective treatment system rather than having the whole
18 thing open and treated because the water volume was too
19 unpredictable at this point.

20 DR. LAPIERRE: And I guess the last
21 question I have on this -- and you've indicated to me
22 before that it may not be a problem, but the freeze/thaw
23 cycle.

24 If, you know, you've got a metre of soil
25 on top with your cap, it's still very close to the

1 freeze/thaw cycle if this is fresh water that comes up
2 the top. The salt water may be a bit different.

3 I know in your previous answers you
4 indicated the water would be warmer, but still, I mean,
5 I'm not so sure that -- that still must be a concern that
6 would have to be addressed, because if your system froze
7 then your escape mechanism is limited.

8 MR. SHOSKY: Those are good points, and I
9 think we said earlier that we're going to do some freeze/
10 thaw tests.

11 If anything, one item that's become clear
12 through these Panel discussions is that, you know, there
13 should probably be some consideration given to making the
14 caps -- either putting additional soil cover on them or
15 something to ensure that they're out of that freeze/thaw
16 zone, and there will be some additional investigations on
17 the freeze/thaw issue in order to accommodate the final
18 design.

19 MR. CHARLES: Mr. Shosky, just a
20 clarification. I'm fascinated by this channelization
21 system and the pipes and so on. Now, I want to be sure
22 that when you explained it to my colleague I got it
23 right.

24 These pipes with the valves on the end,
25 did you say that they are going to be closed or open?

1 MR. SHOSKY: They'll be closed and the
2 water behind them as they back up would be monitored, and
3 we may have -- this is an operational issue that haven't
4 fully gone through yet as far as -- it would be more in
5 line with the detailed design, I believe, but it's that
6 frequency of release ---

7 MR. CHARLES: That's what I was wondering
8 about, the ---

9 MR. SHOSKY: --- right, release and
10 testing, that would need to be accommodated for before --
11 it's like the next step in the design.

12 MR. CHARLES: Yeah, that's what I was
13 wondering about. If you have a closed valve and the
14 water builds up, what happens to it? I mean, where does
15 it go? Does it build up pressure and then just start ---

16 MR. SHOSKY: Well, the interesting ---

17 MR. CHARLES: --- going outside the
18 channels?

19 MR. SHOSKY: Oh, I'm sorry. The
20 interesting thing that happens here is that we're
21 actually changing the ground elevations from where it
22 exists now where we know for sure the water would
23 discharge to a certain level at the bottom of the Tar
24 Ponds.

25 We're increasing that level by about 4

1 metres -- 3 metres, so that it's not -- no, 4 metres, so
2 that it's not a submerged system anymore. So that it may
3 be possible that the water isn't going to push as high up
4 in the monolith as one might think it would, because it
5 just doesn't have the hydraulic head behind it to do
6 that.

7 Otherwise we would see water shooting out
8 of the ground at low tide, for example, which I don't
9 believe is the case that we see out there. So, there's a
10 possibility that it doesn't go up as far into the
11 monolith as the drain pipes, but that's part of the
12 further detailed hydrogeologic investigations that need
13 to be completed.

14 MR. CHARLES: Okay. Now, can I bring you
15 back to the testing that you did with the BC company on
16 -- for soil washing.

17 MR. SHOSKY: Sure.

18 MR. CHARLES: I think you said that you
19 had a BC company come in and you did a bit of a test. I
20 take it that you used sediment from the ponds, North or
21 South, or both?

22 MR. SHOSKY: No, I don't want to mislead
23 you on that issue. It was for the neighbouring property,
24 it was not with these particular sediments. I have not
25 done any testing on these particular sediments using soil

1 washing. We looked at that technology on the adjacent
2 property, the SYSCO property.

3 MR. CHARLES: Okay. Thank you. And we
4 heard in previous discussions here that soil washing has
5 been used in Europe extensively and it's been used in a
6 lot of cases with coal fines, and the suggestion was made
7 that coal washing using coal fines wouldn't be very much
8 different than using coal washing with our own sediments.

9 Have you any comment on that?

10 MR. SHOSKY: I guess, if I would have
11 agreed with all those statements, it would have been one
12 of the selected alternatives.

13 MR. CHARLES: So, in terms of a "yes" or
14 "no" answer, you don't agree that necessarily the
15 experience in Europe is transferrable to the type of
16 sediment we have here in the ponds?

17 MR. SHOSKY: I don't believe these
18 sediments are conducive to a soil washing system.

19 MR. CHARLES: Thank you very much.

20 THE CHAIRPERSON: I think we'd like to ask
21 some questions now with respect to solidification and
22 stabilization.

23 My first question is a simple one but it's
24 been bothering me a little bit, the terminology. What is
25 a monolith, and are we really talking about a monolith?

1 MR. POTTER: I'll ask Mr. Shosky to
2 identify a monolith.

3 MR. SHOSKY: Our idea of the monolith is a
4 large structure that is of similar characteristics
5 throughout, similar grain size, similar physical and
6 geotechnical properties throughout the mass that we're
7 creating.

8 THE CHAIRPERSON: So the degree of
9 hardness or solidification is not a part of that
10 definition of monolith. It doesn't have to have a rock-
11 like or a stone-like characteristic?

12 MR. SHOSKY: Well, it can. It really
13 depends on what final design criteria is. When we look
14 at the monolith, as far as the design went, there's a
15 couple of things you look at.

16 One is what is the ability of this
17 material to withhold its shape over time, and what do you
18 need to do with it in order to make sure that it
19 withholds its shape over time.

20 So what we proposed was the minimal amount
21 of unconfined compressive strength and hydraulic
22 conductivity that would give it a shape. It would hold
23 up on its own. There would be some areas that would need
24 to have a bit more concrete in them, particularly the
25 seaward edges that might have come in contact with more

1 storm surges from the ocean, or wave action, or things
2 like that.

3 The basic choice then becomes, after that,
4 is how attractive is this big monolith, and what do you
5 need to do with it in order to make sure that it doesn't
6 weather over time, which is when you start adding the
7 other items to it, a seawall in front of the monolith in
8 order to take care of the storm surges so that the sea
9 doesn't erode the monolith during its normal weathering
10 processes.

11 You want to put a cover on top of it to
12 minimize the amount of water coming in contact with the
13 monolith, even though the monolith itself should have the
14 low enough permeability associated with it that it will
15 not really soak up water, except for after, you know,
16 hundreds of years of being exposed to water, but
17 minimizing it from the standpoint that you are trying to
18 increase its longevity over time, which means protecting
19 it from the freeze/thaw elements, and things of that
20 nature.

21 And each one of the components that we had
22 around the monolith was designed to help enhance the
23 monolith.

24 However, I would say that the monolith
25 itself would be comparable to stand on its own for quite

1 a lengthy period of time, but we would typically not
2 recommend it without having some other covers and
3 diversions to help maintain its integrity over time.

4 THE CHAIRPERSON: Well, thank you, Mr.
5 Shosky. My question was more naive than the answer. I
6 mean, it wasn't a naive question, I just wanted to make
7 sure that it's reasonable to call this material a
8 monolith. That's all I meant. I wasn't really asking
9 for more detail there.

10 Anyway, from now on, we'll let you carry
11 on calling it a monolith, so that's fine, but what was
12 interesting to me in your response is that you kind of
13 flipped an understanding that I'd been operating under,
14 and the understanding I had been operating under, and I
15 thought that we'd heard some statements to this regard,
16 is that I thought essentially the containment system for
17 the existing sediments, the Tar Ponds sediments, was the
18 primary defence, and the solidification was the added --
19 the redundant treatment.

20 You've now given me an argument that the
21 solidification and stabilization is the primary defence
22 and the containment is the secondary. Would you like to
23 comment on that?

24 MR. SHOSKY: Yes, I'd just like to add one
25 other thing, and that same would hold true for the tar

1 cell area, itself, as well. We rely pretty heavily on
2 that internal monolith in order to provide the strength
3 and the covers, and all those extra things that are there
4 to help protect the integrity over time.

5 THE CHAIRPERSON: So the monolith is the
6 primary remediation technique, and the containment is the
7 added support. That's how you wish to have this
8 considered.

9 MR. SHOSKY: Yes, ma'am.

10 THE CHAIRPERSON: Well, I wonder if I
11 could talk a little bit about the -- what is being aimed
12 at with respect to the flux of contaminants from the Tar
13 Ponds into the harbour.

14 You have indicated -- now, you have not --
15 am I correct in saying you've not really developed a goal
16 with respect to this?

17 You have indicated an estimate, a very
18 general estimate, that at the end of the -- when the
19 project remediation is completed that you will have
20 reduced the contaminant flux, there'll be an increase
21 during construction, but after that you will reduce it by
22 10 percent, that's what's said in the EIS. But does this
23 mean that that is, in fact, a target, a project target
24 that you are aiming for?

25 MR. POTTER: I'll ask Dr. Stephenson to

1 address that one.

2 DR. STEPHENSON: Madam Chair, I'll just
3 make a slight correction there. You said a reduction of
4 10 percent. What we said was a reduction of 90 percent.

5 THE CHAIRPERSON: My apology, I did
6 realize that, I'm sorry.

7 DR. STEPHENSON: Having said that, we did
8 modelling of the likely effects in the harbour on water
9 and sediment quality based on that reduction of 90
10 percent, which we consider to be a very modest goal.
11 That modelling exercise showed that water and sediment
12 quality in the harbour, post remediation, would meet
13 guidelines.

14 Therefore, we feel that the factor of 10
15 reduction in contaminant flux, which, as I said, we feel
16 is very easily achievable, shows that the project can
17 achieve its objectives.

18 THE CHAIRPERSON: Now, with respect to the
19 TCLP test that was being talked about -- has been talked
20 about by a number of presenters, do you know of any other
21 methods for testing the leachability of the solidified
22 and stabilized sediments other than this test?

23 The suggestion was made that this was an
24 inappropriate test, that passing this test might still
25 end up with unacceptable levels of contaminants leaving

1 the Tar Ponds -- the monolith, that the test was
2 developed for entirely other purposes, and is not
3 appropriately predictive of the -- with respect to
4 environmental effects on marine receptors.

5 And then Dr. Lee made the -- said that he
6 thought that there was -- there might be more appropriate
7 tests, or a more appropriate matrix of tests could be
8 developed.

9 Do you have some comments on that?

10 MR. POTTER: Yes, I'll ask Mr. Kaiser to
11 address this and maybe get additional comments from Mr.
12 Shosky, but we do understand that the TCLP test is --
13 there are limitations in proper applications of it, and
14 I'll ask Mr. Kaiser to expand on that.

15 MR. KAISER: Yes, thank you. The whole
16 aspect of testing and analysis and ensuring that the work
17 you do is effective, of course, is an issue that we're
18 always concerned about, and we have been looking into the
19 possible alternatives to the TCLP because we recognize
20 that that test was developed for a different purpose.

21 In fact, the cooling pond project that's
22 currently ongoing, we're taking an approach where we're
23 going to use the SPLP test, which is the Synthetic
24 Precipitation Leaching Procedure test, also developed by
25 the US EPA.

1 It's a test that we have discussed with
2 representatives of the US EPA, and we feel that it is
3 more appropriate. It, as well, has some limitations, but
4 as we have seen and discussed over the last number of
5 days, the proven and practised procedures that are in
6 place for this type of testing are relatively limited.

7 So, at this point in time, the SPLP is a
8 different and a better approach, in our view, and Mr.
9 Shosky will add to that.

10 MR. SHOSKY: Often, on a lot of these
11 tests, I end up running a TCLP test and the one that Mr.
12 Kaiser had mentioned.

13 The TCLP test, in my opinion, is a much
14 more aggressive test, because the acid concentrations are
15 a lot lower that you run the tests on, and there's a
16 higher potential, in my opinion, that you would leach
17 materials out under those -- under that testing protocol.

18 The other testing procedure that Mr.
19 Kaiser discussed is one that's more suitable for areas
20 that are covered with slight acidic waters that may come
21 into contact with it. So you have -- maybe running a
22 test at a PH of like 3.1/2 for the TCLP and maybe
23 something around 6 for the other one.

24 So what difference would that have made in
25 our test results? In our tech memo that we did, we would

1 have had more samples that would have passed than had not
2 passed, in my opinion.

3 So we went with the more conservative
4 approach in the tech memo because we wanted to make sure
5 that when it came time to defend it, in my opinion,
6 anyway, that it was a more rigorous test than any of the
7 other ones that were available at the time, or available
8 now, that would release the most amount of material
9 without becoming ridiculous about, you know, hitting it
10 with a PH less than 1 acid, or something like that.

11 THE CHAIRPERSON: So are you reasonably
12 confident that the TCLP test is fairly predictive of
13 long-term leachability?

14 MR. SHOSKY: Well, I believe it is. I
15 mean, the controversy over the TCLP test has been going
16 on for almost -- I started with EPA in 1980. The
17 hazardous waste regulations came out 1981. It's been a
18 controversial item for 25 years and the EPA hasn't
19 changed it. The only thing that they did come out with
20 that's a reliable additional test method is the one that
21 Mr. Kaiser had mentioned, which is a synthetic leaching
22 process.

23 MR. KAISER: And just to add to that, that
24 the STLP test has been in use since the early to mid-90s.

25 THE CHAIRPERSON: If I can just get back

1 to this issue of which comes first, the containment or
2 the -- which is the primary remediation approach, the
3 monolith or the containment when you're looking at the
4 Tar Ponds -- let me back up here.

5 Right now, in terms of the contaminants in
6 the -- the current situation in the Tar Ponds, without a
7 barrier at the mouth, is it fair to say that the main
8 pathway for those materials to get out of the Tar Ponds
9 and into the environment is basically through physical
10 movement of the sediments themselves? That's the issue
11 that you need to remediate, that those -- the
12 contaminants are not particularly soluble and not moving
13 into the water column.

14 MR. POTTER: That is correct. The
15 current situation is that the migration into the harbour
16 is a physical one, that it is the tidal and storm surge
17 flushing of sediments, you know, bound with a contaminant
18 going out into the harbour.

19 We're addressing that in, I guess, a step-
20 wise fashion. The first step is the barrier, albeit the
21 barrier has an opening in it, the 50-meter opening. We
22 then progress to the channelization to get the water
23 courses through there.

24 And then back to our monolith issue, I
25 think it's clear, and we have to be clear to understand

1 the existing condition we have it at today to where we're
2 going to arrive at the final environmentally managed
3 site, that's the rationale behind it, but the driving
4 force behind developing the monolith was to give us the
5 material that we could put a cap on.

6 THE CHAIRPERSON: Thank you.

7 DR. LAPIERRE: Thank you. I'd just like
8 to follow up on that. If you look at the process you're
9 going to go through in solidifying in order to keep your
10 cap -- because if I listened to what you've said and what
11 Environment Canada has indicated that the containment is
12 -- the chemicals are fairly well contained on the under-
13 burden and they're not moving -- so once you get that
14 wall at the end built, so you're not going to get that
15 opening to the sea, and you get your channelization and
16 you're moving your water along -- this could be a stupid
17 question, but if you took the water off the pond,
18 couldn't you just put a shallow cement cover and then put
19 your cap? You wouldn't go through the -- you wouldn't
20 need to go through all the process of digging and
21 stirring and re-sedimentation.

22 Do you need that solidification to go that
23 deep to get that work done?

24 MR. POTTER: I think I missed a little bit
25 of it there. You're a little bit far from the mike, but

1 ---

2 DR. LAPIERRE: I guess if you just took
3 the water off the pond -- you have water out there now --
4 you have a bed of contaminants that you have all
5 indicated is not migrating. Could you just put a cement
6 cap on top of that and then put your -- why do you need
7 to dig it just to solidify it down to 15 feet? Couldn't
8 you just solidify on top of what you have if it's stable,
9 not moving? You've got a very contained wall. I
10 understand the wall is very important at the end.

11 MR. POTTER: Okay. I'll ask Mr. Shosky to
12 explain the rationale for, you know, going with the full
13 monolith, if you wish.

14 MR. SHOSKY: When we picked up the
15 opportunity to do the predesign engineering on this, the
16 original plan was indeed to go in and only stabilize the
17 first metre or so of material out there. And based on my
18 experience on other sites, without going the full depth
19 to do the -- and stabilize the whole thing, you always
20 stood the chance that the top would crack. There might
21 be some differential settling that took place that may
22 cause material to come up to the surface, thus creating a
23 lot more maintenance problems for you long term. And
24 where you've seen stabilization fail in the past is where
25 those things were not taken into account.

1 And given the fact that the incremental
2 cost to go ahead and do the entire column of sediments
3 down to the till was not that great in comparison to the
4 -- some of the other activities that were going on, it
5 just made sense to us to go ahead and stabilize that for
6 the full thickness, but the original -- some of the
7 original work that you saw done by some of the earlier
8 reports were only recommending that, and it's still
9 something that, you know, people ask us about.

10 DR. LAPIERRE: I guess if you consider now
11 -- if you consider full encapsulation, by going into that
12 depth, you're going to re-suspend some of the PCB
13 sediments that are in there, which are, from what I
14 understand, fairly stable at the present time.

15 If you only went on the surface, you
16 wouldn't be touching those.

17 MR. SHOSKY: It's just differential
18 settling issues again where you're going to have a lot
19 heavier material created that could potentially crack and
20 cause these materials at the bottom, because of putting
21 pressure on them, to come back up and surface at the top.

22 MR. POTTER: I think we'd also be putting
23 a significant limitation on future use of the property as
24 well, which is, you know, a consideration we are looking
25 at.

1 So again, the monolith, the full depth
2 monolith S/S does allow us to have, you know, a sense of
3 confidence in the -- you know, the usable strength of
4 that material afterwards for potential future uses.

5 DR. LAPIERRE: Yeah, but if my shallow
6 cement was sidewalk strength, you could use it for
7 anything right away.

8 MR. CHARLES: Just a follow-up question on
9 the purpose of the monolith and the stabilization.

10 When I first read the EIS, it talked about
11 doing the stabilization and solidification in order to
12 support the equipment that was going to have to work on
13 the top. And now today Mr. Potter has said that really
14 they just wanted to get the sludge together in a more
15 firm consistency so they can put a cap on it.

16 So my question is, leachability, is that
17 just a happy byproduct benefit of doing the S&S. You
18 know, my first thought was that it was one of the main
19 things -- the reason why you were doing this, you wanted
20 to bind the stuff more closely together so it wouldn't,
21 you know, migrate and that sort of -- is that not a
22 factor?

23 MR. SHOSKY: The -- it all works together
24 in -- all the pieces work together in conjunction. We
25 know right now that materials do not leach or they meet

1 the leaching criteria if nothing is done with them.

2 Once we do anything with them, we want to
3 make sure that it still at least meets the same criteria
4 from a leaching perspective that we started with. We
5 don't want to create a worse problem by, you know, adding
6 something of the wrong pH or whatever in order to cause a
7 problem.

8 So we ran the leaching test. It matched
9 up with what it was -- with what we were having before.
10 And the strength of the materials with the selected
11 additives that passed the test were much greater that
12 allowed us to then, you know, further develop those
13 properties and have these -- have this monolith that
14 stands on its own.

15 Did that help?

16 MR. CHARLES: Well I guess, you know, in
17 my own simplistic way, I was trying to figure out whether
18 reducing leachability was going to be a byproduct of this
19 S&S and whether it was one of the reasons for doing it or
20 -- because I heard today that the main reason was to
21 support a cap.

22 So is there another benefit there that
23 you're going to take if you get it?

24 MR. SHOSKY: It's an added bonus.

25 MR. CHARLES: It's an added bonus.

1 MR. SHOSKY: It's an added bonus, the fact
2 that it's less -- almost two orders of magnitude less
3 permeable than it was before. Stabilization is a bonus
4 because the hydraulic conductivity will change from, you
5 know, ten to the minus four, ten to the minus five, to
6 now ten to the minus six, or in some of our testing, up
7 to as high as ten to the minus eight.

8 So it's going to become less permeable to
9 water, less leachable, less available into the
10 environment all the way around.

11 MR. CHARLES: Yeah, that's what I thought
12 I read in the EIS, and I just wondered why it wasn't
13 being mentioned, I suppose.

14 What about the impact of salt water? Is
15 there going to be any need for any particular treatment
16 of your cementing mixture in order to take care of that
17 problem?

18 MR. SHOSKY: Currently I don't see that as
19 being a problem. Based on the discussions that we've
20 been having over the last couple weeks, we'll look at
21 that in a lot more detail during the detailed design
22 phase, but in the areas where I've used stabilization
23 where there is salt water, it hasn't posed a problem, but
24 then some of those sites have only been closed for, you
25 know, ten years or so.

1 MR. CHARLES: Thank you, Mr. Shosky.

2 DR. LAPIERRE: A few questions on the
3 monolith again. You're going to dig these football-size
4 holes. I mean, that seems to be what I gathered from the
5 size. They're quite big which you're going to, you know,
6 excavate.

7 How will those be stitched together? I
8 think I asked the question already, but I'm not so sure
9 on the answer.

10 If you're going to make -- put sheet
11 piling around those and dig that hole out and cement it,
12 how will they stitch together with the remaining
13 monolith?

14 MR. SHOSKY: Once the channel is installed
15 with the sheet piling that's installed, the other sheet
16 piling will come almost perpendicular to that channel
17 sheet piling and will be locked in together with that
18 sheet piling that's forming the channel, and then it
19 would go all the way to the banks.

20 And we would have a couple of these cells
21 built at a time, so that when it got time to pump off
22 water, we would remove the water that is in that area and
23 pump it into the next cell until we got near the bottom
24 where the water may be a bit more murky, and then it
25 would be treated prior to discharge.

1 DR. LAPIERRE: Okay. So the cells would
2 all be linked together through the sheet piling.

3 MR. SHOSKY: Yes.

4 DR. LAPIERRE: The other question I have,
5 with the size of these football fields -- and we heard
6 some discussions over the last couple of days with
7 various gasses that could be emitted when you do the work
8 -- would it not be more prudent for these gas control
9 odours or whatever that you have to control -- I know you
10 could maybe put a big tent over the entire football area
11 size -- it's doable, but wouldn't it not be more feasible
12 to do it on a small -- with the augers system, a smaller
13 scale? I guess if you had a problem, you could easily
14 correct it. If you've got a big hole, it's maybe more
15 difficult.

16 MR. SHOSKY: Right. The concern I had
17 over the augers was two fold. One was going in and
18 redrilling areas in order to get the proper overlap that
19 you need with auguring tools.

20 As I stated a few days ago, the cost break
21 point typically on these stabilization projects is about
22 eight metres, which is about the length a track excavator
23 can reach. Anything shallower than that is typically
24 dealt with with traditional excavation equipment, and the
25 deeper stuff is usually done with auger systems.

1 But more importantly, I guess, in my mind
2 is this issue of odour control. And I have a bit of a
3 story to tell.

4 I showed a picture the other day of a
5 project that I did in Melbourne, Australia. It was a
6 very large environmental project and it was right near
7 downtown Melbourne.

8 I was sitting with the Mayor of Melbourne
9 one day, and he told me, he said, "Mr. Shosky, I want to
10 make sure that we do not smell any of this stuff in
11 downtown Melbourne." And I said, "Okay." I pulled out
12 my calculator and I did a calculation. And I said,
13 "It'll be an additional twenty million dollars
14 (\$20,000,000) not to smell anything in downtown
15 Melbourne." He came back to me and he said, "What if it
16 smells just a little bit?"

17 In the way -- just to illustrate the fact
18 that the odour issues can be controlled, but a total
19 absolute -- total containment of odours is very expensive
20 and is used only when it's necessary to have it done.
21 And what we would be doing out there during that mixing
22 process is to be able to come in and use more traditional
23 items like foaming agents and things like that that we
24 would use during the stabilization process.

25 MR. KAISER: Dr. LaPierre, if I could just

1 clarify. I wasn't sure on your question. Did you think
2 that the whole Tar Ponds site would be one big open hole,
3 or just the whole football field area would be one big
4 open hole?

5 DR. LAPIERRE: Just a football field. One
6 at a time. Many football fields, one at a time.

7 MR. KAISER: Okay. It would be one at a
8 time, but there's certainly a lot of opportunity for us
9 to employ or control measures within that boundary or
10 within the football field area. The whole thing wouldn't
11 be undergoing a construction activity at one time.

12 DR. LAPIERRE: So you would have some very
13 specific guidelines as to when you initiate odour
14 control, for example?

15 MR. SHOSKY: That's correct.

16 DR. LAPIERRE: And how would those be
17 established?

18 MR. SHOSKY: During the early phases of
19 the project, there's usually a plan put in place.

20 In this case, it's called -- I believe
21 it's called the Environmental Management Plan -- where we
22 would have a variety of different air monitoring
23 equipment, some of it real time, some of it collected
24 over, you know, a 24-hour period, depending on what the
25 parameters are.

1 Then we would have very strict odour and
2 reading controls that as soon as those values were
3 exceeded, then we would implement odour controls, and
4 some of those odour controls could be simply adding
5 water, they could be chemical dispersants, they could be
6 foaming agents, they could be physically covering the
7 area with tarps.

8 A whole variety of different things going
9 into sequence when that starts. You could stop work.
10 There's a lot of different steps that we would go through
11 for that, which is what I commonly follow on a lot of the
12 urban sites I do with manufactured gas plants. It's very
13 rigorous.

14 MR. POTTER: I might add if I could just a
15 couple points, and then I'll ask Dr. Magee to add
16 something on the odour side. We did look at that in more
17 detail.

18 But back to the football or soccer field
19 size, that would be a size we would use for de-watering
20 purposes. We'd get control of an area that size, de-
21 water it. The actual physical area that we'd be working
22 in within that soccer field, football field, would be a
23 portion of that at any given point in time. It wouldn't
24 be actively working on a very very large football field
25 at that point.

1 And we did take a look at the air
2 emissions and odours, vapours, from working in the ponds,
3 and I'll ask Dr. Magee to address that. And I think he
4 might perhaps even have Dr. Walker assist him on that one
5 as well.

6 DR. MAGEE: Thank you very much, Mr.
7 Potter.

8 We certainly were concerned about the
9 vapour emissions that might come off of the facility of
10 the area when we're doing the stabilization, and we quite
11 rigorously evaluated that. The issue of temperature has
12 come up and we went to the literature and determined what
13 the top temperature was that has ever been observed when
14 stabilization has occurred. Fifty degrees centigrade is
15 what we heard.

16 So, we took the emissions that we measured
17 from our test field experiment and upped them with a US
18 EPA temperature factor to take it all the way up to 50
19 degrees centigrade.

20 And with all of that modelling we
21 certainly have found that health is not going to be an
22 issue. Benzene, the TPH components of the rest of the
23 BTEX family, naphthalene, methylnaphthalene, all of those
24 were modelled very rigorously using EPA standards and
25 procedures, as well as Health Canada procedures, and we

1 just do not predict anywhere near levels of those
2 constituents in the neighbourhoods that could cause a
3 health issue.

4 Might you smell them from time to time,
5 well that's a different story, because the levels are
6 much, much lower than you can detect with your nose. So,
7 there could be the potential to smell things, but we want
8 to just make sure everyone knows that when you smell
9 something, that doesn't mean that it causes an adverse
10 health issue. It does not.

11 DR. LAPIERRE: Smell can be associated as
12 a nuisance and a nuisance is, you know, a social factor
13 that people aren't always, you know, ready to accept, I
14 guess. There should be, at least, a guarantee that the
15 public should be well informed on the nuisance versus the
16 health aspect of odours, should they arise.

17 MR. POTTER: I might just add a bit to
18 that.

19 I think we've spoken about this before,
20 but we will have a complaint response system in place, as
21 well as, you know, advising the public of any planned
22 activity in the area. You know, there will be a
23 mechanism in place for the public to address any odours
24 and complaint nuisance factors that might arise during
25 the course of the work, and we'd expect and recognize

1 that's going to be important to the neighbour to make
2 sure if there is a concern coming up that we quickly
3 respond to it and if there are -- a need for it dealing
4 with, you know, applying, you know, suppressants or
5 whatever on the working area, we'll certainly look into
6 that, and that would be the purpose of the response --
7 complaint response system is to respond quickly to the
8 public.

9 DR. LAPIERRE: I have just one final
10 question.

11 Both Environment Canada, I think, DFO and
12 I think Natural Resource Canada all offered their
13 submission for additional modelling as it relates to the
14 prediction and the ocean -- harbour. Would you consider
15 -- have you considered undertaking the revision of these
16 models as expressed by DFO, Environment Canada and
17 Natural Resource Canada?

18 MR. POTTER: We are confident that when
19 the Environmental Management System is in place that we
20 are going to have a good control over what's going into
21 the harbour.

22 And also appreciate that, you know, we are
23 at the bottom end, if you wish, of a receiving water
24 discharge from a good part of the city. Our channels
25 that will discharge into the harbour will be receiving

1 material coming from -- throughout the rest of the city.
2 But in terms of the, you know, the discharge potential
3 coming from our site, I'll ask Dr. Magee to address that.
4 I'm sorry, Dr. Stephenson.

5 DR. STEPHENSON: It would certainly be
6 possible to do more modelling, but at this point I don't
7 particularly see the need.

8 I think the real focus or the need to
9 focus is on development of an acceptable monitoring
10 program that will lead to adapted management, so that if
11 project activities are leading to releases in water that
12 could be harmful to the environment that the project can
13 be modified, work can be stopped, additional mitigation
14 can be put in place before work starts again. I think
15 that's -- really the key need is to start talking about
16 mitigation and monitoring.

17 DR. LAPIERRE: So, rather than modelling
18 your answer is monitoring and mitigation. Is that it?

19 MR. POTTER: We'd like to clean it up and
20 -- get it cleaned and make sure that we are conforming.

21 Again, going back to what we refer to as
22 the three box model of -- Mr. Gillis indicated in one of
23 his presentations that, you know, you do your initial
24 assessment of what you think the problem is, and put your
25 solution in place and then -- and put in place the

1 monitoring, affirm that your assumptions were valid and
2 you've got, you know, a control over the situation.

3 DR. LAPIERRE: Thank you.

4 THE CHAIRPERSON: I think we need to take
5 a break now.

6 So, we're going to take a 20-minute break
7 and we will return at 3 o'clock. Thank you.

8 --- RECESS: 2:39 P.M.

9 --- RESUME: 3:04 P.M.

10 THE CHAIRPERSON: I'd like to get this
11 session under way again, please.

12 What we're going to do with the remaining
13 time, we had originally said that we would break at 4
14 o'clock. We'll probably continue -- we will extend the
15 session, if we have questions, till 4:30. We're
16 definitely going to break at 4:30.

17 We're going to begin -- the Panel does
18 have just a few more questions for the Tar Ponds Agency.
19 We are then going to turn to the Sierra Club and to Dr.
20 Ignasiak.

21 I don't know. I may have to toss a coin,
22 as to which party goes first. And each put in a request
23 earlier on for additional time to ask questions, so they
24 will each be given 20 minutes.

25 Ms. MacLellan has asked for additional

1 time and so Ms. MacLellan I'm going to provide you with
2 10-minutes for additional questions, and if you have
3 extra ones they could be placed in writing.

4 I will then open up the floor to other
5 people in the room who may have questions, and will do
6 basically rounds of single questions at that point, until
7 we get to 4:30 and then we will all go and take a break.

8 SYDNEY TAR PONDS AGENCY

9 --- QUESTIONED BY THE JOINT REVIEW PANEL:

10 THE CHAIRPERSON: So, just to begin with,
11 I'm going to start by with a -- I have a request rather
12 than a question for the Tar Ponds Agency.

13 And this relates to the fact that we now
14 have it clarified that you have identified an
15 alternative -- an additional alternative means of
16 carrying out the project and we've had discussion about
17 that this morning and -- sorry this afternoon, so you
18 gave a very brief description of how the tar cell and
19 Coke Oven Brook sediment would be stabilized as well as
20 capped, and we need more detail on this, since there's
21 very little about -- this option is not identified in the
22 EIS, so we need more detail, which we are asking you to
23 provide in writing, on what additional effects could be
24 created and how those would be mitigated.

25 And you have until midnight on Friday to

1 submit that in writing.

2 Is that clear, Mr. Potter. Any questions?

3 MR. POTTER: No, that's fine. Thank you.

4 THE CHAIRPERSON: Thank you.

5 MR. CHARLES: Mr. Potter, I don't know who
6 you want the field question I'm about to ask -- but
7 here's the question.

8 It's regard upset conditions on the
9 incinerator. I know that your group talked to
10 incinerator operators about what would be a reasonable
11 time to model or plan for upset conditions. But I wonder
12 have you made any contact with the regulators to
13 determine what they might consider to be a reasonable
14 time?

15 MR. POTTER: No, we mainly focused on
16 talking to operators. We haven't made any contact with
17 any of the regulators and the various other jurisdictions
18 where those incinerators would have been.

19 MR. CHARLES: I was interested in the
20 definition of technical feasibility from your point of
21 view or your teams point of view, in the context of -- do
22 you think something is technically feasible if it has
23 been carried out in a number of instances on a number of
24 projects, regardless of the consequences or the
25 efficiency of the operation or do you take into account

1 both of these things, the number of times the procedure
2 or process has been used, and how effective it was.

3 MR. POTTER: We use the definition
4 "technically feasible" to define -- I guess it is made up
5 of two components. One is that it is technically
6 suitable and the other is that it meets the aim of the
7 project.

8 On the technical -- I think the question
9 you're asking would fall into the category of technically
10 suitable, and that's where we would determine that, yes,
11 if a technology has been used in sites, similar to our
12 sites, or with conditions similar to our conditions, that
13 we would deem it to be technically suitable, proven.

14 MR. CHARLES: Technically suitable -- what
15 does "technically suitable" mean? Cost effective?
16 Within the cost budget or not innovative or what?

17 MR. POTTER: I think the technical is --
18 relates to the -- you know, the application of that
19 approach in other similar circumstance, in other similar
20 projects, that it meets the -- you know, it's suitable
21 for carrying out the objectives that we've determined for
22 the work on our project, which ties back again to -- we
23 would have looked at other locations where land farming
24 or capping or barriers or -- you know, the various
25 components would have been used.

1 So, it's ---

2 MR. CHARLES: So, what ---

3 MR. POTTER: Sorry?

4 MR. CHARLES: Sorry, would the two
5 elements then be part of it? That is looking at the
6 experience of the use of the technology in other places,
7 how often has it been used?

8 If it hasn't been used much, then you must
9 ask yourself why. If it's used a lot, you know, that
10 sounds good. But you also want to follow that up with an
11 assessment of how effective it's been. Stuff can be used
12 and not be very effective.

13 But normally you'd think if it was, it
14 wouldn't get used that much. So, maybe I've answered my
15 own question have I?

16 MR. POTTER: I was going to agree with
17 you.

18 MR. CHARLES: That's okay. Did you ever
19 get a response in writing from DEVCO regarding the letter
20 of intent in relation to the VJ property or the Salem
21 site?

22 MR. POTTER: We sent a letter to them,
23 April of '05 and the Board met, considered the request
24 and the Board, essentially -- our understanding is that
25 the Board has pretty much said, "Well, let's wait and see

1 what the outcome of the eventual, you know, progress of
2 the project."

3 At some point in time the project gets
4 firmed up, and we come back to them with, you know, a
5 follow-up to that. That's essentially where it sits
6 right now.

7 I think that's the response that DEVCO
8 gave when they came here as a presenter. They've
9 considered it, but there's been no formal response in
10 writing back to us.

11 We've simply been told that the Board of
12 DEVCO is aware of the request and will await us,
13 essentially, coming back to them.

14 MR. CHARLES: So they want to see the
15 procedure play out before they have to make any
16 decisions.

17 MR. POTTER: I suppose that's reasonable
18 on their part. You know, we simply -- there's a Letter
19 of Intent. We indicated that we may have an interest in
20 the land and they'll just await the outcome of, you know,
21 the eventual project description.

22 MR. CHARLES: Okay. Fine. Thank you.

23 DR. LAPIERRE: Mr. Potter, one of the
24 starting points of the human health risk assessment for
25 the incinerator was the Canadawide Standard and how they

1 reapply to the stack conditions.

2 The risk assessment demonstrated no
3 unacceptable level of risk for various contaminants, with
4 mercury being one exception.

5 For mercury, I believe, you are proposing
6 the emission criterion be reduced by a significant
7 factor. I don't quite understand why you did that, and
8 secondly, what makes mercury so specific to this project
9 or this project site?

10 MR. POTTER: I'll ask Dr. Magee to address
11 the first part of that question, and I think there could
12 be -- on the technical side of achieving that reduction,
13 I'll ask Mr. Shosky to just think about a response on
14 that part of it.

15 DR. MAGEE: Yes, thank you very much, Mr.
16 Potter.

17 We did start out with the Canadawide
18 Standard. We then did the total risk assessment by the
19 book with all the pathways and we found that the risk
20 levels even for the most sensitive receptors, which are
21 the toddlers at the farm who eat all of the food that we
22 talked about a few days ago, were several orders of
23 magnitude less than the Health Canada risk level that we
24 have to meet. So, that's fine.

25 When we did mercury we went through the

1 same exercise starting with the Canadawide Standard, but
2 because of the extreme levels of conservatism in the
3 models that do the transport and fate(?) of mercury,
4 assuming that a certain percentage of the mercury that's
5 emitted turns into methylmercury, which is the form of
6 mercury that then gets bioaccumulated into fish, and then
7 using the levels that get accumulated into the fish,
8 which are fairly close -- as you know Grand Lake is right
9 there -- so in some other location where a lake is
10 further away it might have a lower impact, but here the
11 levels in the fish, when we then laid over top of that
12 the high level of fish consumption that Health Canada
13 wishes for us to assume for an adult and a toddler, we
14 came out with a hazard index, slightly higher than the
15 goal that we had assigned to ourselves, which is a total
16 hazard index of 0.2.

17 So what -- then was to back off and say,
18 "Well, mercury is what's causing the whole issue for non-
19 cancer effects, what level do we have to get it down to,
20 in order to pass the risk assessment?"

21 I then asked engineers, "Can we reduce the
22 emissions below the Canadawide Standard by applying
23 appropriate technologies?" And they said, "Yes."

24 MR. SHOSKY: Dr. LaPierre, I'll just add
25 onto that, if you don't mind.

1 When the question got turned over to us,
2 there's two things we looked at.

3 One was the stat technology that we could
4 use to reduce the mercury emissions as part of the
5 emission controls, which we feel very comfortable with,
6 what we proposed in the IR to you.

7 But also of great importance to us was the
8 concentrations of mercury that actually goes into the
9 feed stock into the incinerator.

10 So, we have a set of parameters that we
11 would look at prior to feeding the material into the --
12 the feed stock material into the incinerator that would
13 also help make sure we didn't exceed the limits for
14 mercury.

15 DR. LAPIERRE: So the end result is, you
16 have a very low number to monitor at the stack, is that
17 it? 1.1, if I'm right, nanogram per cubic meters? Is
18 that what you're proposing for monitoring?

19 And I guess the question I would have is,
20 you're sure you can achieve that monitoring?

21 MR. SHOSKY: Through using the engineering
22 controls that I just talked about, which is monitoring
23 the concentrations going into the feed stock to begin
24 with, before you burn it, and then also ensuring that the
25 proper emission controls are on there, so that you're

1 treating the mercury vapours with the best available
2 technology, and yes, I believe we can meet those
3 standards.

4 DR. LAPIERRE: Okay, thank you.

5 THE CHAIRPERSON: That concludes the
6 Panel's questions this afternoon.

7 So, now we have additional questioning
8 from participants who had requested that beforehand.

9 So, Dr. Ignasiak and Sierra Club of
10 Canada. I have not determined who should go first. I
11 have no particular reason to choose one over the other.

12 Do you wish to negotiate that between
13 yourselves?

14 Please, I think it's -- since it's a
15 fairly long period of time, take a seat at the witness
16 table.

17 So, you have 20 minutes, Ms. May.

18 --- QUESTIONED BY THE SIERRA CLUB OF CANADA (MS.

19 ELIZABETH MAY)

20 MS. MAY: Thank you, Madam Chair, and
21 thank you for one of the last gasps of chivalry from Dr.
22 Ignasiak. Ladies first.

23 I want to ask a number of questions, with
24 your permission, of the Sydney Tar Ponds Agency
25 proponent.

1 I'd like to start with clarifying their
2 understanding of the Memorandum of Agreement.

3 I find some of the evidence about what can
4 be in and out and how prescriptive the Memorandum of
5 Agreement is to be a confusing area, and with your
6 permission, I'd like to ask, if we understand their
7 evidence from earlier today to be that technologies that
8 are listed in the Memorandum of Agreement can be omitted,
9 but nothing not mentioned can be added.

10 If I could just clarify that that's their
11 understanding of Memorandum of Agreement? Mr. Potter? I
12 don't know, Madam Chair ---

13 MR. POTTER: Yes, that would be correct,
14 Madam Chair.

15 MS. MAY: Okay. My subsequent questions,
16 having read through the Memorandum of Agreement and
17 having, at the time it was negotiated, been assured by
18 the Minister of Public Works who, at the time, was the
19 Honourable Stephen Owen, and by the Assistant Deputy
20 Minister of Public Works, Alphonse Cormier, that the
21 nature of the description of technologies was merely
22 illustrative, and was not meant to be prescriptive.

23 I'd like to ask the proponent if they have
24 a subsequent legal opinion that leads them to believe
25 differently than I was informed at the time by the

1 Federal Minister.

2 MR. POTTER: I guess our understanding of
3 the MOA relates back to our discussions with the Justice
4 lawyer who drafted the document.

5 And the indication -- the understanding we
6 have is that the elements in Section 1.2 are the elements
7 that are considered for, you know, the purposes of this
8 project. And as I've mentioned, you cannot add to those
9 elements, but you can remove an element.

10 But they are descriptive -- you know,
11 fairly descriptive. When you have these -- when you're
12 defining land farming and technology, the incineration
13 technology, the specific reference to it being a single
14 use dedicated facility, I thought it was fairly
15 prescriptive.

16 MS. MAY: Madam Chair, with permission, my
17 reading of the Memorandum of Agreement, and certainly
18 what was pointed to us at the time by the Minister of
19 Public Works, was the language, "Such as" was meant to be
20 illustrative and not prescriptive.

21 We probably won't be able to resolve it,
22 but I would like to know from the proponent if they have
23 anything other than their recollections of the drafting,
24 whether they have anything in the form of a legal opinion
25 with which they now say they cannot choose technologies

1 other than those that we were told at the time were
2 mentioned for purposes of description.

3 MR. POTTER: I don't think I can add to
4 that question.

5 MS. MAY: I'd like to turn now to the
6 coffer dam.

7 I just want to be -- to clarify that the
8 coffer dam is now, Madam Chair, not fully a dam, but will
9 remain forever with an opening at its mouth.

10 Is that the correct understanding of the
11 engineering?

12 MR. POTTER: No.

13 The coffer dam will have a temporary
14 opening during the staging of the remediation work.

15 The barrier -- Battery Point barrier will
16 be constructed with a 50 meter opening.

17 The channelization will follow behind
18 that, allowing for the rerouting of Coke Oven Brook and
19 Wash Brook to progress out through, past the barrier.

20 At the point that those brooks and the
21 channel is fully constructed, in essence, the barrier
22 will be closed for the purposes of the Sydney Tar Ponds.
23 They will only be open for the purposes of allowing
24 passage of water from Coke Oven Brook and Wash Brook.

25 MS. MAY: Is this coffer dam, Madam Chair,

1 also the same structure that earlier today was referred
2 to as a sea wall?

3 MR. POTTER: I think the undertaking --
4 there was reference to a sea wall.

5 We tend not to call it a sea wall. That
6 was probably the request that came from the speaker at
7 the time.

8 We refer to it -- it's been referred to as
9 a Battery Point barrier or a coffer dam.

10 MS. MAY: So, to clarify, then, there are
11 not two structures, one a sea wall and one a coffer dam
12 with an opening?

13 MR. POTTER: Correct.

14 MS. MAY: Okay. In the context of the
15 coffer dam, and what can be removed and what can be
16 added, we note that the Memorandum of Agreement at Table
17 1 specified a coffer dam. It did not specify it had an
18 opening.

19 And the public understanding at the time
20 was that this would be a full wall and barrier, from one
21 end of the opening at Battery Point to the other.

22 Was this subsequent change in the
23 understanding of a coffer dam something that required
24 renegotiating of the MOA?

25 MR. POTTER: No, I specifically went back

1 to the lawyers on the definition of the coffer dam
2 reference in the MOA, and the explanation provided to me
3 from the author was that the coffer dam was an
4 engineering structure to allow passage of water from the
5 two respective brooks to the harbour.

6 It was -- that was the understanding or
7 the purpose of the term coffer dam.

8 The physical engineering features of that
9 were immaterial.

10 It was a -- it was understood from a legal
11 perspective to be a structure to allow water to pass from
12 those two water courses out to the harbour, while at the
13 same time containing and retaining the sediment in the
14 Tar Ponds.

15 MS. MAY: Thank you, Madam Chair.

16 I guess, just to clarify, then, this is a
17 new definition of dam that will have a 50 meter opening.
18 Is that correct?

19 MR. POTTER: Not -- the interpretation I
20 received from Justice was that that would not be
21 inconsistent with the term in the MOA, that it conveys
22 the same meaning that there was a structure -- an
23 engineered structure placed across the opening of the
24 north pond to allow conveyance of water from the two main
25 brooks to Sydney Harbour, while retaining the sediments

1 in the pond.

2 MS. MAY: Madam Chair, turning to a
3 slightly different topic, which was part of the EIS that
4 Sierra Club of Canada believed was inadequately treated
5 by the proponent, are the future impacts of climate
6 change, particularly storm surges and sea level rise
7 relevant to this issue of a coffer dam with a 50 meter
8 opening.

9 Has the proponent modelled for increased
10 storm surges and sea level rise, increased extreme
11 weather events, and whether their dam with a 50 meter
12 opening will, in fact, provide any protection for their
13 monolithic structure?

14 MR. POTTER: I guess the preventative
15 works was the process that was used to assess the coffer
16 dam construction, which does address the question you're
17 bringing up today, that that coffer dam, Battery Point
18 barrier, was assessed through a separate process.

19 It's not currently part of this work that
20 we're reviewing today.

21 It was a preventative works project which
22 had a separate assessment which was completed six to --
23 several months ago.

24 MS. MAY: Madam Chair, I still am not
25 clear on the answer.

1 If -- given that the functioning of this
2 described coffer dam/sea wall is relevant to the
3 functioning of the SS monolith, can the proponent tell me
4 if they modelled for currently expected levels of sea
5 level rise, extreme weather events, and increased storm
6 surge impacts on the estuary?

7 MR. POTTER: During the preventative works
8 review of that project -- design of that project, those
9 factors were considered when building the barrier in
10 terms of designing it.

11 As we heard in testimony from --
12 previously from Environment Canada at the hearings, very
13 climatological people and another department -- the two
14 divisions within Environment Canada did look at this --
15 you know, the overall project in terms of rising sea
16 height and, you know, climate change, and deemed it to be
17 acceptable.

18 MS. MAY: My recollection of your EIS
19 document was to dismiss that it would not be a factor,
20 not that it was modelled.

21 I'm specifically asking if it was modelled
22 for, say, a one meter sea level rise, or whether it was
23 just examined and discarded.

24 MR. POTTER: It was not relevant, because
25 it had been addressed in the preventative work stage.

1 The barrier wall, effectively, was to address that
2 situation.

3 MS. MAY: Were they aware the barrier had
4 a 50 meter opening?

5 MR. POTTER: Yes.

6 MS. MAY: I'm wondering if I can turn to
7 another topic and ask the proponent, certainly it was
8 evidence from experts presented by Sierra Club of Canada
9 that it was a significant deficiency in the EIS that
10 there did not appear to be a contingency plan for failure
11 of solidification and stabilization.

12 I'm wondering if the proponent, in fact,
13 has such a contingency plan?

14 MR. POTTER: As we have identified in the
15 past, the design has a number of built in redundancies,
16 and we have early warning, if you wish -- early detection
17 systems in place to see if we are experiencing any
18 shortcomings of the design.

19 Again, if we wish, going back to the --
20 you know, the very original presentation on the opening
21 day when we described what we call the three box model,
22 we design it, we construct it, we monitor it to make sure
23 that we are -- you know, all the assumptions that we made
24 were -- are being achieved.

25 We've got the contingency in place in the

1 sense of all the monitoring to detect if there's a
2 problem, identifying it, and then implementing a solution
3 to it. But we do not expect there to be any problems.

4 MS. MAY: Madam Chair, I believe the
5 evidence from Dr. Lee was fairly straightforward, but
6 just to mention the proponent's own evidence earlier
7 today in answer to your questions, that the TCLP test is
8 now understood by the proponent to have its limitations,
9 and may be an issue that they are, I think, by my notes,
10 concerned about.

11 Do you not feel it would be appropriate to
12 have a contingency plan, given that you have your own
13 doubts about your ability to monitor failure?

14 MR. POTTER: The reference to the TCLP
15 methodology was that it was overly conservative,
16 producing a result stronger -- or over -- well, I guess
17 overly conservative in its design that the SPLP was a
18 more appropriate testing method for that.

19 Again, we are confident of the design.
20 We've got measures in place to confirm that the
21 assumptions that we made are accurate and they are
22 performing to their necessary criteria, and don't feel at
23 this point in time that there's a need for going beyond
24 that.

25 MS. MAY: So, the answer to is there a

1 contingency plan is no?

2 MR. POTTER: In -- that would be correct.

3 MS. MAY: Okay. Thank you.

4 We may just have missed this, Madam Chair,
5 so forgive me for asking.

6 We've been trying to find out if we, in
7 fact, have a response yet to the undertaking that was
8 made by the proponent to respond to our inquiry on PCB
9 delineation.

10 I just want to ask, if it's been turned in
11 to the Secretariat or the Panel, we'll find it, but we
12 haven't found it yet.

13 If it's still not available, we'd ask why
14 not.

15 MR. POTTER: Would we have a reference
16 number on that? We can start checking, but if we had an
17 undertaking number, it would help.

18 MS. MAY: Okay. I'll check for the
19 reference number, if we can find it.

20 Thank you.

21 THE CHAIRPERSON: I've been informed that
22 we don't have a specific reference to that undertaking in
23 the record, so we will get that sorted out.

24 Our Secretariat will speak with you
25 afterwards and then we will bring that back, as required,

1 okay?

2 MS. MAY: Okay. Oh, thank you.

3 We were attempting to ask for that in
4 earlier evidence when we were discussing the issues with
5 the proponent on, I believe, May 1st. We could double
6 check. I'm sorry, I should have had that with me, Madam
7 Chair.

8 If I could turn to some questions relating
9 to ambient air monitoring and the incinerator, Madam
10 Chair, we're looking to inquire whether the Proponent is
11 willing to conduct a rigorous safety plan to protect
12 public health by performing real time ambient air
13 monitoring in the community to measure the dust and
14 gaseous emissions from both the Coke Ovens cleanup and
15 the Tar Ponds cleanup. We have not yet heard a
16 willingness to do that and we'd like to ask the Proponent
17 if they are willing to do -- to commit to that.

18 MR. POTTER: We routinely do a real time
19 air monitoring around all activities we carry out.

20 MS. MAY: I think evidence is to the
21 contrary but I'll move on. Would you be willing to then,
22 turn your ambient air monitoring system over to an
23 independent air monitoring contractor, separate from the
24 Agency?

25 MR. POTTER: We do it that way now.

1 MS. MAY: Will the Proponent be developing
2 a dioxin blood monitoring protocol for incinerator
3 workers?

4 MR. POTTER: We have a standard master
5 health and safety plan which requires monitors for all
6 the workers, even for our own staff that is not currently
7 part of the monitoring that we undertake at this time for
8 worker monitoring.

9 MS. MAY: So would you be -- would the
10 Proponent be prepared to commit to adding to the
11 biological monitoring of workers, a routine dioxin blood
12 monitoring protocol, particularly for incinerator
13 workers?

14 MR. POTTER: We would rely on the advice
15 from the necessary occupational health and safety
16 regulative to advise us on what should be appropriately
17 included in a monitoring program?

18 MS. MAY: Turning back to the MOA of May
19 12th, 2004, there's a cap of four hundred million dollars
20 (\$400,000,000) placed on the costs of the project. And
21 if it exceeds that to go back to both levels of
22 government to negotiate any substantial cost overruns. I
23 was wondering if the Proponent based on the evidence of
24 Dr. Li has had cause to reconsider whether this project
25 can possibly be remediated using the technology choice of

1 the Proponent at a cost of four hundred mill and given
2 that they can't walk away at the end of 25 years?

3 MR. POTTER: We are confident the four
4 hundred million dollars (\$400,000,000) will adequately
5 allow us to implement the project as designed. I think
6 we've addressed in the past that there is no walk-away
7 after 25 years. There will still be a retained ownership
8 and liability issues for the property and if there's a
9 need for continued monitoring that would likewise carry
10 on beyond the 25 years.

11 MS. MAY: Madam Chair, has the Proponent
12 run any cost estimates on additional costs of additional
13 remediation either within the 25 year period or after for
14 removal of the polyethylene plastic walls or for repair
15 of pumping and treating systems? Has any of that been
16 costed?

17 MR. POTTER: If we get clarification after
18 the 25 years?

19 MS. MAY: Within or after, for failure of
20 the system to pump and treat, for failure of the walls to
21 function.

22 MR. POTTER: All the long term maintenance
23 and monitoring costs are built in to the four hundred
24 million dollars (\$400,000,000). We have a limited
25 synthetic liners that you're referring to that would be

1 used in the project. Most of our barriers are going to
2 be natural clay barriers but ---

3 MS. MAY: So Madam Chair, maybe I should
4 rephrase that. Do the costs of monitoring within the 25
5 year period include contingency funds for catastrophic
6 failure of the system, failure of the pump and treat
7 system, failure of the walls, the need to re-excavate and
8 rebuild sections of your barriers or of your monolith?

9 MR. POTTER: Yes, the MOA addresses that.

10 MS. MAY: How much of a contingency fund
11 exists for failure of the system within your costing?

12 MR. POTTER: The MOA would require the two
13 parties to go back and re-evaluate the -- if there were
14 to be any unforeseen or catastrophic incident that may
15 occur the two parties would go back to determine the
16 solution to a potential problem. And the associated
17 costs would be negotiated between the two parties. That
18 is, again, addressed in the MOA.

19 MS. MAY: Madam Chair ---

20 THE CHAIRPERSON: You have two more
21 minutes.

22 MS. MAY: Okay. I must have misunderstood
23 Mr. Potter's earlier answer. I understood his earlier
24 answer to be that within the four hundred million there
25 were contingency funds to cover an eventuality such as

1 failure of the system. His subsequent answer appears to
2 me to suggest that there are not such funds and he would
3 -- they have to go back to both levels of government to
4 negotiate that. I just would like some clarity on the
5 question of costs built in to the four hundred million
6 for failure of the system to function as they are so very
7 confident it will.

8 MR. POTTER: I believe the distinction in
9 my answer relates around the word "catastrophic". Built
10 into the four hundred million dollars (\$400,000,000) is
11 the expected maintenance of pumps failing, replacing
12 pumps, new switches, whatever. If there was a
13 catastrophic event, which again we are not expecting, the
14 MOA addresses that. It would be dealt with separate from
15 the four hundred million dollars (\$400,000,000) that
16 we've identified in the budget today.

17 MS. MAY: Given time, Madam Chair I'm not
18 going to get into another line but thank you very much.

19 THE CHAIRPERSON: Thank you, Ms. May. Dr.
20 Ignasiak.

21 --- QUESTIONED BY DR. LES IGNASIAK

22 DR. IGNASIAK: One technical question,
23 clarification. Can I proceed? I understand that at
24 certain points the Proponent mentioned that maximum
25 temperature for the solidified sediment based on some

1 sort of modelling is going to be about 50 centigrade so
2 it's not going to exceed 50 centigrade. My question is,
3 was this modelling done for Portland Cement for lime, for
4 a mixture of both and if yes, what mixture? And for what
5 concentrations?

6 MR. POTTER: I'll ask Dr. Magee to respond
7 to that.

8 DR. MAGEE: Yes, we've been told that
9 Portland Cement is the likely recipe and when looked in
10 the literature we found 50 degrees to be the highest. We
11 certainly know that if you use limestone you can probably
12 get higher temperatures but given the assumption of
13 Portland Cement, 50 is what we found in the literature.

14 DR. IGNASIAK: Thank you very much. In
15 response to Panel's information request, IR-42 the
16 Proponent stated the soils contaminant that was
17 byproducts of MGP plants located in Columbia, Georgia;
18 Cambridge, Massachusetts; Appleton, Virginia, and
19 Augusta, Georgia were remediated using solidification
20 stabilization. Does the Proponent acknowledge that it
21 misinformed the Panel and that the soils contaminated
22 with by products of MGP plants were excavated and
23 disposed of, treated off site and that solidification
24 stabilization was supplied only to soils that were
25 impacted by leachates and not by MGP plants byproducts?

1 MR. POTTER: Give us a moment, Madam
2 Chair. I think we're pulling up a reference here. So --
3 we believe the reference that we cited in that example
4 addresses in a broad sense that there was contamination
5 -- it was being addressed by solidification and
6 stabilization and that our response was appropriate.

7 DR. IGNASIAK: On October 14th, 2004 the
8 Minister of Nova Scotia Department of Transportation and
9 Public Works issued a written statement that, I'm
10 quoting:

11 "Solidification and stabilization has
12 been safely and effectively employed
13 in hundreds of remediation projects
14 involving contaminants found on the
15 Tar Ponds and Coke Oven site."

16 Does the Proponent acknowledge that it
17 provided the Minister with incorrect information. That
18 in fact, there is no one site that even remotely
19 resembles the Tar Pond and that has been remediated using
20 solidification stabilization treatment?

21 MR. POTTER: Madam Chair, I don't have the
22 reference in front of me and I think I heard it correctly
23 if it's attributed properly to the Minister, he was
24 referring to solidification and stabilization was applied
25 on sites that had similar contaminants. I don't think

1 the reference was that they were exact or I think the
2 reference was in the broader sense that there were
3 hundreds of sights where solidification and stabilization
4 has been employed.

5 DR. IGNASIAK: On May 5th, 2004 Mr. Parker
6 Donham, spokesperson for the Agency stated -- I'm
7 quoting:

8 "With encouragement from Environment
9 Canada, Jack promotes a Cadillac
10 cleanup solution with dubious
11 feasibility and affordability. In-
12 house risk analysis carried out in
13 the last three weeks concluded the
14 actual cost will approach dollars
15 one billion."

16 End of the quote. Does the Agency
17 acknowledge that the statement made by Mr. Donham is
18 incorrect and the cost estimate Mr. Donham refers to was
19 generated already prior to June 5th, 2003 and originates
20 from Public Works Government Services Canada?

21 MR. POTTER: Could I ask for a copy of the
22 reference that Dr. Ignasiak's referring to?

23 DR. IGNASIAK: Actually, can I respond?

24 THE CHAIRPERSON: Yes, could you indicate
25 where ---

1 DR. IGNASIAK: Actually, the information
2 -- details of this information were tabled by TDE. TDE
3 was the Panel. Can I proceed?

4 THE CHAIRPERSON: Dr. Ignasiak is
5 indicating that it's part of the presentation, the
6 written submission that was tabled from TDE. So it's in
7 there.

8 DR. IGNASIAK: Correct. It's a written
9 submission that was provided by the end of April. I
10 don't remember exactly the date but it was end of April.

11 THE CHAIRPERSON: Do you wish to respond
12 to that now, Mr. Potter?

13 MR. POTTER: It's difficult without having
14 the exact document in front of me. I'm not perfectly
15 clear what the question is in relation to the document
16 but I would have preferred to have the document here
17 available to review before responding.

18 DR. IGNASIAK: Thank you. Over the period
19 of August, 2003 and May, 2004, the Proponent received
20 from TDE numerous letters informing the Proponent that
21 the cost of RAER option 3 estimated at five hundred
22 twenty-one million could be reduced to three hundred
23 ninety-two million plus minus five percent and at the
24 same time the effectiveness of this RAER option 3 could
25 be significantly in-housed. Does the Proponent

1 acknowledge that early in 2004, TDE notified the
2 Proponent that it is ready to guarantee the three hundred
3 ninety-two million plus minus five percent cost estimate.
4 Has the Proponent ever responded to any of the letters
5 received from TDE?

6 MR. POTTER: The correspondence, I
7 believe, if I could get clarification who was the
8 correspondence addressed to?

9 DR. IGNASIAK: The ESI will provide this
10 information right now. This correspondence was between
11 the President of TDE, Mr. Tony Rojeck and Mr. Campbell,
12 who was I believe at this time the executive director of
13 the Agency.

14 MR. POTTER: I can't respond if Mr.
15 Campbell did reply to the correspondence. I will
16 indicate that at that point in time we were not in a
17 tendering process for the project and we were not
18 entertaining tenders from any vendors at that point.

19 DR. IGNASIAK: Well, could I bring to
20 Proponents attention that at this time the most important
21 issue was really the cost and the cost was discussed
22 extensively between the Federal and the Provincial
23 Government and the Federal Government encouraged all the
24 interested parties to actually provide information to the
25 Agency on the subject of cost estimates.

1 MR. POTTER: Is there a question?

2 THE CHAIRPERSON: Yes, are you asking a
3 question there, Dr. Ignasiak or is that as a ---

4 DR. IGNASIAK: Well, I'm providing
5 explanation that this sort of information exchange was
6 going on.

7 THE CHAIRPERSON: Could I ask a question
8 of clarification. You just said that who was encouraged
9 to send cost estimate information to the Agency at that
10 stage and by whom?

11 DR. IGNASIAK: Madam Chair, since 2002,
12 when the technology demonstration program was completed
13 and six different companies were taking part in this
14 technology demonstration program, there was obviously
15 some or there should be some exchange of information
16 regarding how the technologies were working, how much
17 they were being costed. As far as I know, TDE took a
18 very active approach and contacted on a number of
19 occasions the Agency as well as different departments of
20 the Federal Government. The different departments of the
21 Federal Government specifically the department of Public
22 Works and Government Services Canada, the chief
23 negotiator for the project encouraged TDE to go directly
24 to the Agency as well as the Minister of Nova Scotia
25 Transportation and Public Works. The letters were

1 written. I am informed that they were never answered
2 except for two letters from the Minister. I presume that
3 probably Frank doesn't have this information, so perhaps
4 I could go to the next question.

5 THE CHAIRPERSON: Yes, please, Dr.
6 Ignasiak.

7 DR. IGNASIAK: Thank you. On July 22nd,
8 2004 TDVTD (sp) received a letter from the federal chief
9 negotiator for the May 12th, 2004 MOA signed in Sydney
10 stating that, in this letter -- I am quoting:

11 "The Province of Nova Scotia will be
12 the lead for the implementation and
13 management of this project."

14 In view of that, I am somehow puzzled why,
15 according to June 5, 2003 document -- which I am having
16 right in front of me -- and this is a document which I
17 understand was tabled with the Secretariat a few days
18 ago, and it's entitled "Public Works and Government
19 Services Cost Estimates Review Sydney Tar Ponds Options,
20 June 5, 2003."

21 Are we aware of the existence of this
22 document?

23 MR. POTTER: Yes, we are. I believe that
24 was the testimony that was provided by Public Works and
25 Government Services Canada. They acted as a support

1 department to the federal department who was leading the
2 project at that time and provided costing information to
3 the respective department, in this case being Environment
4 Canada.

5 DR. IGNASIAK: Yeah. I ---

6 MR. POTTER: And that ---

7 DR. IGNASIAK: Sorry.

8 MR. POTTER: That information was provided
9 to us.

10 DR. IGNASIAK: I obtained a copy of this
11 document only two days ago. I have never seen that
12 before.

13 When I managed to review the document one
14 thing that surprised me, among many things, is that based
15 on this document \$78 million dollars was to be paid to
16 Public Works and Government Services Canada for managing
17 Option 3 while the chief negotiator says clearly in the
18 letter directed to TDVTD (sp) that the management of the
19 project is totally the responsibility of the Government
20 of Nova Scotia.

21 THE CHAIRPERSON: And your question, Dr.
22 Ignasiak?

23 DR. IGNASIAK: Well, can I get some
24 information regarding this \$78 million dollars to be paid
25 to Public Works and Government Services Canada for

1 managing the project?

2 MR. POTTER: It is a Public Works and
3 Government Services Canada document and the question is
4 relating to a figure that I -- I don't have the document
5 in front of me here.

6 Perhaps the question is best directed to
7 Public Works and Government Services Canada, the author
8 of the document, and that can be done at any time outside
9 of this process.

10 DR. IGNASIAK: Thank you very much. Under
11 the circumstances, I will skip most of the questions
12 which are related to certain cost estimates in this
13 document. These are very, in my opinion, relevant
14 questions regarding this hearing. I will only mention
15 one which really caused me laughing.

16 Regarding the same document, can the
17 Proponent explain why an additional two million, two
18 hundred fifty thousand dollars (\$2,250,000) was added to
19 the cost of analyzing PCBs in the soil of Coke Ovens Site
20 when it is well known that those soils do not contain any
21 PCBs?

22 THE CHAIRPERSON: Is this again a
23 reference to -- is it in the documents ---

24 DR. IGNASIAK: This is a reference ---

25 THE CHAIRPERSON: --- from Public Works?

1 DR. IGNASIAK: Yes, in the same documents.

2 THE CHAIRPERSON: Well, I don't know. Mr.
3 Potter, do you have a response to that, or again is that
4 something for Public Works and Government Services
5 Canada?

6 MR. POTTER: It's best that the question
7 is answered by Public Works, I think. They authored the
8 document. I'm sure I could go back and find a copy and
9 try to interpret it, but I think the best response is for
10 the authoring department to respond to the questions.

11 THE CHAIRPERSON: Dr. Ignasiak, do you
12 wish to provide your written questions to the Panel
13 Secretariat? The ones that you have not asked, I mean.

14 DR. IGNASIAK: Yes, I will prepare those
15 questions in a written form. Thank you very much. That
16 actually concludes my questions. Thank you very much.

17 THE CHAIRPERSON: Thank you, Dr. Ignasiak.
18 Ms. MacLellan?

19 --- QUESTIONED BY CAPE BRETON SAVE OUR HEALTH CARE

20 COMMITTEE (MS. MARY-RUTH MACLELLAN)

21 MS. MACLELLAN: Don't get scared of all
22 those videos. I'm not going to address them all here.

23 In the interest of time and fairness to
24 the other people who wanted to ask questions, I think
25 I'll perhaps try to ask three or four questions and then

1 pass it over, and I will submit the other questions in
2 writing, Madam Chair, and I would ask that the Tar Ponds
3 Agency respond to both the Panel and our Health Care
4 Committee as well in writing within a reasonable length
5 of time, possibly by Friday.

6 THE CHAIRPERSON: Well, just a point of
7 clarification. The Panel cannot receive any additional
8 material after the end of Friday. So, yes, Friday is the
9 final date for anyone to make a submission.

10 MS. MACLELLAN: If it's not provided,
11 would you just reflect in your records then that I have
12 asked for the answers in writing signed by the
13 appropriate people.

14 THE CHAIRPERSON: We now have that on
15 record.

16 MS. MACLELLAN: Through you, Madam Chair,
17 my first question is to Frank Potter.

18 Mr. Potter, you said on CBC Radio -- I
19 think it was the day after Kipin presented their
20 presentation -- "It is too late for new technologies,"
21 and that was your exact quote.

22 Does this mean that contracts for
23 incineration and encapsulation, et cetera, et cetera, are
24 already signed? If not, how could it possibly be too
25 late for technologies? If they are, where does this

1 Panel fit in, then?

2 MR. POTTER: There have been no signed
3 contracts. The reference was to a new technology other
4 than a technology defined in the project that we have
5 before us.

6 Again, I guess, going back to Section 1.3
7 of the MOA, we can't put a new technology into the mix at
8 this point in time.

9 MS. MACLELLAN: That doesn't make sense to
10 me. Then why are we doing a public hearing, Madam Chair?

11 MR. POTTER: The Impact Assessment is to -
12 - the Impact Assessment document we produced is to review
13 all the potential environmental impacts of the work we've
14 proposed, and that's what we're reviewing currently in
15 the past three weeks.

16 MS. MACLELLAN: You talked about the soil
17 samples and the testing prior -- I think it was Sierra
18 Club who had some questions about your testing.

19 Who did your testing, and were all the
20 samples tested?

21 MR. POTTER: Over the past eight years I
22 couldn't begin to even estimate how many samples we've
23 taken. I guess we'd need some more specific direction or
24 information on which samples you're referring to.

25 MS. MACLELLAN: Who did your testing in

1 2001, then?

2 MR. POTTER: In a specific geographical
3 area we would be doing -- in 2001, would have been doing
4 a fair bit of sampling in the ponds, the Coke Ovens, air
5 monitoring samplings.

6 MS. MACLELLAN: These would have come from
7 the Coke Ovens.

8 MR. POTTER: That would have been the firm
9 of JDAC we referred to throughout the document. Jacques,
10 Dillon, ADI and CBCL is the acronym, that's a company
11 that was formed for that work. It was part of the Phase
12 2 and 3 site characterization or site assessment work.

13 MS. MACLELLAN: Are you satisfied with the
14 testing results and satisfied that they tested all the
15 samples?

16 MR. POTTER: Yes.

17 MS. MACLELLAN: Madam Chair, I would like
18 to enter into the record a videotape that shows samples
19 that were found outside the JDAC building lying on the
20 ground very accessible to children and they were very
21 lethal. It's only about three minutes long. I'm not
22 going to show it to you but I'm going to leave it with
23 you.

24 My next question, Madam Chair, is does Tar
25 Ponds Agency have any intention to acquire the ownership

1 of the Mullins Coal Bank? If so, who will produce the
2 Environmental Impact Statement and who will remediate it?

3 MR. POTTER: Currently the Province is in
4 the process of acquiring the Mullins Bank property
5 primarily for the purposes of redirecting Coke Ovens
6 Brook through that -- around the Coke Ovens Site.

7 The Province will retain responsibility
8 for the property. The remediation work taking place on
9 the Coke Ovens, including Mullins Bank, is part of this
10 current Environmental Impact Statement review.

11 MS. MACLELLAN: So, who's doing the Impact
12 Statement, you or DEVCO?

13 MR. POTTER: The review right now for this
14 overall project is being carried out by us, by the Sydney
15 Tar Ponds Agency, in consultation with ---

16 MS. MACLELLAN: So, will you be
17 remediating it?

18 MR. POTTER: That's part of the current
19 review. The plan right now is that there is not a need
20 for remediation on the Coke Ovens Site -- on the Mullins
21 Bank Site specifically based on the, you know, modelling
22 and the risk assessment work that's been carried out to
23 date by the work that JDAC first did through the 2001/
24 2002 sampling program.

25 MS. MACLELLAN: Madam Chair, I have

1 attached to this question a letter from Dr. Argo who had
2 a conversation with Mr. Wilf Kaiser about the Mullins
3 Coal Bank in which he said that it would be removed by
4 the spring.

5 And I'm not going to speak -- or read the
6 whole letter in right now, I'm going to leave it with you
7 for you people to have a look at and perhaps they can
8 answer it better when they see the letter as well.

9 MR. POTTER: I believe, Madam Chair, we
10 understand the nature of the letter. During the course
11 of re-routing Coke Ovens Brook on Mullins Bank it appears
12 that we have encountered what would probably be best
13 described as a former stream bed that would have been
14 filled in back in the past 100 years that the site would
15 have operated.

16 During the course of re-routing the brook
17 we encountered the exposed coal which was -- at that
18 point in time had not been identified. It's a small,
19 narrow channel that had been backfilled.

20 Our intention is to very shortly address
21 that with the resumption of work on the Coke Ovens Site.
22 With the re-routing of the brook that coal will be
23 removed and the embankment around the brook reinstated.

24 THE CHAIRPERSON: So, Mr. Potter, this is
25 work that was not identified in the EIS, this is

1 something you discovered after submitting the EIS, is
2 that what you're saying?

3 MR. POTTER: Yes. It was not -- that part
4 -- that work was not dealt with in this EIS, it was --
5 the preventative -- the Coke Ovens Brook realignment was
6 part of, again, the review of the -- screened -- assessed
7 through the preventative works for the Coke Ovens Brook,
8 and that's how that work is -- that current work is being
9 addressed through that program.

10 MS. MACLELLAN: Madam Chair, Dr. Argo's
11 letter will speak to it more directly. With your
12 permission one more question and then I'll just turn the
13 rest of the questions in to the Panel.

14 Two nights ago someone on the Tar Ponds
15 Agency said that the \$400 million dollars would
16 eventually reach \$850 million dollars. My question is,
17 where does this additional money come from and what makes
18 you think you will get it?

19 MR. POTTER: I think I missed the first
20 part of that. Who are you attributing to saying it was
21 going to \$850 million?

22 MS. MACLELLAN: I'm not sure if it was
23 yourself or Mr. Kaiser or some -- but someone on that
24 side of the -- I have it in my notes, anyway, and I don't
25 have them with me.

1 THE CHAIRPERSON: Perhaps you might like
2 to check the transcript, if it's available, and then ---

3 MS. MACLELLAN: Yeah, it should be on the
4 transcript who actually said it, but it was said.

5 THE CHAIRPERSON: Um-hmm.

6 MR. POTTER: We've referred in the past --
7 and I don't know the -- if it's the same situation, but
8 we have referred in the past to the project being \$850
9 million dollars if the project were to be changed and the
10 reference was to going to full removal of all sediment
11 from the Tar Ponds, full incineration of that sediment.

12 That gets you into the \$850 million dollar
13 range that is identified in the EIS in the alternative --
14 the tables there where we do review various options
15 that -- or the RAER options, and we were looking at that
16 table earlier today.

17 MS. MACLELLAN: That's a whole big chunk
18 of change that wasn't mentioned to begin with, Madam
19 Chair, and I think it needs investigating.

20 In closing -- I'm not going to ask any
21 more questions. I have one more question that's not here
22 that I wish to consult with the medical experts before I
23 put it before the Panel.

24 But I thank you very much for your time
25 and I appreciate the fact that you will listen to the

1 people.

2 THE CHAIRPERSON: Thank you very much, Ms.
3 MacLellan.

4 MR. POTTER: Madam Chair, I hate to
5 interrupt, but just for clarification purposes on the
6 questions we will be receiving from Mary-Ruth, when will
7 the questions come to us? There's very little time for
8 responding and we have a number of things to prepare for
9 in the next couple of days with the closing coming up.

10 So, I would appreciate knowing when and
11 what we can expect.

12 MS. MACLELLAN: Madam Chair, I can provide
13 him with a copy of these questions today. The other
14 question I will bring in tomorrow.

15 THE CHAIRPERSON: That sounds good. Thank
16 you very much.

17 So, we now have another -- we have half an
18 hour before we're going to end this session. So, I want
19 to provide an opportunity for other people who are
20 present if they have questions for the Agency.

21 Could I first just get a show of hands
22 from registered presenters and then I will also ask for
23 others. We'll see how many we've got. Now, just keep
24 your hands up, if you don't mind, because otherwise I
25 will lose you.

1 I see Mr. Brophy, so he can put his hand
2 down, Mr. Lelandais and Mr. Marman. That's all from that
3 side. I see Ms. Ouellette, I see Mr. McMullin. Just so
4 that I know, let's go the whole way, are there some
5 people who are not registered presenters who also have
6 questions? Mr. Ells. Mr. Brophy.

7 Since we have -- I have six names down
8 here, we have half an hour, you could each have 5
9 minutes, if you need it.

10 --- QUESTIONED BY MR. ERIC BROPHY:

11 MR. BROPHY: I don't need all 5, I just
12 want to clarify something.

13 Are we obligated through any regulations,
14 agreements or conventions to recover and destroy PCB
15 waste of 50 ppm?

16 MR. POTTER: That issue was dealt with
17 when Environment Canada was presenting. The question was
18 asked, that very question was asked in relation to their
19 department and policy on PCBs, and the response, that I
20 understand should be documented in the transcripts, was
21 that it would not be -- it would be consistent with
22 Environment Canada's policies to retain PCBs over 50 ppm
23 in a site, as long as they were environmentally managed
24 properly.

25 MR. BROPHY: I mention that, because there

1 is an agreement that Canada is a signatory to, and I do
2 believe they're meeting, or they may have finished, and
3 it was my belief that that 50 ppm definition of hazardous
4 waste could be somewhat lower following that. That's why
5 I raise it. Encapsulation, to me, was not the way we
6 should be going, and I thank you very much, Madam Chair.

7 THE CHAIRPERSON: Thank you, Mr. Brophy.
8 I've decided I'm going to be alphabetical this afternoon.
9 So that means that Mr. Ells, you are next.

10 --- QUESTIONED BY MR. CAMERON ELLS:

11 MR. ELLS: Thank you, Madam Chair.

12 The water treatment activities that are
13 being planned for the project, downstream of the
14 barriers, downstream of the solidification, downstream of
15 the cap, does the proponent -- would the proponent be
16 surprised if water treatment was not required?

17 MR. POTTER: I'll ask Mr. Shosky to
18 respond to that.

19 MR. SHOSKY: We would be surprised if
20 water treatment was not required at the site, and we had
21 submitted some pump test data that showed that the
22 volumes of water that were looked at historically were
23 much greater than what we actually found when we did the
24 tests. So we expect a smaller volume of water, but we
25 are anticipating treating water.

1 MR. ELLS: Thank you.

2 THE CHAIRPERSON: Thank you, Mr. Ells.

3 Mr. Lelandais.

4 --- QUESTIONED BY MR. HENRY LELANDAIS:

5 MR. LELANDAIS: Thank you, Madam Chair.

6 Through you I'd like to direct some questions to Mr.
7 Shosky particularly referring to the presentation he
8 made, three days ago, was it, on the incinerator portion,
9 and referring to page 3 of his submission.

10 He refers to, and I'm going to quote:

11 "An important precursor to
12 determining whether you've got
13 dioxins or not are the various
14 temperatures within the system
15 itself."

16 And then it goes on to say:

17 "There's temperature points here,
18 here, here and here."

19 And so on. I'm not clear what you mean by
20 "an important precursor to determining whether or not..."
21 What's your definition, Mr. Shosky, of a precursor?

22 MR. SHOSKY: Thank you for the question,
23 and precursor probably wasn't the right term.

24 It's actually temperature monitoring of
25 the system with using thermometers and things like that,

1 just monitoring the temperature to make sure that it's
2 all operating within the proper range so that the dioxins
3 don't form. That was the point I was trying to get
4 across.

5 MR. LELANDAIS: Okay. So just to make
6 sure we're clear on a precursor, can I say what I think a
7 precursor is. Well, my idea of a precursor is something
8 that used to be, that existed before, and that was
9 incorporated into something that came later. In other
10 words, a predecessor.

11 So that, in chemical terms, a precursor
12 then is a substance that, following some kind of a
13 reaction, becomes an intrinsic part of another substance.
14 Does that make sense?

15 In this case, then, I would say that in
16 the formation of dioxins, PCBs would be a precursor to
17 dioxin formation, because they exist and then they are
18 changed in the incineration process and result in dioxin
19 formation. Also chlorine would be a precursor to the
20 formation of dioxin.

21 A simple way of putting it, for instance,
22 cocoa is not a precursor -- or is a precursor to
23 chocolate, because chocolate is made from cocoa, but the
24 chocolate itself would not be a precursor to ice cream,
25 it's an ingredient.

1 And several of the terms that are used in
2 the incineration process are very confusing, unless we
3 get a clear idea of that.

4 Now, I just have one more question
5 regarding that.

6 MR. SHOSKY: Can I answer that one, first,
7 it just might help.

8 MR. LELANDAIS: Yeah, sure. Okay.

9 MR. SHOSKY: When I started using the term
10 "precursor" it was with the monitoring systems that are
11 advertised that monitor for dioxins, like stack emissions
12 for dioxins, and that was the other table that I had as
13 part of that presentation.

14 So, in that case, your definition of
15 precursor, whether it's chlorine or some of these others
16 that are listed on here, are precursors to dioxins. The
17 compounds that are actually monitored by this equipment,
18 where the vendor says they monitor for dioxins, they
19 actually monitor for the precursors for dioxin which are
20 easier to analyze on a more timely fashion.

21 MR. LELANDAIS: Okay. Thank you, Mr.
22 Shosky. One more question, then, on the dioxin
23 prevention probably is the word I'm looking for.

24 Do I understand from several references in
25 your presentation there that you would be using carbon as

1 an absorber to remove dioxins formed in the secondary
2 stages, for instance, by synthesis on the particulates,
3 that any dioxins that were formed in that temperature
4 window -- for instance, we understand that the dioxins
5 form particularly around the 5-600 degree point.

6 If you can quench very quickly from say
7 your 1100 degree destroying temperature right down to 2-
8 300 degrees, you can avoid that window and they will not
9 form. That's one of the reasons, I think, for using wet
10 scrubbers to rapidly cool the gases to prevent the
11 formation of the dioxins.

12 In case, at some point, there are dioxins
13 forming because they were in that window for even a small
14 amount of time, then you would be using carbon as an
15 absorber to remove these dioxins that formed in that
16 instance, is that correct?

17 MR. SHOSKY: Let me just go through this
18 flow chart one time.

19 Generally, what I'll say is that you're
20 correct on how dioxins are formed, and this is one of the
21 reasons why it concerns me about coal burning at this
22 point.

23 In this case, we have, on the incinerator
24 that's being proposed right now, this is a general flow
25 chart. There is a number of different spots where

1 dioxins could form.

2 In this case, three different control
3 technologies are shown on there for dioxins, and they
4 include the lime and carbon, also the baghouse. Now,
5 there are certain vendors that make baghouse bags that
6 have catalytic reactions in them that occur that actually
7 treat the dioxins.

8 And then, while this is a poor
9 representation, it's to represent that rapid quench
10 system that you were talking about. What happens is, as
11 the gases come out the stack, another process takes place
12 because they're not cooled quickly, as you've researched
13 on your own, and that's when dioxins form without having
14 the control technologies there.

15 MR. LELANDAIS: Okay, my point -- I
16 understand that part, I was just concerned that you add
17 lime or carbon, or both additions, prior to a stack
18 emission and prior to the formation of the dioxins, where
19 I figured they would be used after to remove any dioxins
20 that is formed by a demotis (sp) synthesis type of
21 reaction. So that pretty well concludes what I had to
22 say.

23 Thank you very much, Madam Chair. Thank
24 you, Mr. Shosky.

25 THE CHAIRPERSON: Thank you, Mr.

1 Lelandais.

2 Mr. McMullin.

3 --- QUESTIONED BY MR. DAN MCMULLIN:

4 MR. MCMULLIN: Good afternoon. My
5 question is for Mr. Potter.

6 Mr. Potter, a number of times during
7 yesterday's hearings we had references made to the
8 cleanup at New Bedford Harbour, and I understand that a
9 trip, a tour was made of this site, and I wondered, at
10 one point, exactly what the purpose or comparison of the
11 New Bedford Harbour site would be to our Tar Ponds Site.

12 And the reason I ask that is because a
13 number of years back, 2003 to be exact, while on the
14 north side dealing with the potential incineration of Tar
15 Pond sludge at Point Aconi Power Plant, Mr. Parker Barrs
16 Donham made reference to the inadequate performance of
17 the gas phase chemical reduction system, Ecologic's
18 system, if you want, in taking care of the sludge at New
19 Bedford Harbour.

20 Shortly after that, I called the EPA
21 folks, was referred to one Jim Brown, who told me that,
22 indeed, they had performed quite nicely, but that the
23 folks at the Bedford Harbour wanted nothing to do with
24 any technology that would produce any incinerated
25 materials, any dioxins, furans, any potential for that,

1 and that, indeed, unfortunately, they had decided to dig
2 up the sludge and transport that sludge to a landfill.

3 So this morning I drafted another email
4 and sent it off to Mr. Jim Brown, and was lucky enough to
5 have him answer that, and I asked basically for an update
6 since we spoke in 2003, and I'll read you what he had:

7 "We started a full-scale dredging in
8 fall 2004. To date, all the dredged
9 sediments have been de-watered and
10 transferred to a landfill."

11 Then he goes on to talk about completing
12 that project, but again, I see no reference other than
13 the type of contaminants, I see no real comparison to our
14 site here, in terms of the characterization of the
15 contaminants, or the way the actual remediation will take
16 place.

17 So what exactly was the purpose of the
18 trip to New Bedford Harbour?

19 MR. POTTER: The similarity with our
20 project and Bedford would be that their PCB contamination
21 -- as I indicated previously in testimony, there was an
22 electrical facility manufacturing plant along the harbour
23 -- it's a harbour and a river, and I think the plant may
24 have been on the river portion, and they discharged, over
25 a number of years, a significant quantity of PCBs. Their

1 levels were extremely higher than ours. They were in the
2 49,000/50,000 ppm range.

3 It's a marine environment. It's a busy
4 community, probably about the size of Sydney, very active
5 fishing port, would have in the sediment similar
6 components that we have in terms of PAHs, metals, and, of
7 course, the PCBs but at a higher level.

8 They have -- the area in question is in a
9 very populated part of the town. The upper reaches of
10 the river would be -- would somewhat resemble what we
11 have here in parts of our site.

12 We stood in the backyards of homes where
13 the remediation has taken place. That work was completed
14 before we arrived. They showed us photographs of the
15 work being undertaken with the residents living nearby
16 where they were excavating the sediment, including the
17 PCBs.

18 There was de-watering facilities there.
19 They had a very large de-watering plant that the sediment
20 water -- de-watering plant there, which is again a
21 process that we have.

22 They were doing hydraulic dredging there,
23 not mechanical dredging. They were using pipes to move
24 the sediment around.

25 We consulted with the community. We spent

1 a fair bit of the day with the municipality who was an
2 active partner in -- participant -- not a partner, but an
3 active participant in the process, had extensive
4 consultations with them in terms of their communication
5 plan, how they engaged the community.

6 You are correct, yes, indeed, the gas
7 phase reduction technology was rejected at that site.
8 They did not wish to use that technology there.

9 MR. MCMULLIN: Or incineration, or
10 anything else that could produce toxic materials in their
11 environment.

12 MR. POTTER: That is correct.
13 Incineration was not deemed to be appropriate for that
14 community.

15 They de-watered and processed the
16 sediment, and took it to an inland landfill site.

17 One of the significant features of that
18 project was the emphasis placed by the municipality on
19 future site use. It was a big driving force for how they
20 did do that cleanup.

21 The cleanup was largely based on carrying
22 out the work so that the future remediation areas could
23 serve a useful purpose.

24 The sediment water treatment process
25 facility was designed actually for future use, not so

1 much its use at the current time. They knew what they
2 wanted to do on that waterfront. They built some rail
3 sidings going into it. So there was a major emphasis on
4 that.

5 There was -- I think I indicated yesterday
6 after Dr. Lee's presentation, they did use solidification
7 and stabilization in New Bedford. It is, again, a marine
8 environment using solidification/stabilization.

9 MR. MCMULLIN: Let's stop there for a
10 second, if you would. It's the fact that he mentions
11 nothing of solidification/stabilization, and this is why
12 I ask. He talks only of removing that sludge --
13 dredging, removal and transporting the sludge to a
14 landfill site.

15 Was it explained to the residents on this
16 tour -- our residents -- that indeed the remediation
17 technologies being proposed here were not the same as the
18 remediation technologies at New Bedford Harbour, although
19 there are site similarities?

20 MR. POTTER: The solidification and
21 stabilization component of the work there, I think I
22 described yesterday they -- it was not a large component
23 of the project. The bulk of the materials were indeed
24 being dredged and removed from the harbour and river.

25 MR. MCMULLIN: So would our residents have

1 understood that indeed the material would not be
2 transported to another site here?

3 MR. POTTER: Madam Chair, I'd like to
4 finish the answer first if I can before moving on to the
5 next question.

6 The solidification that was taking place
7 there was in a marine environment, the marine sediments.
8 The solidification took place at -- in the marine
9 environment right at the edge of the shoreline. They
10 constructed a steel sheet piling barrier.

11 The sediment was in the -- actually, the
12 work had been done, so I can't say if it was placed in
13 the confined area first or whether they just solidified
14 it right in place, but the marine sediments were
15 solidified in place. There was a cap placed on top of
16 them, and then there was some -- the eventual shoreline,
17 if I recall, was -- had some armourstone protection along
18 the base of the steel sheet piling, again very similar to
19 the work that we were proposing for here, and that was my
20 response to Dr. Lee yesterday.

21 You had a second question?

22 MR. MCMULLIN: Yes. Would our tour
23 residents be aware of the fact that New Bedford Harbour
24 was not using S/S in the same way that we would be using
25 it here, to mix concrete or cement with the materials

1 there in the same way, but simply to create barriers in
2 New Bedford Harbour?

3 MR. POTTER: It wasn't to create a
4 barrier. They were solidifying the material in that area
5 to create a usable piece of land. They -- eventually
6 they put a cover on it and eventually that land became a
7 usable portion again.

8 A driving force behind this clean-up was
9 future site use. It was a large component of making sure
10 that the land was able to maximize its potential for use.

11 New Bedford is extremely busy. It's a
12 fishing port. It's got the highest fish landings on the
13 east coast of North America, a huge fishing fleet that
14 goes in there, and every square foot of usable land was
15 very valuable.

16 Yes, indeed, the members on the -- the
17 community members we took on the tour were quite aware of
18 all the projects they were going to see. We went from
19 the west coast to the east coast and saw a variety of
20 situations using different technologies, some of which
21 related directly to the work we were doing, some of which
22 did not, but we took them to a number of sites across
23 North America to give them a full breadth of experience
24 of the types of technologies in use. Some, as I say,
25 directly related to our work. Some, not necessarily so.

1 The work -- the visit included not just
2 the technical aspects but community consultation, future
3 use, organizational aspects, funding, medical aspects.
4 We had -- Dr. Andrew Lynk was with us in New Bedford.
5 Dr. MacCormick visited in Tacoma and Seattle after we
6 did. He couldn't come at the same time as we did, but
7 ---

8 So there were a number of reasons behind
9 the visits, not just simply to look at the technologies.

10 MR. MCMULLIN: My question relates to the
11 ---

12 THE CHAIRPERSON: Mr. McMullin, we are
13 certainly well over our five minutes, between the pair of
14 you. Do you have one more quick question, and then I
15 must move on to Mr. Marman.

16 MR. MCMULLIN: Okay. I'll make it very
17 quick. My references here relate to the membership we
18 were denied in the Community Liaison Committee. Many of
19 these questions I could ask directly to Mr. Potter and
20 company if indeed Sierra Club's representatives were
21 permitted to attend these meetings and ask these
22 questions.

23 Do you intend in the future to allow the
24 Sierra Club representatives to attend these sessions so
25 that we indeed can have open transparent communication

1 with the general public?

2 MR. POTTER: The membership currently is
3 established for the CLC Committee. The Committee will be
4 required to review its membership on a regular basis, and
5 as people leave, new members could be invited to attend.
6 The membership presumably could change.

7 We have extended invitation in the past.
8 We'd be happy to meet at anytime with the Sierra Club to
9 address any of your questions.

10 Again, the CLC Committee has been
11 erroneously referred to as a decision-making body. It is
12 not. As I've clearly indicated, it's a sounding board
13 for the Agency to help us understand if we're heading in
14 the right direction, get feedback from the community, and
15 we will happily accommodate the Sierra Club to do the
16 same thing.

17 MR. MCMULLIN: Are you telling me that
18 you're going to ---

19 THE CHAIRPERSON: Mr. McMullin, I really
20 will have to cut you off there.

21 MR. MCMULLIN: Okay. Thank you very much.

22 THE CHAIRPERSON: Thank you for your
23 questions. Mr. Marman.

24 --- QUESTIONED BY GRAND LAKE ROAD RESIDENTS (MR. RON
25 MARMAN)

1 MR. MARMAN: Thank you, Madam Chair. Dr.
2 Magee spoke of mercury contaminants and the problem with
3 Grand Lake situated so close to the proposed incinerator
4 site.

5 In the EIS, the levels of mercury in Grand
6 Lake fish is given, and I spoke to a Mr. Sampson from
7 Department of Fisheries in Arichat -- as the Arichat
8 office is actually the district office for this area --
9 about these levels, and they have a concern with these
10 levels at present, and in fact, they plan on doing some
11 testing of their own. He was supposed to get back to me.
12 This was probably about -- maybe seven or eight weeks ago
13 -- and I haven't heard from him yet and I haven't called
14 him back.

15 But in the talks on how we will control
16 more mercury going into that lake, Mr. Shosky spoke of
17 monitoring the feeds -- the feedstock and the emissions,
18 but in the sketch of the proposed incinerator, the bypass
19 is before any pollution control, and without a working
20 incinerator model to get some data from, how can we
21 estimate how many upsets we can expect? And since we
22 have a variable such as that, you know, how can we indeed
23 say that we're going to try to control the mercury that
24 might be given off from that incinerator?

25 MR. POTTER: I'll ask Dr. Magee to address

1 that question.

2 MR. MAGEE: Thank you very much, Mr.
3 Potter. We have actually done some calculations on
4 mercury with regard to this issue of how many upsets
5 could you have and how high could the emissions be.

6 And if you'll allow me just to take a look
7 at my screen here -- the facility could emit mercury
8 levels a thousand times higher than we have assumed for
9 more than 17 hours a year, either at one time or
10 scattered all over the year and summing up to 17 hours,
11 and we would still be within the appropriate non-cancer
12 acceptable risk level that Health Canada requires us to
13 meet.

14 MR. MARMAN: But I understand from the
15 Department of Fisheries that if the levels that you give
16 in the EIS are accurate, then they have some concern with
17 people eating fish out of that lake right now.

18 And when we talk about the amount of time
19 that this bypass could be allowed to be open -- I believe
20 in the EIS, it says a minute for 30 times a month or
21 something. So you're saying -- what did you use there as
22 a time limit on what emissions could be exceeded?

23 MR. MAGEE: Yes. Well in the risk
24 assessment, we did assume one upset per month for 30
25 minutes at 10 times higher emission levels than what

1 we're assuming. The numbers I just read from my screen
2 are ones that we've done recently to address these issues
3 that have been coming up in the last several days.

4 So when we say, "Well, okay, you're okay
5 at one minute every month, and so forth. How much higher
6 could you go and still be okay?" we've done the calc.,
7 and we can emit for 17 hours a year levels a thousand
8 times higher than what we're assuming, and we will still
9 be okay.

10 Now let me also describe for just a moment
11 the okay part. For non-cancer risk assessment, Health
12 Canada has a tolerable daily dose that the child cannot
13 go over an average level of dose every day over the
14 course of the year.

15 In following the guidance, we have to
16 assume that the child already is getting 80 percent of
17 that from other sources. So if they're already eating
18 Grand Lake fish, they're already getting some mercury,
19 that is accounted for in our calculations.

20 We are only allowed to let a proposed
21 project go up to 20 percent of the tolerable daily dose.
22 We have to always assume that people are getting whatever
23 the constituent is from other sources in their life to
24 the tune of 80 percent.

25 MR. MARMAN: But isn't one of the things

1 involved with this project is that we do no further harm?
2 And wouldn't you say that if you have a lake now that
3 Department of Fisheries have concern about because of
4 mercury levels, then any amount that's emitted from that
5 incinerator that could end up in the lake would be a
6 problem and that you would be doing further harm?

7 MR. MAGEE: Well I guess I'll just have to
8 state that mercury is an issue all over North America,
9 indeed all over the world, and there are fish advisories
10 that are set for all of Atlantic Canada because of
11 mercury levels in fish. The amount that we're adding is
12 so small in comparison that it really doesn't affect the
13 status quo.

14 Is there a mercury issue already? Of
15 course. But the levels we'll be emitting are very tiny.

16 MR. MARMAN: But once again, without the
17 exact incinerator where you can get definite data as to
18 how many times this bypass condition will be activated,
19 we can't really say what we're going to give off as a
20 level for a month, a year, or whatever.

21 MR. MAGEE: Well I should probably yield
22 to Mr. Shosky to say is there any way it's possible for
23 an incinerator to operate a bypass stack for 17 hours a
24 year. I mean, clearly I would think that the regulators
25 would close you down. I mean, those numbers are

1 astronomical.

2 MR. SHOSKY: We had a lot of internal and
3 external discussions on what our assumptions would be for
4 that bypass. Earlier in the week, we heard a lot of
5 historical accounts from a few of the Sierra Club
6 members.

7 We had also contacted, I guess, part of
8 that 30 or 40 percent of the incinerator operators that
9 do run their plants right and got the numbers of
10 incidents where bypass would be used are very
11 insignificant.

12 For example, Earth Tech runs the Swan Hill
13 facility now. We've run it since about 2001, and we have
14 not had any incidents there for bypass release that I
15 know of or anything like that.

16 And I think it goes back to some of the
17 comments that Dr. Charles was making earlier, or during
18 that testimony or some of the questions that he was
19 asking of the Sierra Club, and that is, you know, are the
20 people trained, is the equipment set up for monitoring
21 these things.

22 And when you're talking about, like they
23 were, incinerator technology from the 1990s versus today
24 -- because the Swan Hill facility is in its third
25 generation of incinerators now -- all state of the art

1 removal systems for emission controls -- there is a big
2 difference in operating history between incinerators back
3 then and incinerators now.

4 When it comes time to pick the exact
5 incinerator for that project, our intention is to make
6 sure that that vendor has a good track record as well as
7 a sound technology.

8 And this bypass calculation is a concern
9 of ours for a number of different reasons. One is, as
10 Dr. Magee said, why would you let somebody run a bypass
11 unit for hours on end without somebody catching it.

12 We are going to have third party oversight
13 internally outside of the incinerator vendor and a number
14 of checks and balances.

15 So your concern is valid about operating
16 bypass. It is difficult for us to do an exact
17 calculation on how many times that occurrence would
18 occur. We thought we found a conservative one in the
19 assumptions that I gave Mr. Magee in order to run his
20 calculations.

21 And it's true, until we've actually picked
22 the exact incinerator and go through that tendering
23 process, which is the detailed design phase of the
24 project, it'll be easier to evaluate and understand at
25 that point. Thank you.

1 THE CHAIRPERSON: Mr. Marman, you're ---

2 MR. MARMAN: One more, please.

3 THE CHAIRPERSON: One more, but very
4 quickly, because you're well over.

5 MR. MARMAN: Just getting back to
6 experience in the industry, if we have a problem on --
7 half way down that incinerator where you have to isolate
8 the pollution control -- and I mean, that could happen
9 very easily -- a bag house plugging up, a bag house
10 problem, a valve problem. In order for people to get in
11 there to work, you would have to isolate that side from
12 the bypass, which means the bypass has to be left open.

13 You wouldn't even get a crew together in
14 less than half an hour, supposing they were on site, to
15 see what the problem was, get the required tools that
16 they would need to fix that equipment, and if the problem
17 is major enough, you basically have that bypass open from
18 the time that you first open it until the material cools
19 down inside. There's no way you could do anything with
20 it other than leave it go to atmosphere.

21 So I really don't think that 17 hours a
22 month or whatever, especially when you're in
23 commissioning stages or when you have people that are not
24 really fully aware of the operation of that particular
25 incinerator, would be unreasonable.

1 THE CHAIRPERSON: Mr. Shosky, do you have
2 a brief response? And then we'll move to Ms. Ouellette.

3 MR. SHOSKY: Yeah, a very brief response.
4 During the process of putting together the detailed
5 design effort, we will have to go through a very thorough
6 hazard analysis, which I think was one of the comments
7 that Ms. May made earlier. Of course, that's going to
8 need to be done as part of a thorough -- thoroughness of
9 the design.

10 MR. MARMAN: Okay. Thank you.

11 THE CHAIRPERSON: Thank you, Mr. Marman.
12 Ms. Ouellette, you have the honour of closing this
13 afternoon's session.

14 --- QUESTIONED BY MS. DEBBIE OUELLETTE

15 MS. OUELLETTE: I do. Besides real time
16 air monitors and stationary air monitors, are there more
17 stringent ones that can be used 24 hours a day, seven
18 days a week? Can you list them?

19 MR. POTTER: Are there more stringent
20 monitoring equipment is the question?

21 MS. OUELLETTE: Besides air monitors and
22 stationary -- real time air monitors and stationary
23 monitors -- are there more stringent ones that can be
24 used for seven days a week, 24 hours a day?

25 MR. POTTER: We use a -- well, "complex"

1 might be the wrong word, but we use a number of
2 monitoring systems. We use hand-held instruments, a
3 variety of different hand-held instruments for different
4 parameters. We take samples on site. We take the
5 samples at the perimeter of the site. We have what we
6 call our fixed stations that you've referred to, the ones
7 that run on a six-day system.

8 So we do use a multitude of sampling
9 approaches. We -- I had mentioned before we are looking
10 at remote sensing for air monitoring. There's a newer
11 technology that's being used -- not extensively, but
12 we've been talking to suppliers. We're looking at that.
13 We'll explore that if it's deemed to be appropriate for
14 our situation. We'll consider using some remote sensing
15 for air monitoring.

16 We placed a lot of importance on air
17 monitoring. We'll continue to do so. If we find
18 technology that is appropriate for our situation that
19 helps us to understand the air quality around our site,
20 we'll certainly look at using it.

21 MS. OUELLETTE: Also, will you consider
22 the health and safety for the residents? Could you place
23 canisters on their homes that live closest to the site to
24 see what they're picking up in odours and chemicals that
25 are coming off the site when work is disturbed besides

1 the stationary air monitors -- which that's only a back-
2 up one, and I don't know how old they are -- that can
3 detect real time? Will you also place canisters on homes
4 that live closest to the site?

5 MR. POTTER: We do use canisters. That's
6 one -- that's part of the component of the air monitoring
7 program we have. It targets a certain type of chemical.

8 So we do use them. We'll continue to use
9 them. They're placed at different locations at different
10 times. The benefit of the real time monitoring, it's
11 very targeted to the activity we're doing. We can move
12 it and place it where we want it to be. Whether it's a
13 hand held or a canister, we can place it in the exact
14 location.

15 That is, you know, the -- as we've
16 explained in the past, the fixed stations are that. They
17 are fixed and they repeatedly sample every six days to
18 give us a long-term background indication of air quality.

19 But we rely primarily for the protective
20 purposes on the real time and some of the portable
21 equipment we would put out, and as I say, we'll -- really
22 are looking at infrared for purposes of our site work as
23 well.

24 MS. OUELLETTE: My problem with that,
25 Frank, is many times there's odours that leave that site.

1 Even with the real time air monitors, no odour is
2 detected. Every time you ask -- you know, we can smell
3 the symptoms. We know if something's coming off that
4 site. When you ask what the real time air monitors are
5 picking up, barely nothing.

6 My question, will there be canisters
7 placed on the homes to protect the people closest to the
8 site as well.

9 MR. POTTER: We've talked about the
10 difficulty with odours. Odours are something that, you
11 know, it's a perceptive thing that you'll detect, and
12 routinely we won't pick up anything in our monitors
13 because the odour does not contain a chemical that we
14 identify as being -- you know, causing a concern.

15 We will address, as we mentioned -- in the
16 air -- or complaint monitoring system, we'll have a
17 process in place where if there are nuisance odours or
18 nuisance aspects that we have to address, we'll have a
19 program in place to address that.

20 If it's appropriate to place air
21 monitoring equipment in an area where we are -- you know,
22 suspect there could be a problem, we'll certainly do
23 that. We've done that in the past and -- but you know,
24 some of the odour issues probably can be more
25 appropriately dealt with at the work site in terms of the

1 work face and will likely react -- deal with us having to
2 react to that complaint of odours by changing the
3 procedures that might be used at any given point in time.

4 MS. OUELLETTE: My point is -- all you
5 keep saying is that the real time air monitors will be
6 our protection. Odours leave that site even as of April
7 27th. Residents in the area did get sick by that. They
8 were having headaches and beyond that.

9 And we have a doctor here that says that
10 odours are not a hazard. They are. They do make people
11 sick.

12 So when these air monitors do not pick up
13 these chemicals or these odours and what's in them, I
14 have a problem with just saying that the air monitors are
15 going to be our protection, because they're not. There
16 are no guarantee -- there's no guarantee for us.

17 And I -- I just want to see canisters also
18 as a background level be placed on residents' homes in
19 the area in the proper places that -- I mean, they smell
20 them. They go outside, they can smell these odours.
21 Place these canisters on their homes also as a protection
22 and caution for these people. I think you should look
23 into that.

24 THE CHAIRPERSON: Ms. Ouellette ---

25 MS. OUELLETTE: Thank you.

1 THE CHAIRPERSON: --- thank you, but I'm
2 going to ask a question for the Panel on that. Can you
3 clarify what we're talking about with canisters, please?

4 MR. POTTER: I'll ask Dr. Walker to
5 explain what we use the canisters for.

6 DR. WALKER: Canisters are stainless steel
7 polished. They look like balls that are -- they can be
8 in various sizes, and they come from the laboratory pre-
9 cleaned and with a vacuum inside, and there's a manifold
10 that is open to draw in a sample over some fixed
11 predetermined time period.

12 The canister then goes back to the
13 laboratory and a laboratory will extract that sample
14 through a purge-and-trap system or something on a gas
15 chromatograph mass spectrometer and identify what
16 compounds were present in the canister. It enables a
17 collection of certain things that won't be collected on
18 some of the other samplers that are in use.

19 For example, the puff samplers, the
20 polyurethane foam samplers that are used to collect PAHs.
21 It's the VOCs that you trap mostly in the canisters. But
22 they're not a real time sampler. They do have to go to
23 the laboratory. They are somewhat costly for analysis --
24 somewhere -- roughly five hundred dollars (\$500) per
25 sample to do that.

1 THE CHAIRPERSON: Thank you very much, Dr.
2 Walker.

3 That now brings us to the end of our
4 afternoon session. So thank you very much to the Agency
5 for answering questions all afternoon. Thank you for our
6 other participants for being here and for also
7 participating in the questioning.

8 We will resume at 6:00. We will have two
9 presentations this evening, TDE and Ms. Marlene Kane. So
10 thank you. 6:00.

11 --- RECESS: 4:42 p.m.

12 --- RESUME: 6:03 p.m.

13 THE CHAIRPERSON: Ladies and gentlemen, we
14 will begin this evening's session.

15 Just a couple of points to share with you
16 before we begin with our first presentation this evening.

17 The first thing is that I mentioned
18 earlier today that Environment Canada is returning
19 tomorrow. This is for a few questions from the Panel.

20 So, that will take place at 11:00 a.m.
21 tomorrow. So, we will begin at 11 tomorrow with
22 Environment Canada, and that is questions from the Panel.

23 And the other matter is that there have
24 been -- some written questions have been submitted for
25 the proponent, and so all of that written material has --

1 will be forwarded to the proponent, and we've requested
2 them to respond, as appropriate.

3 So, we now have -- this evening we have
4 two presentations, TD Enviro and Marlene Kane.

5 So, I would invite TD Enviro forward to
6 give their presentation.

7 So we welcome you. We look forward to
8 your presentation. And you have 40 minutes for your
9 presentation, and I will give you -- let you know when
10 you've got 5 minutes left.

11 --- PRESENTATION BY TD ENVIRO INC. (MR. JIM KRAMER)

12 MR. KRAMER: Madam Chair, members of the
13 Panel, representatives of the proponent, and the Sydney
14 community.

15 Good evening, and thank you for allowing
16 us this opportunity to speak before the Panel on this
17 important subject.

18 Let me begin with some introductions.

19 Tony Rojek, seated to my left, and myself,
20 are representatives of TD Enviro and Thermo Design
21 Engineering.

22 Seated to my right, as you know, is Dr.
23 Les Ignasiak, who is a consultant to TDV and TDE.

24 Tony is the President of TD Enviro, and a
25 Vice President of Thermo Design Engineering.

1 He is a professional engineer with a
2 Master's Degree in mechanical engineering from the
3 University of Alberta.

4 Tony has over 35 years of experience in
5 design, manufacturing, installation, commissioning, start
6 up, and operation of oil and gas and petro chemical
7 plants.

8 During his tenure at Thermo Design, he has
9 overseen the production and delivery of some 300 plants
10 in more than 50 countries around the world.

11 I am a professional engineer with a degree
12 in mineral processing engineering from the University of
13 Alberta.

14 I have a background in coal mining, coal
15 preparation, research in the areas of clean cool
16 technology and environmental technology development, and
17 oil and gas plant and mineral processing equipment
18 manufacturing, commissioning, start up and operation.

19 I am currently a senior project manager
20 for TD Enviro and Thermo Design Engineering, and I have
21 been with the company for 11 years.

22 I have worked previously for the Coal
23 Mining Research Company, the Alberta Research Council,
24 and the CANMET Centre for Mineral and Energy Technology.

25 So, I'd like to begin now with some

1 opening statements.

2 We are here today for one simple reason.
3 We believe that there is far more effective alternative
4 to the solidification, stabilization, containment,
5 capping, incineration and land farming project being
6 proposed by the proponent.

7 Their approach does not offer a permanent
8 solution to the problem.

9 Furthermore, we submit that the STPA, in
10 their development of the proposed project, either
11 discounted or failed to recognize the proven capabilities
12 of alternative cleanup methods, which can offer a
13 superior, economical and permanent solution to the Tar
14 Ponds and Coke Ovens cleanup.

15 The proponent has not provided any
16 validation or substantiation of their reasons for
17 rejecting superior alternatives, nor has there been any
18 attempt by the proponent to apprise Public Works
19 Government Services of Canada, and the residents of
20 Sydney, of the true capabilities and costs of the
21 alternatives.

22 This, in fact, is contrary to the
23 instructions given in the Public Works Government
24 Services Canada Cost Estimates Review Sydney Tar Ponds
25 Options paper dated June 5th, 2003.

1 So, over the next 30-odd minutes, we'd
2 like to share with you some information on the background
3 of TDV and TDE, and share some history of the development
4 of our technology that is behind the alternative, and its
5 capabilities for remediating the Tar Ponds.

6 So, I'll pass it over to Tony now, and
7 he'll make a few comments about background.

8 --- PRESENTATION BY TD ENVIRO INC. (MR. TONY ROJEK)

9 MR. ROJEK: Good evening, ladies and
10 gentlemen.

11 I'll just give you a brief description of
12 TDE, which is Thermo Design Engineering, and TD Enviro,
13 which we call TDV.

14 Thermo Design Engineering has been
15 incorporated in the Province of Alberta in 1979, and we
16 have been in business now for the last 27 years.

17 I would describe TDE as one of Canada's
18 leading EPMC companies. What it means, that in addition
19 to EPC, which is engineering project management and
20 construction services, TDE has the capabilities to
21 manufacture and build its own equipment and products.

22 In other words, we are not just a
23 consulting company, but fully integrated EPMC company
24 providing services from A to Z based on a fixed lump sum
25 pricing.

1 Our projects are always on time and below
2 budget.

3 TDE participates, typically, in so-called
4 turnkey projects, both domestically and worldwide.

5 Our main office and fabrication shops are
6 located in Edmonton, with sales offices in Calgary,
7 Russia, Turkmenistan, China, Poland and Mexico.

8 TDE is closely working and/or cooperating
9 with over 20 agents all over the world. Our top agent --
10 top agencies are in countries like Indonesia, Iran,
11 Kuwait, United Arab Emirates, Libya, Brazil and
12 Bangladesh.

13 Currently, our workforce is approximately
14 350 employees. Approximately 100 people work the office
15 in our personnel, and about 250 people working in the
16 shops like welders, pipefitters, electricians, and so on.

17 As far as a project of this type, I am
18 talking about Sydney, typically, TDE would supply only
19 supervisory staff for site -- on site construction, and
20 would subcontract all work to the local construction
21 companies.

22 Our last year's sales exceeded a hundred
23 and thirty million U.S. dollars (\$130 million US).

24 Coming back to the slide, TDV and TDE, we
25 specialize in engineering, design, manufacturing,

1 commissioning, and start up of modular plants for
2 processing petroleum feed stock, natural gas and various
3 byproducts of the energy industry.

4 Since 1979, TDV/TDE has built and
5 commissioned over 300 plants, ranging in value from three
6 million to two hundred million dollars (\$3 to \$200
7 million), and those plants are currently operating all
8 over the world.

9 One has to realize that every project in
10 gas, oil and petro chemical industry is custom designed
11 and custom built.

12 The same applies to the waste remediation
13 projects.

14 TDE, in 1993, has created TD Enviro
15 Incorporated, which we call TDV, to participate in waste
16 remediation field.

17 Since then, TDV designed and built several
18 waste treatment plants in Canada and abroad.

19 A combination of TDE know how and
20 experience, with TDV technology, guarantees the best
21 design, quality and performance.

22 Going back again to the slide, TDV/TDE has
23 received an achievement award from the Alberta government
24 for outstanding performance in manufacturing and
25 exporting.

1 In 1995, the company received the largest
2 grant ever issued by the Federal Government of Canada for
3 environmental technology commercialization under the
4 Environmental Technologists Commercialization Program.

5 TDE/TDV has been active in treatment and
6 cleanup of industrial waste for some time now.

7 Several examples of remediation projects
8 that we have been involved in are: okay, first we're
9 involved in heavy oil waste treatment in Alberta for
10 several oil companies.

11 Next, a coking fines recovery in Japan for
12 Nippon Steel.

13 Next one is oil lakes cleanup in Kuwait
14 for Kuwaiti government, United Nations, Ecology and
15 Environment, which is the consortium of international
16 consultants, and also Mitsui & Co. This is one of the
17 largest remediation projects ever undertaken.

18 Next one is coal ponds reclamation in
19 Poland, oil pits remediation in Trinidad, Venezuela.
20 This was done for Petrovesa.

21 Another one is cathodic waste cleanup for
22 Canadian and U.S. companies. It was actually for Alcan
23 and ALCOA.

24 And the last one is harbour sediment
25 cleanup in Canada for Port of Ottawa.

1 These projects range in size from a few
2 thousand tonnes to over three million tonnes.

3 We have some brochures here with more
4 details, if anyone is interested to take a look at this.

5 Thank you.

6 --- PRESENTATION BY TD ENVIRO INC. (MR. JIM KRAMER)

7 MR. KRAMER: So now I'd like to talk a
8 little bit about a remediation options selection.

9 In February, 2003, the RAER report was
10 published, after six years of investigations and
11 engineering/technical development work, at a cost to the
12 taxpayers of approximately sixty-two million dollars (\$62
13 million).

14 The report presented Cape Breton residents
15 and government officials with six potential remediation
16 options for the Tar Ponds, and four options for the Coke
17 Ovens.

18 In June of 2003, JAG released the results
19 of the community evaluation of the RAER options. 66.5
20 percent of Cape Breton residents who participated in the
21 RAER evaluation rated Option 3, which was soil
22 washing/coal burning, as the most acceptable cleanup
23 option for both the Tar Ponds and the Coke Ovens site.

24 Incineration and capping containment
25 options received the lowest rating of acceptability.

1 The RAER Option 3, which at the time was
2 estimated to cost five hundred and twenty-one million
3 dollars (\$521 million), was based on application of a
4 generic soil washing system. Such a generic system was
5 never tested on Tar Ponds sediment.

6 In August, 2003, a couple of months after
7 release of the JAG report, TDV/TDE expressed their
8 concerns to the Sydney Tar Ponds Agency regarding what
9 they considered to be major deficiencies and
10 inconsistencies in the RAER Option 3 approach.

11 TDV informed STPA that an alternative soil
12 washing approach could be implemented to remediate both
13 the Tar Ponds and Coke Ovens sites at significantly lower
14 cost, and with much greater effectiveness than what was
15 proposed for the RAER Option 3.

16 Our expression of concern was based on our
17 own analysis and economic study, in consultation with a
18 number of other environmental companies from across
19 Canada.

20 The alternative that was proposed is based
21 on a treatment train that employs a clean soil process
22 washing technology as the primary treatment technology,
23 together with coal burning.

24 The technology was tested during the
25 technology demonstration program with very good results.

1 And that was 2002, and we'll speak more about that later.

2 Ultimately, though, a remediation approach
3 involving solidification, stabilization, incineration and
4 land farming, was selected, despite community preference
5 and obvious superiority of alternative approaches.

6 Now, some information on the history of
7 the technology.

8 The development of the clean soil process,
9 or CSP, dates back over 20 years, to 1984.

10 At that time, the National Research
11 Council of Canada, the University of Alberta, and the
12 Alberta Research Council were in the final phases of
13 advanced studies into spherical oil agglomeration, which
14 is dubbed SOA.

15 SOA was discovered almost 100 years ago in
16 Europe. The first commercial plants employing the
17 technology were established approximately 50 years ago.

18 Clean soil process soil washing technology
19 shares the same basic principles as SOA, that is, in a
20 mixture of soil, which is primarily inorganic mineral
21 matter, carbon particles and organic liquid, such as oil,
22 tars and PCBs. The organic liquid will be absorbed onto
23 the carbon particles.

24 If this process is carried out in the
25 aqueous phase, or in the presence of water, the mixture

1 can be readily separated into organic coated carbon
2 particles and mineral matter.

3 The most basic form of SOA carried out in
4 a solid phase can be likened to that practised by
5 companies like Kipin Industries, which you have heard
6 from already, in the United States, whereby a synthetic
7 solid fuel is produced.

8 The most widely recognized application of
9 these principles is in Canada at the Tar Sands Mining
10 Operations in Northern Alberta.

11 There, close to 4 million tonnes of tar
12 sands are mined and washed each day, resulting in the
13 separation of tar bitumen from sand.

14 SOA technologies have been applied in
15 Europe for recovering coal from tailings ponds for
16 decades.

17 Between 1960 and 1985, hundreds of
18 millions of tonnes of coal fines were recovered from
19 abandoned ponds and waste pits in England, Germany,
20 Poland and France.

21 TDV provided technical expertise to a
22 major coal mining company in Poland for reclaiming their
23 largest waste coal pit in the upper Silesia region of
24 Poland.

25 I'd like to show you some of those slides.

1 These pictures you see here are from the
2 waste pit reclamation job we worked on in Poland.

3 The coal sediment was submerged under
4 water in a tailings pond, had to be dewatered, excavated
5 and processed in a washing plant to separate valuable
6 coal from the mineral matter.

7 The execution of this project, in many
8 respects, required the same methodology that would be
9 applied to the alternative -- by the alternative for
10 remediating the Tar Ponds.

11 The depth of the tailing pond and quantity
12 of material processed, however, was much larger than the
13 Tar Ponds. Again, this was 3 million tonnes.

14 So, some more history on the technology.

15 Between 1987 and 1992, CSP technology was
16 tested extensively, and refined, in projects carried out
17 in Canada and the U.S.

18 These projects were financially supported
19 by the U.S. Electric Power Research Institute, the U.S.
20 Department of Energy, major U.S. and Canadian energy and
21 utility companies, the Federal Department of Energy and
22 Natural Resources Canada, and Alberta Energy.

23 In 1993-94, under the Federal
24 Environmental Technologies Commercialization Program, a
25 committee of experts from Industry Canada, Environment

1 Canada, and the National Research Council of Canada
2 conducted a year long evaluation of the SOA based CSP
3 technology, and the improvements that were introduced by
4 TDV/TDE.

5 This culminated into TDV being awarded a
6 grant from Industry Canada in the amount of two point
7 four million dollars (\$2.4 million) to demonstrate and
8 commercialize the refined CSP technology.

9 In its assessment of TDV's commercial
10 scale demonstration results, Industry Canada recommended
11 that the CSP be applied for cleanup of the Sydney Tar
12 Ponds.

13 So, that gives you just a brief history on
14 the development of the technology, which spanned about
15 ten years.

16 Now I'd like to talk a little bit about
17 the CSP technology demonstration.

18 As I had mentioned earlier, TDV
19 participated in the 2002 technology demonstration
20 program, whose purpose was to identify technologies that
21 could be applied to cleanup of the Tar Ponds and the Coke
22 Ovens.

23 We conducted bench, pilot and commercial
24 scale tests to determine the effectiveness of the CSP for
25 remediating these materials.

1 thermal desorption or pyrolysis will generate an
2 estimated 2,000 tonnes of PCB condensate.

3 This condensate can be safely transported
4 and destroyed off site by methods such as hydrogen
5 reduction, a sonoprocess chemical destruction process, or
6 other PCB destruction method.

7 The PCB free solid residue from thermal
8 treatment can be recycled to the CSP unit for separation
9 of remaining solid carbon fuel from clean mineral matter
10 after processing.

11 I have with me today a small sample of the
12 carbon fuel product. If anybody is interested in having
13 a look at it after the presentation, you would be more
14 than welcome.

15 So, with very encouraging results from the
16 demonstration tests, TDV sought out an end user for the
17 carbon fuel.

18 St. Lawrence Cement Group analyzed the
19 material, and found it to be very acceptable as an
20 alternate fuel for co-firing their cement kilns located
21 in Joliette, Quebec.

22 St. Lawrence has subsequently provided TDV
23 confirmation of their interest in the project, and
24 utilization of the fuel. A copy of this letter was
25 attached in our submission of comments to the EIS.

1 The amount of carbon fuel that can be
2 generated from the Tar Ponds and Coke Ovens site is
3 sufficient to co-fire their kilns for up to six years.

4 It should be noted that there would be no
5 additional cost to the publicly funded Tar Ponds project
6 for utilizing this material in the St. Lawrence kilns.

7 So, now I'd like to talk about the
8 remediation alternative, which we have called the
9 modified RAER Option 3.

10 RAER Option 3, soil washing coal burning,
11 again, received 66-1/2 percent approval rating from the
12 Cape Breton community.

13 It was obvious, however, based on our
14 analysis of the report, that the results of TDV
15 technology demonstration were completely ignored.

16 In addition, the reported cost of five
17 hundred and twenty-one million dollars (\$521 million)
18 was, in our opinion, significantly over-estimated.

19 These concerns were expressed by TDV and
20 TDE to both Sydney Tar Ponds Agency and the Nova Scotia
21 Department of Transportation and Public Works.

22 As previously mentioned, following a
23 series of consultations with other environmental
24 companies, we informed STPA that a modified version of
25 RAER Option 3, based on clean soil process washing

1 methods, could significantly reduce the cost of Option 3,
2 while at the same time, provide superior cleanup.

3 The cost of a modified Option 3 was
4 estimated at three hundred and ninety-two million dollars
5 (\$392 million), plus or minus 5 percent.

6 Surprisingly, on May 8th of 2004, a
7 representative of STPA publicly announced that in house
8 risk analysis concluded that the actual cost for RAER
9 Option 3 will approach one billion dollars (\$1 billion).

10 TDV/TDE has requested that STPA provide a
11 copy of their in house risk analysis to substantiate the
12 cost of one billion dollars (\$1 billion), however, a
13 response was never received.

14 Now, according to the EIS, the cost
15 estimate is eight hundred and twenty-seven million
16 dollars (\$827 million). In our opinion, this figure is
17 still grossly exaggerated.

18 So, without going into a lot of technical
19 detail, I'd just like to spend a few minutes describing
20 some of the key features of the modified RAER Option 3.

21 However, I'd like to point out that there
22 is a lot more detail about this approach in our
23 submission to the Panel.

24 So, there is an estimated 700,000 tonnes
25 of PCB contaminated sediment in the Tar Ponds, and about

1 460,000 tonnes of hydrocarbon contaminated soil at the
2 Coke Ovens site.

3 The alternative proposes to treat these
4 materials in parallel.

5 Beginning with the Tar Ponds, the first
6 step in removing the sediment would be to dewater the
7 ponds, to permit excavation of the sediment using
8 conventional equipment such as backhoes. This is exactly
9 what was done on the Poland project.

10 Dewatering can be readily carried out
11 using conventional dewatering techniques and equipment
12 employed by the mineral industry.

13 A surface seal would be set in place to
14 prevent release of odour. Various types of seals may be
15 used, for example, a spray on geomembrane or foam, a thin
16 layer of soil or, possibly, coal, or various other
17 materials.

18 After dewatering and sealing, excavation
19 of the ponds would be carried out using conventional
20 backhoes.

21 A mobile enclosure, equipped with carbon
22 exhaust system, would be erected over the immediate
23 excavation site to contain all odours.

24 Excavated sediment would be transported by
25 truck to a processing staging area located at the Coke

1 Ovens site.

2 Trucks would be equipped, of course, with
3 special covers, sealed end gates and such, to prevent
4 release of odours and spillage of material, which is very
5 common practice.

6 Excavation would need to be carried out
7 only for a maximum of five to eight hours per day, to
8 produce enough feed stock for the processing plant.

9 The processing equipment and material
10 staging areas will be contained inside temporary
11 enclosures, equipped with air handling and exhaust
12 scrubbing system for complete containment and treatment
13 of odour and vapour.

14 Each batch of sediment delivered to the
15 process plant would be deposited into holding cells and
16 tested for PCBs.

17 Sediment with PCB below 35 ppm would be
18 transferred to a CSP plant feed stockpile.

19 Sediment with measured PCB levels greater
20 than 35 ppm would be transferred to the indirect thermal
21 desorption pyrolysis system.

22 In parallel to this activity, excavation
23 of the Coke Ovens site would be taking place, and that
24 material would be transported also to the processing
25 plant, placed in a segregated staging area.

1 So, Tar Ponds sediment and contaminated
2 Coke Ovens soil is loaded into the feed hoppers to the
3 system, equipped, of course, with screens to remove large
4 debris.

5 The daily throughput of the plant is
6 estimated at 800 tonnes per day.

7 The sediment soil is mixed with a
8 controlled amount of water to create a dense slurry.
9 This mixture is then heated to a temperature of 75 to 80
10 degrees, and processed in rotary tumblers.

11 Under controlled conditions of slurry
12 density, temperature, mixing intensity and retention
13 time, the primary transfer and absorption of PCB to tars
14 -- and tars, pardon me, to coal, is achieved.

15 Again, this is based on the SOA principles
16 described earlier.

17 All vapours containing BTEXs and VOCs
18 generated as a result of heating and conditioning the
19 mixture are extracted and processed in an exhaust gas
20 scrubbing system.

21 This system is comprised again of
22 conventional equipment, vapour condensers, phase
23 separators, activated carbon filters and the like.

24 After processing in the tumbler, the
25 slurry is discharged to conditioning tanks equipped with

1 agitators, wherein the contaminant transfer absorbtion
2 process is completed.

3 The resulting mixture of carbon particles
4 with absorbed contaminant, mineral matter and water are
5 separated into carbon and mineral fractions using
6 conventional gravimetric separators common to the mineral
7 industry. The carbon fraction is thermomechanically
8 dried again using conventional drying equipment to reduce
9 the moisture content sufficiently for bulk material
10 transportation.

11 The carbon fuel of course would have a PCB
12 content less than 35ppm, a heating value or calorific
13 value of 9,000. Between 9,000 and 12,000 BTUs per pound
14 and passes PCLP test.

15 The mineral product is separated by a
16 conventional screening method into course and fine
17 fractions, typically using a cut point of one millimetre.
18 Both fractions being analyzed for residual PCB and PAH
19 content. Based on the technology demonstration results
20 the coarse mineral fraction meets cleanup criteria. Any
21 mineral product that does not meet their criteria is
22 post-treated by conventional thermal desorption.

23 All mineral product from the alternative
24 treatment train will cleanup criteria. This product is
25 suitable for reuse as fill material during site

1 reclamation. Again, as noted earlier, St. Lawrence
2 Cement Group is interested in using the non-hazardous
3 carbon fuel for coal firing their cement kilns. This
4 material can be transported by bulk ship carrier to their
5 St. Lawrence facility. So that's a very general
6 description of the treatment train for low PCB sediment.

7 Now, about the high PCB sediment. There's
8 an estimated 70,000 tons of high PCB, again 35ppm above.
9 All high PCB sediment found during excavation would be
10 segregated in the material staging area. This material
11 would be processed using pyrolysis or indirect thermal
12 desorption. Umatac U-M-A-T-A-C and ATP Systems are two
13 companies that are licensed for treating hazardous PCB
14 contaminated material and have equipment available for
15 this work. In fact Umatac was another company that
16 participated in the technology demonstration.

17 The pyrolysis indirect thermal desorption
18 treatment of high PCB sediment removes PCB from the
19 sediment and generates a liquid condensate containing the
20 PCBs. The liquid will be containerized and transported
21 offsite for destruction at approved facilities. Here
22 there are several technology options that can be
23 considered. Hydrogenation, chemical treatment or
24 incineration. There are a number of companies that offer
25 PCB destruction services.

1 TDBTD has provided, in our submission to
2 the panel, a copy of a letter from Earthtec Canada
3 operators of the Swan Hills facility in Alberta stating
4 their interest and capability to manage this material.
5 So that's just a very quick overview of the alternative.
6 How we doing for time?

7 So our closing remarks. The remedial
8 methods proposed by the Proponent do not provide
9 permanent cleanup of the Tar Ponds or the Coke Oven site.
10 Eighty percent or more of contaminants will remain in
11 place forever. Demonstration test results show that the
12 proposed remedial methods performed poorly. Testimony at
13 this Panel Review from experts in this field show that
14 the proposed methods have a high risk of failure.

15 The project has ignored results of the
16 technology demonstration and the community's evaluation
17 of a technology acceptability. The cost estimates for
18 the favourite option 3 soil washing of five hundred and
19 twenty-one eight hundred and twenty-seven and one billion
20 dollars have been grossly exaggerated. The Proponent has
21 provided no justification for not selecting better
22 alternatives to the project. There are some doubts about
23 the diligent and unbiased evaluation of remedial options.

24 As one of only six participants in the
25 technology demonstration it was surprising that the lead

1 consultant for STPA was not aware of TDB's participation
2 in the demonstration program and merely presumed that we
3 were equipment salesmen. By implementing the alternative
4 cleanup strategy based on a modified option 3 approach,
5 the cleanup will be effective and it will be permanent.

6 A modified option 3 will not cost five
7 hundred and twenty-one million dollars (\$521,000,000) or
8 eight hundred and twenty-seven or one billion. Again as
9 we said before, we've estimated the cost at three hundred
10 and ninety-two million plus or minus five percent. The
11 STPA proposed project is an extremely complex
12 undertaking. In contrast the design and execution of the
13 alternative is rather simple. It is based on proven
14 technology and equipment that have been used reliably in
15 industry for decades.

16 As opposed to the project the alternative
17 will permit the contaminated sites to be returned to near
18 pre-industrial conditions providing more options for
19 future land use. The alternative will provide the same
20 if not more local job opportunities for general labour,
21 technical, trades and professionals. The alternative
22 could be utilized for other remedial projects, including
23 but not limited to cleanup of contaminated soils in the
24 residential areas, cleanup of harbour sediments and
25 reclamation of coal preparation sites and tailing ponds.

1 That concludes our presentation.

2 Madam Chair, members of the Panel, we
3 thank you with the opportunity to provide you with -- and
4 the residents of Sydney -- some background and insights
5 to an alternative that can lead successful cleanup of Tar
6 Pond and Coke Oven site. We'll be happy to answer any
7 questions.

8 TD ENVIRO INC.

9 --- QUESTIONED BY THE JOINT REVIEW PANEL

10 THE CHAIRPERSON: Mr. Kramer, Mr. Rojek,
11 Dr. Ignasiak, thank you very much for your presentation.

12 I'd like to begin just to ask for some
13 clarification. When you participated, when TD Enviro
14 participated in the technology demonstration program,
15 what was your -- on what grounds did you participate?
16 What was your understanding that it was done entirely at
17 your own expense and there were no guarantees of any
18 commitment after this. So could you just perhaps explain
19 what the circumstances were.

20 MR. KRAMER: Madam Chair, your
21 understanding is correct, we knew full well going into
22 the demonstration that there were no guarantees.

23 THE CHAIRPERSON: Could you perhaps just
24 clarify for us, when you talk about the modified RAER
25 option 3, what constitutes a modification?

1 DR. IGNASIAK: The modifications actually
2 are extremely simple. The first modification which has
3 a major bearing on the cost of the project is that we
4 would be not dredging the material. We would be first
5 dewatering the sediment and subsequently excavating it.
6 The other modifications, as a matter of fact, my
7 colleague already described. This is the key addition.
8 This one that I described.

9 Everything else was described. We would
10 be excavating the material, we would be taking this minor
11 certified PPM material and processing via CSP and that
12 would be the seed for the St. Lawrence Cement Plant. The
13 remaining material was plus certify PPM would be going
14 most likely to indirect thermal desorption or pyrolysis
15 and as Jim said, pyrolysis was actually tested during the
16 demonstration, 2002 demonstration and was shown to work
17 very well.

18 THE CHAIRPERSON: When you came up with
19 the modified cost for this option of three hundred
20 ninety-two million plus or minus five percent, now that I
21 presume -- obviously that comes in under four hundred.
22 Now, did you kind of work backwards from the four
23 hundred? That would seem to be a likely possibility and
24 you work out a technology train or a method that would
25 fit within that.

1 DR. IGNASIAK: Thank you very much for
2 this question, Madam Chair. Long before we started
3 talking here in Nova Scotia or before Federal Government
4 started talking about four hundred million dollars
5 (\$400,000,000), at least one year before we submitted
6 this cost estimate of three hundred ninety-two million
7 plus minus five percent.

8 As a matter of fact, the Minister of the
9 department, Nova Scotia Department of Transportation and
10 Public Works was so sure that this is coming, in fact,
11 from us that he even mentioned that this is cost estimate
12 for the soil washing. So it was at least one year before
13 the Nova Scotia Government and the Federal Government
14 actually mention about four hundred million.

15 THE CHAIRPERSON: So now it's become
16 apparent -- we now have learned that there is not four
17 hundred million dollars (\$400,000,000) left to carry out
18 the remediation because some of this money has already
19 been spent of preventative works and other aspects as you
20 know. So you have put a cost estimates development
21 earlier than -- on the table and now it would appear that
22 there is not sufficient -- this is a higher number than
23 the money left. Do you wish to comment on that?

24 DR. IGNASIAK: Madam Chair, we perfectly
25 well know that there is not four hundred million left.

1 This four hundred million included the preparative works
2 that are being carried out right now. Actually, a very
3 detailed cost estimate for this optimized or modified
4 option C we submitted, TDETD submitted with their April
5 submission. You will find all details over there.

6 THE CHAIRPERSON: What does the project,
7 as you have put it forward, and the price that you have
8 put forward, what does it -- if you like, what does it
9 buy in terms of the state of the two sites at the very
10 end in relationship to both return to a functioning
11 estuarine habitat in the Tar Ponds and also on the Coke
12 Oven site in terms of a base for future land use? What
13 would actually be there at the very end? I mean would
14 there be any habitat restoration work included in the Tar
15 Ponds, for example? Or would it just be a clean hole in
16 the ground that you can fill back up with water?

17 DR. IGNASIAK: Madam Chair, we made it
18 clear that as far as Tar Ponds are concerned they would
19 be essentially restored to near pre-industrial
20 conditions.

21 As far as the Coke Oven site is concerned,
22 we would be following strictly remedial action and
23 evaluation the report suggested. It means that we would
24 remove -- I mean, we wouldn't be removing, it would be
25 processing, but the soils would be removed to a depth of

1 3.5 metres whenever required and in special cases, in
2 cases of very high contamination the excavation would go
3 down to six metres.

4 THE CHAIRPERSON: And the cleanup criteria
5 that would be achieved would be what, the SSTLs as
6 defined by the Agency or something different. Or CCME
7 guidelines. Would there be a topsoil cover?

8 DR. IGNASIAK: When we were discussing
9 that with Vaughn Engineering during the 2002
10 demonstration program we understood that CCME criteria
11 will be applied and as a matter of fact at that time
12 Vaughn Engineering informed us that it may be quite
13 likely that the criteria will be applied with a typical
14 of residential CCME criteria.

15 THE CHAIRPERSON: So you're saying that
16 it's possible that some or all of the Coke Oven site
17 might be usable for residential purposes?

18 DR. IGNASIAK: The -- we worked with this
19 presumption based on the information that we obtained
20 from Vaughn Engineering that this might be the case, that
21 actually the Proponent may in fact, require -- that was
22 2002 that the soil should be clean to meet residential
23 criteria requirements.

24 THE CHAIRPERSON: I'd just like to now go
25 to the fuel product, the government fuel product that you

1 would produce and its -- and where it would be going.
2 Now you've indicated that it will contain PCBs in low
3 concentrations and you've -- so this -- these would now
4 be burned in a cement kiln according to the proposal that
5 you have here.

6 Now, is it your understanding that -- I
7 mean first of all, a cement kiln would there be any
8 permitting issues around the fact that they'd be burning
9 some PCBs and what -- is it your understanding that PCBs
10 can be burned cleanly without any environmental or air
11 quality emission concerns in a cement kiln?

12 MR. KRAMER: Madam Chair, the cement kiln
13 company that's interested in the product is already
14 licensed for PCB contaminated material. And the carbon
15 fuel product that we would produce is within their range.

16 THE CHAIRPERSON: Is that where the 35
17 parts per million comes from? The -- your cut off range,
18 that's -- it's associated with the end user of the carbon
19 fuel product?

20 MR. KRAMER: I'm sorry, could you repeat
21 that?

22 THE CHAIRPERSON: I see Dr. Ignasiak
23 nodding. Well, we see that you have a criteria that
24 you're using in terms of dividing the PCB sediment.
25 You're not using the 50 parts per million, you're using

1 35.

2 DR. IGNASIAK: Yes, you are absolutely
3 right. We actually decided to lower that to 35 because
4 as my colleague mentioned, they -- during the processing
5 using the CSP we will be transferring essentially all
6 contaminants from mineral metal into coal. So if we
7 started with 50ppm and transfer everything into coal we
8 would be over 50. That's why we decided after number of
9 calculations that the upper limit of PCB contamination,
10 in our case, would have to be 35 not 50.

11 THE CHAIRPERSON: I'm just -- my last
12 question on that point is, as you know, it's been a big
13 concern of the Tar Ponds Agency. They feel from past
14 experience that the chances of being able to successfully
15 move any either residual or indeed any products, fuel
16 products made from sediments and soils in -- connected in
17 any way with the Tar Ponds that they feel that it has
18 limited success. They're not sure that any community
19 would be willing to accept that material.

20 Now, what comment do you have to make on
21 that? Do you feel that you'd have no trouble in
22 transporting this -- the carbon fuel to say, Joliette,
23 Quebec? What happens if they get wind of the fact that
24 the origin of this -- which they would -- the origin of
25 this material? You don't -- you have reason to believe

1 there would not be some kind of an outcry.

2 DR. IGNASIAK: Well, actually, Madam Chair
3 you want a long story or a short story? Actually --

4 THE CHAIRPERSON: You shouldn't ask me
5 questions like that. You know what I ask for but anyway
6 how about a medium-sized story.

7 DR. IGNASIAK: Okay. Actually our first
8 potential client was LaFarge of Canada. But when we were
9 very close to signing an agreement with LaFarge Canada
10 and that was September 4th or 5th, 2004, we were informed
11 by LaFarge that somebody phoned them from Sydney and told
12 them that in fact, if we don't pay one hundred dollars
13 (\$100) they shouldn't -- per tonne they shouldn't have --
14 they should not take it. So obviously our understanding
15 with LaFarge Canada was that they would be burning this
16 fuel free of any charges. So we dropped this deal and we
17 started talking to next company. This is the one that
18 Jim presented, the St. Lawrence Cement Group.

19 The St. Lawrence Cement Group we started
20 talking to them almost two years ago, very close to two
21 years. And one of the first things that they did after
22 we -- after they analyzed the product and tested the
23 product, they essentially talked with the Citizens
24 Committee. They indicated where the product would be
25 coming from and they indicated that the product would be

1 non-hazardous product that passes TCLP leachability test
2 for organics and for metals. And our understanding based
3 on the recent discussions with St. Lawrence Cement is
4 that they do not have really major problems with that.

5 THE CHAIRPERSON: Thank you.

6 MR. CHARLES: My colleague, Dr. LaPierre
7 doesn't seem to have any questions so -- for a change.
8 But I have a couple. In your estimations of the PCB
9 concentrations in the Tar Ponds, did you rely on the
10 information that's been generated by the Proponent?

11 DR. IGNASIAK: Yes, we did rely on the
12 information generated by the Proponent, yes.

13 MR. CHARLES: And are you relatively happy
14 with the accuracy of that information?

15 DR. IGNASIAK: Dr. Charles, even if this
16 information is incorrect, even in this case when we
17 excavate every day, 500 tonnes of the sediment and each
18 batch is going as my colleague described, to a special
19 facility, totally enclosed facility, that it's going to
20 blend that and the samples are going to be taken and
21 analyzed for PCB then we'll decide which way this
22 material will go. Where if it's over 35 it would go the
23 way as it's required to treat it with pyrolysis or
24 indirect thermal desorption. If it's below 35 it would
25 go to the CSP plant.

1 MR. CHARLES: And you're excavating down
2 to bedrock are you, in the Ponds?

3 DR. IGNASIAK: No, we wouldn't be
4 excavating that to bedrock. We would be excavating that
5 to clay layer.

6 MR. CHARLES: Down to the clay layer?

7 DR. IGNASIAK: Yes.

8 MR. CHARLES: On the assumption that
9 there's nothing underneath the clay layer of any problem?

10 DR. IGNASIAK: On the assumption that
11 there is nothing underneath the clay layer. That's at
12 least what the Proponent assured us or was trying to
13 assured us. But anyway, if we see that there is some
14 sort of additional contamination, well, then at least you
15 see that.

16 MR. CHARLES: Okay, the Proponent has
17 talked about excavating football field size areas. How
18 large would your excavations be, because you're talking
19 about keeping them enclosed so that there's not a lot
20 VOCs escaping into the air and so on.

21 MR. KRAMER: Dr. Charles, the excavation
22 area on a daily basis would be significantly smaller than
23 a football field.

24 MR. CHARLES: How significantly smaller?
25 Can you give me a sense of it. Is it as big as this

1 room?

2 MR. KRAMER: Well, you're talking about
3 removing, you know, approximately 400 tonnes from each
4 site. 400 tonnes is approximately 400 cubic yards.

5 MR. CHARLES: Your proposal says 500.

6 MR. KRAMER: It's a total of 800 so I'm --
7 400 from each site approximately. In 500 tonne batches.

8 MR. CHARLES: Batches.

9 MR. KRAMER: Yeah.

10 MR. CHARLES: Okay, 500 tonne batches.
11 That's what I was looking at.

12 MR. KRAMER: That's correct.

13 MR. CHARLES: And when you're doing that
14 you're talking about sealing it. So you'd dewater first,
15 excavate ---

16 MR. KRAMER: No, dewater, seal ---

17 MR. CHARLES: Seal.

18 MR. KRAMER: --- provide an odour seal.
19 And then excavate a small area at a time.

20 MR. CHARLES: Okay. Now what about the
21 Coke Ovens? Well, you're going down 3.5 metres generally
22 but down to six in some cases. What happens to the
23 material, PAHs or whatever else below that level? They
24 just stay there?

25 DR. IGNASIAK: At this point, we took, at

1 the point of departure the requirements which were set up
2 for option 3. Option 3 cost estimates was based that
3 they will go down to 3.5 metres for all contaminants and
4 in particular cases, down to six metres.

5 MR. CHARLES: So that's your option 3 and
6 your modified option 3 are the same?

7 DR. IGNASIAK: In this respect as far as
8 the depth of excavation is concerned, you are absolutely
9 right.

10 MR. CHARLES: But you're only going to
11 have a soil cover on top of the Coke Ovens are you not.
12 There's not going to be any other kind of a cap?

13 DR. IGNASIAK: We don't think that land
14 farming would really do the trick. We would be washing
15 the soil whenever is possible and economically right.
16 And we do not expect to put a cap.

17 MR. CHARLES: But what I'm concerned about
18 is that I appreciate you're going to soil wash the
19 material down to 3.5 metres or 6.6 metres wherever you
20 need to. But below that, what happens?

21 DR. IGNASIAK: The cost estimate that you
22 have three hundred ninety-two million plus minus five
23 percent is based on the same principles that were
24 accepted by the people who designed the RAER option 3.
25 Down to 3.5 metres and in exceptional cases to six

1 metres.

2 MR. CHARLES: Yes, I understand that but
3 if there are contaminants below that level, they just
4 stay there and you feel that the clean soil that's been
5 placed above them plus the soil cap would keep them away
6 from harm? No.

7 DR. IGNASIAK: No, we don't think there
8 certainly will be impact on groundwater as it is right
9 now but while in case of Tar Ponds other approach I think
10 would resolve all the problems in this case, really, the
11 water treatment monitoring would still have to be
12 pursued.

13 MR CHARLES: All right. Now, what about
14 the coffer dam so called at the head of North Pond? In
15 your proposal since you're going to return the Ponds to
16 an estuarine type of environment would you remove that
17 barrier?

18 DR. IGNASIAK: We wouldn't need the coffer
19 dam ---

20 MR. CHARLES: You would need it?

21 DR. IGNASIAK: We would not need the
22 coffer dam when we work with the South Pond. We would
23 start working in the southern part of the South Pond and
24 proceed north. When we would switch to North Pond, yes
25 the coffer dam would have to be completely enclosing the

1 pond so no contaminants would be transferred to the
2 Sydney Harbour.

3 MR. CHARLES: And you're going to have a
4 temporary channel put through, right?

5 DR. IGNASIAK: Yes, temporary channel,
6 first for the South Pond, then for the North Pond.

7 MR. CHARLES: And I notice that when you
8 get through with your soil washing process for sediments
9 that still have more than 35 parts per million PCBs,
10 you're going to put it through a chemical process or a
11 heating process which perhaps -- I know you haven't
12 finalized this -- but incineration is one possibility, is
13 that correct?

14 DR. IGNASIAK: I'm afraid I didn't quite
15 get it. I understood that you said that we would have on
16 the soil 35ppm PCBs. Is that what you said?

17 MR. CHARLES: No, I was thinking about the
18 elements of your sediments that are above 35 that have to
19 have additional treatment. That additional treatment can
20 consist, I think in your statement, of either
21 hydrogenation or thermal desorption or I think you
22 included incineration. And in -- I believe you also said
23 supersonic something or other.

24 DR. IGNASIAK: Supersonic, yes.

25 MR. CHARLES: Supersonic. I was

1 interested ---

2 DR. IGNASIAK: Well, sonic actually, not
3 supersonic. Supersonic it would be going a little bit
4 too fast.

5 MR. CHARLES: Yeah, it'd work pretty fast.
6 But I'm interested in this technology. I've never heard
7 it used before -- referred to.

8 DR. IGNASIAK: Well, actually I believe
9 about two weeks ago in response to Mr. Potter's statement
10 that this is the technology in -- still in the cradles,
11 so to say. I just mention that it was officially approved
12 for usage in the Province of Ontario.

13 MR. CHARLES: So it's a new evolving
14 technology?

15 DR. IGNASIAK: Well, it has been evolving
16 for a considerable period of time. But now it is fully
17 approved for usage in Ontario.

18 MR. CHARLES: It's just been recognized,
19 so to speak.

20 DR. IGNASIAK: Yes. Yes. It's got all
21 approvals.

22 MR. CHARLES: All right. What do you
23 intend to do with the material in the tar cell which is
24 apparently, from the Proponents point of view, kind of
25 nasty stuff and has to be dealt with carefully.

1 DR. IGNASIAK: Thank you for this
2 question. There's a very good actually material for the
3 clean soil process. Because the clean soil process is
4 really based on agglomerating tremendous amount of this
5 coal and coke which you have in the Tar Ponds. And I
6 mention that really on dry weight it is about 50 percent
7 of the sediment. If we add more oil will this
8 agglomeration -- and the material from the tar cell
9 contains a lot of oil -- I suspect because I have never
10 seen really analysis on this material.

11 The only thing that was given is the TPH
12 content for this material. When we use this material as
13 a bridging liquid we will use this thing to agglomerate
14 coal. So that suits perfectly well our process. Our
15 process is really based as Jim said on spherical oil
16 agglomeration. It means that the oil is gluing together
17 the small particles of coal and coke.

18 MR. CHARLES: Thank you. Well like, Mr.
19 Shosky, when I read your TD Environment presentation I
20 got out my calculator and I notice that the high PCB
21 sediment -- this is on figure 1, page 5 of enclosure 2 --
22 the high PCB sediments, the volume is 70,000 tonnes to
23 start with but the residuals total volume is only 24,000
24 tonnes. So I guess my question is, where has the
25 remaining 46,000 tonnes gone? Is it gone into this 2,000

1 to 4,000 concentrate -- tonnes of concentrate?

2 DR. IGNASIAK: Mr. Charles, if I do
3 understand your question, then I think the answer is in
4 your first question you asked here during this hearing,
5 what is the in situ moisture content of the sediment, and
6 you've got different, really, answers, and I was trying
7 to correct those answers. I don't think I was very
8 successful. But anyway, on average, there is about 45
9 percent of in situ moisture in the sediment.

10 If you take correction for that, you go
11 down from the 70,000 very significantly, and then we are
12 expressing everything, at least that's what my colleague
13 was showing, on dry metal.

14 MR. CHARLES: Okay. And you can't use
15 that moisture in any way, shape or form, eh? Be good if
16 you could. I'm being half facetious, but I want to be
17 efficient here with the process.

18 I notice that one of your plans is to take
19 the clean soil and the things you're taking to -- by
20 barge to Quebec. I must say, I'm very disappointed that
21 you're not using a railroad, because I've made it quite
22 clear here that I'm a railroad man!

23 Have you included the costs of the barge
24 transportation in your cost estimates?

25 MR. KRAMER: Yes, we have, we did that in

1 conjunction with St. Lawrence Cement, who does barge
2 coal, at the moment, into their plant.

3 MR. CHARLES: Is it cheaper than railroad?

4 MR. KRAMER: I believe so.

5 MR. CHARLES: Too bad. All right.

6 Reference was made to a closed-loop system. Now, can you
7 just give myself, and perhaps other members of the panel,
8 a brief explanation of what a closed-loop system is in
9 terms of how it works under your process.

10 DR. IGNASIAK: I am not so sure whether I
11 understand really the question quite well. If my
12 understanding is not correct, and my explanations do not
13 really get to you, please stop me and tell me that this
14 is not really what you wanted from me.

15 Our system is sort of a closed loop that
16 we are taking advantage of the whole thing. We process
17 everything, and we convert this material into usable
18 carbon, solid carbon fuel, and into mineral matter that
19 can be recyclable.

20 And, what is probably in the system, most
21 important, that we are using technologies that
22 essentially do not -- those technologies that you would
23 be using here, that essentially have near zero air
24 emissions. Our process operates at 75 to 85 centigrade
25 in water, no dust. So therefore, if there are any BTEXs,

1 because there are, they will be absorbed in a system that
2 we've been applying before.

3 The indirect thermal desorption, which
4 would be used for high PCB content material, over 35, is
5 known that essentially it does not have any emissions.
6 The pyrolysis does have emissions, that's why we would
7 rather be more inclined to use indirect thermal
8 desorption.

9 MR. CHARLES: I understand that, and that
10 does not include the handling part of the process, does
11 it, I mean the excavation and the transferring by truck,
12 and that sort of thing?

13 There's still possibilities of dust and
14 escaping VOCs or whatever as part of that, although you
15 do have your excavation under a closed environment.

16 So when you're talking about closed loop,
17 you're talking about the paralyis -- not the paralyis,
18 but you know the one I mean, and the hydrogenation and
19 the desorption part of the process.

20 DR. IGNASIAK: Yes. However, keep in mind
21 that when you de-water the sediment in the pond, you will
22 not de-water the sediment to dry matter.

23 There is a lot of coal and coke over
24 there, and under those conditions of de-watering you can
25 be sure that you will not get the water content below 15

1 percent at the moment when you excavate, because the
2 water content will be still reasonably high.

3 Therefore, this material will not be dusty
4 at the moment of excavation, but certainly you will have
5 problem with odours. That's why my colleague suggested
6 using the sort of a tent over the excavating equipment.

7 MR. CHARLES: My last question. The
8 concentrate that you end up with is 2000-4000 tonnes.
9 How does that get disposed of? I know you talked about
10 off-site facilities, but is that burned in some way, or
11 is it landfilled, or what happens to it?

12 DR. IGNASIAK: No, actually, this not
13 supersonic but sonic technology is one of the potential
14 options. The hydrogenation technology is another
15 potential option.

16 If there was absolutely no other options,
17 you could still look at incineration, but you would have
18 an incineration of 2000 tonnes, not 150,000 tonnes.

19 MR. CHARLES: And when you say if you had
20 to resort to incineration, do you mean by that you're not
21 sure the other systems would deal with the concentrate
22 successfully?

23 DR. IGNASIAK: Or actually -- you see, you
24 cannot incinerate material that have very, very high
25 content of PCBs. If you burn this high content PCB

1 material to an incinerator, they will actually dilute
2 that. They will not treat it this way.

3 However, there is absolutely no problem,
4 as far as I know, to hydrogenate this sort of materials.
5 As a result of this hydrogenation, you generate
6 hydrochloric acid and methane, and that is essentially
7 the key product that you get from this process.

8 MR. CHARLES: So you shouldn't have to go
9 to incineration.

10 DR. IGNASIAK: No, you don't have to go to
11 incineration.

12 MR. CHARLES: I just wondered, because you
13 said "if" you had to.

14 DR. IGNASIAK: You've got a lot of
15 options, but obviously the most logical option would be
16 hydrogenation.

17 The other option now which is available is
18 the sonic technology, which was -- I think it is almost
19 two months ago when it was approved in Ontario.

20 MR. CHARLES: Thank you, everybody.

21 DR. LAPIERRE: Good evening, and thank you
22 for the presentation.

23 I have a question, and it relates to the
24 way -- once you finish your -- I've listened to your
25 explanation as to how you would go about and clean the

1 product, and then you would have the pond open or the
2 estuary open to the ocean.

3 Now, my question relates to, first of all,
4 the Coke Ovens Site. As you've indicated, and as you
5 know, you've indicated that you would clean to 2.1/2 --
6 to 3 meters or up to 6 meters, but the soil is
7 contaminated deeper.

8 You know that the present project looks at
9 deviating groundwater and surface water away from the
10 site because you're going to have contamination.

11 You also know that the bedrock is
12 fractured, and that the bedrock would, more than likely
13 -- some of the contaminants, and you're going to leave no
14 cap or a very limited cap, so water would penetrate. You
15 would still have leaching, and that leaching would, more
16 than likely, follow bedrock crevices down to the ponds
17 that you're leaving open.

18 To me, that leaves an open access to the
19 harbour for the leachate from the Coke Ovens Site.

20 Now, the other question I have is
21 yesterday we were presented with the fact that the
22 delineation of the present tar ponds are not quite
23 historically what they should be. There were and there
24 is a section of the tar ponds which had the same type of
25 material as you have in the tar pond, and they are now

1 covered over by slag.

2 Now, if you remove the material from the
3 tar ponds, you could have also leachate from that,
4 because you're creating a hole, you're moving the -- and
5 if this is a continuous concentration of tarring
6 material, you could then have a remigration of that
7 tarring material into the water ponds that you've cleaned
8 and left for clean.

9 My question is, do you not still have a
10 chance of pollution either from the Coke Ovens Site,
11 which would be continuous over time, and also from the
12 re-leaching of the material that isn't there, and if you
13 have no dam and no protection then the ultimate pathway
14 would be to the harbour.

15 DR. IGNASIAK: That's a complex question.
16 I start with the Coke Ovens Site.

17 You are absolutely right, there will be
18 still leaching of this material which is below 3.1/2
19 meters, and we clearly indicated in our description of
20 this approach that it would be identical really to RAER
21 option 3.

22 You still would have to take care of this
23 water, groundwater. You still would have to do pump and
24 treat. There is no other solution in case if you can not
25 really get more contaminants removed, or if you do not

1 immobilize those contaminants.

2 Well, why I said that in case of tar
3 ponds, in my opinion, the solidification and
4 stabilization of this top 2 meters of material, which is
5 essentially 55/56 percent organics, doesn't make any
6 sense, because this is the material that you can remove
7 very readily. And, in addition, this is the major
8 problem you have with solidification and stabilization.
9 Why don't we remove that.

10 In case of bedrock, for instance, for Coke
11 Ovens Site, I think this is the area that solidification
12 and stabilization could be really applied, this place
13 that we are not going to excavate.

14 Am I clear on the subject?

15 DR. LAPIERRE: Yes, you're clear on it.
16 But then that increases the cost of the project. You
17 have a different project then.

18 DR. IGNASIAK: Absolutely. We just said,
19 and we are maintaining the position, that as far as Coke
20 Ovens Site is concerned, with this project and with this
21 cost estimate, I don't think you would be able to go any
22 deeper or you would be able to do anything, you know, in
23 order really to make sure that the material which already
24 got down to the bedrock will not be distributed and will
25 not travel towards -- west.

1 DR. LAPIERRE: Yeah, but then I guess I
2 come back to my point is, you may have as much
3 contaminant flux moving into the harbour as you have now,
4 maybe more, because you have -- at present time, if I
5 understand correctly, most of the material is bounded up
6 in a pretty solid matrix, and if you control the flow at
7 the entrance by a dam of some sort, you would then stop
8 the migration, which is maybe the major problem.

9 You also haven't answered my question of
10 in migration from the side material, and I guess the
11 concern I have with the project that you're proposing is,
12 at the end, we're still going to have some significant
13 pollution to look at, and you don't foresee a water
14 treatment system which, to me, would somewhat be
15 necessary to put in place.

16 DR. IGNASIAK: I handled the Coke Ovens
17 Site so far, and I said the water treatment system is
18 absolutely necessary over there. If you do not go into
19 excavation in a better way than as it was proposed for
20 RAER option 3, the water treatment system will have to
21 exist over there.

22 Now, let me answer the second part of your
23 question which relates to the tar ponds.

24 Absolutely correct, if you will not treat
25 the water within the Coke Ovens Site, catch the water and

1 treat, then obviously this water -- the normal flow of
2 the groundwater over there is towards the pond, then the
3 water will enter the ponds, there is no doubt about that.
4 But I said we have to leave the water treatment system in
5 the Coke Ovens Site, and also we have to build a barrier
6 which will separate, you know, the restored ponds,
7 actually north pond from the SYSCO site which has all
8 this tremendous contamination.

9 There is no doubt that over there you have
10 to build a barrier to prevent the movement of water and
11 the contaminants from SYSCO site towards the tar ponds.

12 DR. LAPIERRE: But that's not included in
13 your cost, is it?

14 DR. IGNASIAK: That is part of -- yes,
15 this part is included in the cost, as well as treating
16 the water on the Coke Ovens Site.

17 DR. LAPIERRE: So I want to understand
18 correctly, that would include a water treatment system on
19 the Coke Ovens Site?

20 DR. IGNASIAK: Yes.

21 DR. LAPIERRE: And a barrier to eliminate
22 the migration from the SYSCO land.

23 DR. IGNASIAK: Along the eastern shore of
24 the north pond.

25 DR. LAPIERRE: Okay. Thank you.

1 THE CHAIRPERSON: I'll now provide an
2 opportunity for questions from other participants. So,
3 Mr. Potter, 10 minutes, please.

4 --- QUESTIONED BY THE SYDNEY TAR PONDS AGENCY (MR.
5 JONATHAN KENYON):

6 MR. POTTER: Thank you, Madam Chair. I'll
7 ask Mr. Kenyon to provide some questions to the panel.

8 MR. KENYON: Thank you, Madam Chair. Just
9 following up on the comments of Dr. LaPierre, my
10 understanding from Dr. Ignasiak's answers is that there
11 is going to be ongoing water treatment, and, I would
12 assume, monitoring.

13 I wonder if he could comment on whether or
14 not he still agrees or he still maintains that his
15 solution is a walk-away solution.

16 DR. IGNASIAK: I think this solution is a
17 walk-away solution in case of the tar ponds. It is not a
18 walk-away solution in case of the Coke Ovens Site. You
19 have to maintain treatment, and you have to pump and
20 treat the water.

21 However, the problems that will be faced
22 for the tar ponds, in case if the proponent goes with the
23 project as it's being designed now, are certainly going
24 to get worse and worse. I would not expect that in case
25 of tar ponds the situation will be really nothing -- will

1 be really not much, much better than what is being
2 proposed right now in case of solidification and
3 stabilization.

4 MR. KENYON: My understanding from Dr.
5 Ignasiak's answer to the Chair's question with respect to
6 CCME guidelines was that they would meet all soil CCME
7 guidelines for, I believe it was, the Coke Ovens Site.

8 My question for Dr. Ignasiak would be how
9 they would get the arsenic levels below 12 ppm when that
10 is the background.

11 DR. IGNASIAK: The washing generally
12 removes about 80 to 90 percent of the metals from the
13 soil, and the ---

14 MR. KENYON: I should clarify, Madam
15 Chair, CCME guideline is 12 ppm, background is much
16 higher.

17 DR. IGNASIAK: The background for this
18 area is more than 12 ppm, that's correct.

19 MR. KENYON: During the presentation ---

20 DR. IGNASIAK: Can I just add one
21 sentence. We specifically said -- I specifically said
22 that the requirements that were given to us were given by
23 Vaughn Engineering during the 2002 technology
24 demonstration programme. Whether this actual requirement
25 would be maintained or not, that remains to be seen.

1 MR. KENYON: My understanding from the
2 presentation was that I believe it's TDE received the
3 largest grant ever by Federal Government of Canada for
4 environmental technology development. I wonder if that
5 is -- if you can confirm that that's the \$2.4 million
6 grant in July of 1994, is that correct?

7 DR. IGNASIAK: Yes.

8 MR. KENYON: And, at that time, there was
9 a press release which was included in TDE's presentation,
10 and I'll just read to the Chair a portion of that press
11 release:

12 "With thousands of MGP sites
13 worldwide, many of which are now
14 deemed to be hazardous, the cleaning
15 up of these sites has a potential
16 market of hundreds of millions of
17 dollars."

18 My question would be how many MGP sites
19 worldwide has TDE cleaned up using the clean soil
20 process?

21 DR. IGNASIAK: That's a very good
22 question. When the unit was built -- and I believe that
23 a colleague, Mr. Don Shosky, can tell you, because he was
24 actually a part of a team at that time.

25 When the unit was built, and the agreement

1 was signed with NISAC, what appeared to be the case is
2 that the United States Environmental Protection Agency
3 decided that they are not going to increase the
4 requirements in terms of the criteria required for
5 cleaning those sites.

6 Specifically, they allowed to do what
7 really Kipin Industries is doing right now, take the
8 contaminated and the hazardous material in terms of
9 benzene leachability, and add coal to it as long as is
10 required to pass the TCLP leachability test for benzene.

11 Our process is removing the benzene from
12 the material. It is not diluting the benzene so we can
13 reach or meet the TCLP benzene test. That's why --
14 that's why we did not pursue this thing in the United
15 States. Instead, we decided to really rearrange the
16 process and use this process for cleanup of the produced
17 scents produced by the heavy oil industry in Canada.

18 MR. KENYON: So, Madam Chair, just to
19 clarify, the answer to my question is none?

20 DR. IGNASIAK: We have not with this
21 process cleaned the MGP site in the United States.

22 MR. KENYON: Have they cleaned up any MGP
23 sites worldwide?

24 DR. IGNASIAK: Actually, my colleague
25 presented the sites that we either cleaned or we are

1 involved in the cleaning or will be involved in the
2 cleaning, like the Kuwait large 80 million tonne
3 contaminated soils project.

4 MR. KENYON: The question, I guess I may
5 not have clarified -- may not have stated it properly, is
6 how many MGP sites worldwide have been cleaned up using
7 the CSP technology, and by "cleaned up" that would mean
8 completed.

9 DR. IGNASIAK: Once again, I repeat what I
10 said just two minutes ago, we did not clean the MGP
11 sites.

12 MR. KENYON: Has CSP technology been used
13 to clean up any former steel plant sites?

14 DR. IGNASIAK: The CSP technology has been
15 used to clean material that was contaminated with coal
16 and with products of coke industry.

17 The CSP technology was used by -- in Japan
18 by Nippon Steel for aggregating the fine coking coal
19 using tars and recycling this material back to the coke
20 oven sites. This is a much more difficult task than, for
21 instance, cleaning the MGP site.

22 I would like also to mention, regarding
23 the MGP site, that all the MGP sites that were cleaned so
24 far, and that the proponent presented to the panel as
25 being cleaned by solidification and stabilization, were

1 not cleaned by solidification and stabilization.

2 The soil is contaminated by byproducts
3 from MGP sites were simply removed from the sites, and
4 only the soils underneath, that were impacted by
5 leachates from those byproducts, were solidified and
6 stabilized.

7 MR. KENYON: I guess I'd just like to
8 clarify my understanding of the clean soil process.

9 My understanding, it's an absorption
10 process, I believe that's what I took from it, and from
11 Dr. Ignasiak, that the contaminants are actually, I
12 guess, bound up in the coal, which would then be sent to
13 be burnt at the cement plant.

14 Now, I understand that the coal passes all
15 TCLP tests, I would assume that's because it's bound up
16 in the coal, but I would also assume that those
17 contaminants would then be released when the coal is
18 burned, is that correct?

19 DR. IGNASIAK: I would like to answer this
20 question, with your permission, Madam Chair, in more
21 details, and this is in connection with the comments that
22 were made here today, earlier, regarding the combustion
23 or co-combustion or co-burning of the products generated
24 by processing, for instance, the MGP byproducts.

25 It was said that those co-burning are

1 taking place in the coal -- pulverized coal-fired power
2 plants. Well, this is absolutely incorrect.

3 There was only one company, utility
4 company, in the history of the United States, as far as I
5 know, that did it. That was the Rochester Gas and
6 Electric, and they shattered completely their grinding
7 equipment worth about \$25 million. Nobody repeated that
8 after them.

9 What is being done in the United States,
10 and still being done, is that if -- for instance, our
11 colleague from Pittsburgh, Kipin Industries, when they
12 produce 1.5 million tonnes of this product, they do use
13 only two moving grades which are available in the United
14 States for this sort of combustion. This is not being
15 combusted in pulverized coal-fired plant.

16 Now, I would like to really respond in
17 details to the question what is happening with the
18 contaminants which are on the coal.

19 Well, the first thing when you burn coal
20 in any pulverized coal-fired power plant is when the
21 temperature of the individual particles reaches 3/400
22 centigrade, what you do is you generate tar and you
23 generate PAHs.

24 But keep in mind that though the residents
25 time is only of the order of 4 seconds, the temperatures

1 are still about up to 1000 centigrade, and the capability
2 of the PAHs to withstand temperature more than 400
3 centigrade is essentially nothing. That's why, in the
4 coal-fired power plant you don't have a problem with
5 PAHs. They are perfectly well burned.

6 Now, as far as St. Lawrence Cement kiln is
7 concerned, the temperatures over there for the solids are
8 of the order of 450 centigrade. The temperature of the
9 gases are about 1500 to 1550 centigrade. The residents
10 time for the solids is 20 minutes. The residents for the
11 gases is about 20 seconds.

12 So you cannot compare, even remotely,
13 combustion of anything in a kiln as compared with a
14 combustion in a coal-fired power plant. These are
15 entirely different things.

16 And I think that Mr. Shosky really did not
17 provide the right information to the panel regarding the
18 combustion in a cement kiln.

19 THE CHAIRPERSON: Mr. Kenyon, I'm afraid
20 that has used up quite a bit more than 10 minutes, so do
21 you have one more question, and then -- if we can get a
22 short answer, please, and then I would like to provide
23 opportunities for other people to ask questions.

24 MR. KENYON: Yes, just one more question.
25 It's a clarification on a comment that was provided

1 earlier that the -- I believe it was that the St.
2 Lawrence Cement kiln facility was permitted to take this
3 fuel.

4 Going back to the materials presented by
5 TDE, they've attached a letter from St. Lawrence Cement
6 from November 8, 2005. Just reading from that letter it
7 states that:

8 "We are now planning to meet with the
9 Quebec Ministry of Environment to
10 initiate the permitting process that
11 will allow us to use the CSP
12 generator fuel in the Joliette cement
13 plant."

14 I guess we haven't seen the information
15 that they are permitted to do this, and, if they are
16 permitted, could we please be provided with a copy of it.

17 DR. IGNASIAK: First of all, they are
18 permitted to use any alternative fuel that is below 50
19 ppm PCBs.

20 However, they feel that it is their duty
21 and obligation, when they are bringing a different type
22 of fuel, which would be characterized not only minus 50
23 ppm PCBs, but with some other things, they want to get
24 additional permit, an assurance of getting permit, from
25 the Quebec Minister of Environment.

1 THE CHAIRPERSON: Thank you, Mr. Kenyon.

2 I'd like to -- we are running late, or we
3 are going to run late, I imagine.

4 Can I get an indication of how many of our
5 registered presenters have questions for the presenters.
6 Ms. May, Ms. MacLellan, just a minute please. That's all
7 I see, okay.

8 I'll take Ms. MacLellan first, and then
9 Ms. May. And can we make it no more than two questions,
10 please.

11 --- QUESTIONED BY CAPE BRETON SAVE OUR HEALTH COMMITTEE

12 (MS. MARY-RUTH MACLELLAN):

13 MS. MACLELLAN: Well, I actually had two,
14 but maybe I can -- three, but maybe I can make two into
15 one.

16 My concern is with the safety of the
17 people, and the areas around the site that are
18 contaminated.

19 Do you have a plan that would keep the
20 people safe while you're doing the work, and also what
21 would you -- a lot of the properties here have a lot of
22 contaminants in them. The movie house sits in the
23 sludge, Sobeys sits in the sludge. Is there a plan in
24 place, in your programme is that something that will have
25 to be dealt with afterwards? Because my concern is that

1 as long as you clean it up, and you don't clean it all
2 up, it's all going to leach back in to where it was.

3 DR. IGNASIAK: I'm not sure I really got
4 straight your question. You first asked me, if I
5 understand, about how we are going to treat the people?

6 MS. MACLELLAN: Yeah, I'm wondering how
7 you keep the people safe and, at the same time, like you
8 mentioned cleaning up other areas.

9 There are people who have all these
10 contaminants under their homes and in their basements,
11 and they've been told, on occasion, that they're the
12 problem, that the contamination in their basement is
13 leaching into the tar ponds.

14 So if we don't clean it all up, how will
15 it work?

16 DR. IGNASIAK: I think I got it. My
17 colleague actually suggested that, as opposed to
18 solidification and stabilization and incineration, the
19 unit that we are proposing for soil washing, especially
20 for sediment, and for soils from Coke Ovens Site, this
21 same unit could be actually used to clean the environment
22 in terms of the back yards, front yards, etcetera.

23 The unit would be left here, and you can
24 really, I think, generate some business with this unit.
25 And my colleague actually listed what sort of potential

1 businesses you could look at.

2 MS. MACLELLAN: Okay. My other question
3 is water in the leaching, and the pump and treat that
4 would be left at the Coke Ovens Site, what kind of a
5 system is the treatment system?

6 DR. IGNASIAK: We, as far as -- and I
7 think I responded to Dr. LaPierre, as far as Coke Ovens
8 Site, we would not go beyond and above what was suggested
9 in the original RAER option 3 which was selected by 66.5
10 percent of the respondents from the Cape Breton Regional
11 Municipality. At this cost, we wouldn't go above that.

12 MS. MACLELLAN: Thank you.

13 THE CHAIRPERSON: Thank you, Ms.
14 MacLellan.

15 Ms. May.

16 --- QUESTIONED BY THE SIERRA CLUB OF CANADA (MS.

17 ELIZABETH MAY):

18 MS. MAY: Thank you. Actually, I'd
19 appreciate an opportunity, Madam Chair, to follow up on a
20 question that I don't think the presenters answered from
21 Dr. LaPierre on the subject which we've been concerned
22 about, at the Sierra Club of Canada, about the sludge
23 material that's under the slag.

24 It's not in the current definition of the
25 project at all, and it wasn't part of RAER option 3, so

1 it probably isn't part of your specifications, but can
2 you address what could be done, can you suggest what
3 might be done, because I don't think it should be left
4 there.

5 DR. IGNASIAK: Thank you very much for
6 this question. As a matter -- I apologise, I somehow
7 really haven't responded. You clearly indicated this
8 slag, and whatever is under the slag.

9 Well, we don't know, really, how much of
10 this material is under the slag. We don't have the
11 slightest idea whether this material is actually
12 contaminated with PCBs or not.

13 At this point, I understand the proponent
14 wants to leave everything as it is.

15 I believe that really you can really get
16 some sort of an understanding of the situation if you
17 start excavating, then you will eventually face reality.

18 And I really think that if you really want
19 to remediate the tar ponds, you certainly should touch
20 the slag, and you certainly should see what is underneath
21 the slag.

22 And if this is really tar which is
23 contaminated with PCBs, even if it's tar only, I really
24 think it would be absolutely worthwhile to take care of
25 that at the same time. If it's not taken care right now,

1 it will be never taken care in the future.

2 MS. MAY: My second question is related to
3 a question asked by you, Madam Chair, in relation to what
4 makes you think material can be moved. And in response I
5 didn't really understand your answer.

6 You said in your initial discussions with
7 another cement kiln company, LaFarge, I believe you said
8 someone from Sydney interfered, and I just -- I don't
9 understand, was it someone -- are you saying someone in
10 the community tried to interfere? I don't understand
11 what happened there.

12 DR. IGNASIAK: Well, I was trying to be
13 gentle in my description, but I tell you it -- really,
14 the interference came from the Sydney Tar Ponds Agency.

15 MS. MAY: I understand now, thank you.

16 THE CHAIRPERSON: Is there anyone who is
17 not a registered presenter who has a question for the
18 presenters at this time? Yes, Mr. Ells. Yes, Mr.
19 McMullin.

20 --- QUESTIONED BY MR. CAMERON ELLS:

21 MR. ELLS: Thank you, Madam Chair.
22 Earlier this week Ms. May gave a quick description of the
23 technology as being able to completely transfer the PAHs
24 and PCBs off of the sediments, and I was curious if the
25 soil washing that's being proposed is expected to

1 actually transfer a hundred percent of the organics off
2 of the sediments.

3 DR. IGNASIAK: I think your understanding
4 is correct that during soil washing the organics which
5 are deposited on the mineral metal are transferred onto
6 the coal particles and are [--] coal particles.

7 Your second question was, can it transfer
8 totally. It means can it clean totally the inorganics.
9 The answer was provided by Jim, who said that for
10 particles larger -- mineral metal particles larger than 1
11 millimetre, yes, this is quite possible. For particles
12 smaller than 1 millimetre, generally direct thermal
13 desorption would have to give the final [--].

14 MR. ELLS: Then if those fine particles
15 had 20, 30, 40 percent organic content, the thermal
16 desorption would remove all of that?

17 DR. IGNASIAK: Thank you for your answer.
18 Perhaps I didn't express myself clearly.

19 Even the finest particles which in this
20 case would be particles smaller than 1 millimetre but
21 larger than 50 microns, particles below 50 microns will
22 go with the coal fuel. So, those particles from about
23 50, 60 to 1 millimetre, they will have not more than
24 about 0.6, 0.7 percent potential contaminants.

25 We presented, as a matter of fact, that in

1 our demonstration report, and those particles can be
2 perfectly well cleaned using direct thermal desorption if
3 it's required -- if it's required, yes, as a secondary
4 process.

5 MR. ELLS: Could I have one last quick
6 one?

7 In the cost estimate that you've put
8 forward, the three hundred and some odd million dollars,
9 about how many tonnes of coal were you expecting to use
10 on site or handle on site?

11 DR. IGNASIAK: Sorry, could you repeat
12 that. How many tonnes of what?

13 MR. ELLS: How many tonnes of coal, the
14 carbon fuel.

15 DR. IGNASIAK: Coal?

16 MR. ELLS: The fine stuff to adhere the
17 ---

18 DR. IGNASIAK: My colleague presented an
19 answer that we would generate roughly about 350,000
20 tonnes of coal.

21 MR. ELLS: 350,000?

22 DR. IGNASIAK: Tonnes of coal, of
23 aggregated coal.

24 MR. ELLS: Okay. Thank you.

25 THE CHAIRPERSON: Thank you, Mr. Ells. Mr.

1 McMullin?

2 --- QUESTIONED BY MR. DAN MCMULLIN

3 MR. MCMULLIN: Good evening and thank you.
4 Two short questions. First of all, I was well aware of
5 this company called TDETDV long before I met you, Mr.
6 Ignasiak. I had heard and seen documents that apparently
7 you sent to virtually every politician in the area that
8 was or could have been involved with the Tar Ponds. So,
9 you have been very tenacious in putting forth your
10 project.

11 I wondered about how you were treated
12 during the Technology Demonstration program. I would
13 have expected if I had participated in that program that
14 I would have been contacted at the end of the process and
15 told that my process was not accepted, accepted, or
16 whatever.

17 So, can you tell me, considering how much
18 you've indicated that the SS process won't work and how
19 much you've put forward your own process, were you ever
20 talked to by the Tar Ponds Agency or others about why it
21 was not acceptable?

22 DR. IGNASIAK: Well, we had a very good
23 relationship with [--] Engineering and that is
24 essentially when the whole interaction ended. We have
25 never had any requests from the Tar Ponds Agency to

1 provide additional information or to react to questions,
2 never.

3 And then we asked some other companies who
4 participated in the same process like, for instance,
5 people from Calgary who are [--]. They were never
6 approached by Sydney Tar Ponds Agency with any questions.

7 MR. MCMULLIN: One more short question.
8 You mentioned during your presentation the use of local
9 labour, and I'd like some clarification on how you would
10 see local labour being involved here.

11 DR. IGNASIAK: Well, actually the other
12 day when I was here there was a gentleman who asked a
13 question about what are the potentials for employment if
14 the project goes ahead, and I mentioned to him that -- he
15 was from the Steelworkers Union, and I mentioned to him
16 that really a year ago we had a telephone call from the
17 president of the union and he was inquiring whether the
18 union would get the job if the union -- if the Clean Soil
19 Process(?) Union was here, we said we don't see any
20 problems because we certainly wouldn't bring anybody here
21 from Alberta to work on this unit.

22 The only person that probably would be
23 here from Alberta would be a supervisory engineer who
24 would be taking the responsibility for, you know, running
25 the unit.

1 MR. MCMULLIN: So, you would train local
2 people to operate the unit?

3 DR. IGNASIAK: Absolutely from A to Z, the
4 whole crew would be composed of local people.

5 MR. MCMULLIN: Thank you very much.

6 DR. IGNASIAK: Thank you.

7 THE CHAIRPERSON: Thank you, Mr. McMullin.

8 Well, I do recognize you say you're a
9 little late, but if you could come and ask a question
10 quickly. We need to take a break. Could you identify
11 yourself, please.

12 --- QUESTIONED BY MR. DOUGLAS MACKINLAY

13 MR. MACKINLAY: Douglas MacKinlay. One
14 quick question. Mr. Ignasiak, you said that the Sydney
15 Tar Ponds Agency provided their financial analysis of
16 your proposal and that it was about \$827 million and you
17 asked them for details or for a copy of their audit and
18 they never provided it to you, which I find shameful.

19 I'm wondering if you asked for it more
20 recently or again and again and what their response was
21 and whether they ever gave an explanation as to why they
22 shamefully ignored your request.

23 DR. IGNASIAK: As far as I know -- and I'm
24 trying to keep on top of that -- TDETDV has never got any
25 response.

1 THE CHAIRPERSON: Thank you. I think that
2 does -- yes. So, I have a request from the Tar Ponds
3 Agency. Is this for a brief point of clarification, Mr.
4 Potter?

5 MR. POTTER: It's in relation to a comment
6 made by the witness a moment ago.

7 THE CHAIRPERSON: Yes.

8 MR. KENYON: Madam Chair, Dr. Ignasiak has
9 made a serious allegation against the Tar Ponds Agency
10 regarding interference with business relations. I guess
11 I'd request that he provide details of that if he's going
12 to put an allegation like that on the record.

13 I do know that there had been some letters
14 written by TDE in the past regarding some concerns of CRA
15 but there's never been any allegations with respect to
16 the Tar Ponds Agency.

17 THE CHAIRPERSON: Dr. Ignasiak, would you
18 provide this information in writing to the Panel? Could
19 you do that, to the Secretariat?

20 DR. IGNASIAK: Actually, the Panel has
21 already received most of those letters with the
22 submission, with TDETDV's submission.

23 THE CHAIRPERSON: Could you specify where
24 they are in the submission?

25 DR. IGNASIAK: They are in Enclosure No.

1 4.

2 THE CHAIRPERSON: This is, I presume, Mr.
3 Kenyon, in relationship to the comment you made -- which
4 really is not the Panel's business I have to say, but the
5 comment you made with respect to LaFarge? Is that right,
6 Mr. Kenyon, that was the comment you're talking about?

7 MR. KENYON: That's exactly the comment
8 I'm talking about.

9 THE CHAIRPERSON: Is there something in
10 the submission relating to that comment that you made?

11 DR. IGNASIAK: I'm trying to get the
12 simplest answer. The ---

13 THE CHAIRPERSON: Well, "yes" or "no"
14 would be one -- would be a simple answer to that.

15 DR. IGNASIAK: We're saying that we
16 submitted the letters that really clearly indicate the
17 conflict of interest that the Sydney Tar Ponds Agency had
18 in this case.

19 MR. KENYON: I'm not concerned with the
20 conflict of interest allegations, which I would submit
21 are not made out. My concern, Madam Chair, is that this
22 is a serious and potentially slanderous allegation that's
23 being made about interference, and if he's going to be
24 making that type of allegation in public then details or
25 evidence should be provided.

1 THE CHAIRPERSON: What I'm going to do
2 now, Mr. Kenyon, Dr. Ignasiak, is we are going to take a
3 break and the Panel will take this matter under
4 consideration.

5 So, thank you very much for your
6 presentation. It is now 10 to 8:00. We're going to take
7 a 20-minute break -- or 15-minute break, sorry, and we
8 will return at 5 minutes past 8:00 for the next
9 presentation.

10 --- RECESS: 7:52 P.M.

11 --- RESUME: 8:07 P.M.

12 THE CHAIRPERSON: Ladies and gentlemen, I
13 would like to resume again.

14 Before we begin with our second and final
15 presentation, I would just like to respond that with
16 respect to the issue that was raised just before the
17 break regarding a question about communication with
18 LaFarge Canada that, in fact, as I indicated, does not
19 relate to the Panel's mandate. So, we don't require any
20 additional information to be put forward.

21 So, our next presenter is Ms. Marlene
22 Kane. Ms. Kane, as you well know, you have 40 minutes,
23 and I'll let you know five minutes before the end of that
24 time.

25 --- PRESENTATION BY MS. MARLENE KANE

1 MS. KANE: Thank you very much, Madam
2 Chair. My name is Marlene Kane. Thank you, Madam Chair,
3 Dr. LaPierre and Mr. Charles, for allowing me this
4 opportunity to make a presentation.

5 A full Panel Review is something many of
6 us have spoken about for the past decade and longer. To
7 participate in these hearings has been quite an
8 experience, and I thank you for that.

9 Many of my concerns and questions
10 regarding this remediation project have already been
11 documented in my submissions to the Panel, but after
12 hearing Government responses to many concerns at these
13 hearings the project seems even more questionable now.

14 I'd like to say by giving you a brief
15 history -- start by giving you a brief history of my
16 involvement with the Tar Ponds and Coke Ovens cleanup.

17 I participated in hundreds of meetings
18 during the Joint Action Group's seven-year history from
19 the very first meeting in 1996 to the very last meeting
20 in 2003.

21 I became involved initially because of my
22 concern that the Tar Ponds incinerator, constructed in
23 the late '80s as part of the first federal/provincial
24 cleanup -- agreement to clean up the Tar Ponds would be
25 used to burn 700,000 tonnes of toxic sludge, including

1 PCBs, in the middle of Sydney.

2 My children were very young at the time
3 and I was quite prepared to move away -- move them away
4 from Sydney if the incinerator were to be used. I have
5 been actively opposing incineration in this community for
6 the past decade and it's been an uphill battle.

7 JAG was formed because the plan put
8 forward on May 7, 1996 to bury the Tar Ponds was soundly
9 rejected. Environment Minister Sergio Marchi stated in
10 correspondence:

11 "We must identify solutions that are
12 technically sound, economically
13 feasible and publicly supported, and
14 we are committed to doing so through
15 a community-based approach."

16 He also said:

17 "I will be working with my federal,
18 provincial and municipal colleagues
19 to ensure that we find a solution
20 that reflects the community's
21 concerns and wishes."

22 The 1996 containment proposal for the Tar
23 Ponds that was rejected 10 years ago is incredibly
24 similar to the proposal being put forward today.
25 Unfortunately, Minister Marchi's assurances that the

1 solution would reflect the community's concerns and
2 values didn't come to pass.

3 It seems Government used the JAG process
4 to further delay the cleanup because the JAG
5 recommendation was ignored and we're basically back to
6 where we started 10 years ago regarding a remediation
7 method, burn and bury.

8 The Government presented six options for
9 remediating the Tar Ponds and four options for
10 remediating the Coke Ovens that were said to be proven,
11 reliable and protective.

12 Walter van Veen of CRA told us during --
13 that's Conestoga Rovers -- told us during the
14 presentation of these options to the JAG roundtable that
15 his company had worked on hundreds of large sites like
16 this. When I asked for a list of those hundreds of
17 sties, I was advised to check the internet.

18 Following the JAG workbook sessions, of
19 which I refused to participate because of the workbook's
20 bias towards incineration, the community preferred
21 preference delivered to Government was Option 3, removal
22 and destruction of all contaminants.

23 After Government deliberations we were
24 informed that the costing amounts for Option 3 were
25 grossly underestimated and it would actually cost double

1 that amount, approximately \$800 million. Therefore, it
2 was no longer a viable option.

3 The JAG roundtable had been advised in
4 2003 that all of the costs for the options presented were
5 what the Federal Government called a "D" class estimate,
6 meaning plus or minus 30 percent. We were also told that
7 all of the costs provided a 25 percent contingency.

8 When we saw a cost of \$250 million, for
9 example, the cost actually calculated was \$200 million,
10 then 20 percent was added because it was a conceptual
11 stage. I could not understand then how the cost for
12 Option 3 had doubled.

13 After Option 3 was set aside, Government
14 then brought forward their current plan for the Tar Ponds
15 which is to excavate and incinerate 120,000 tonnes of
16 PCB-impacted sediments and SS the remaining sediments.

17 The solidification and stabilization plan
18 proposed for the Tar Ponds is not a cleanup, as it's so
19 often referred, it's a coverup which will require
20 monitoring and maintenance forever. Unfortunately, there
21 will be no funding in place beyond 25 years to
22 accommodate this.

23 SS does not remove or destroy the
24 compounds. Contaminants don't degrade in a cement matrix
25 but can leach and they will always be there and will

1 always have to be monitored. \$400 million dollars will
2 be wasted while we leave this toxic mess for our children
3 and grandchildren to somehow deal with in the future.

4 Of course, the Tar Ponds will be much more
5 difficult to deal with then because it will be mixed with
6 tens of thousands of tonnes of Portland Cement increasing
7 its volume by up to 40 percent and will be under 600,000
8 tonnes of geo-materials.

9 During the Technology Demonstration in
10 2001/2002 several technologies showed much promise for
11 efficient and effective remediation of the Sydney Tar
12 Ponds sediments, but they were not chosen. Instead
13 solidification and stabilization was chosen for the
14 majority of the Tar Ponds sediments.

15 I've seen little evidence that this
16 proposed method of solidifying and stabilizing the Tar
17 Ponds is technically sound. The Technology Demonstration
18 conducted in 2001 and 2002 said that while SS has been
19 successful commercially on materials with high inorganic
20 impacts, it has less experience on organics, which is
21 what the Tar Ponds mostly contains.

22 Why was SS chosen when it had limited
23 success on soils with high concentrations of organic
24 contaminants? The technology track record states it has
25 successful application on materials with high inorganic

1 contaminants and less experience on application to
2 organic contaminants.

3 In Earth Tech's Technical Memo Report,
4 November 1st, 2005 the unconfined compressive strength
5 tests were not at all impressive. Of the 23 samples
6 tested, 17 samples were of insufficient strength to test.
7 Of the six samples which had sufficient strength to test,
8 all but one sample got weaker after 14 days instead of
9 increasing in strength.

10 According to the EPA, 2001, solidification
11 refers to a process that binds the polluted soil or
12 sludge and cements it into a solid block. Stabilization
13 refers to changing the chemicals so they become less
14 harmful or less mobile.

15 We have heard varying descriptions so far
16 of what the sediments following SS treatment would be
17 like. They seem to cover a broad range of descriptions
18 from soil-like in nature with low bearing capacity to
19 solid soil and, most recently, a rock.

20 Although during the Technology
21 Demonstration it was stated that during SS the addition
22 of a binding agent, such as Portland Cement powder, will
23 not be in enough quantity necessary to create concrete,
24 during the Technology Demonstration SS was conducted ex-
25 situ and it was proposed that stabilization at full scale

1 be conducted ex-situ with the use of a pug mill system.

2 STPA is proposing, however, that it will
3 be performed in-situ, although because the actual process
4 for stabilizing the sediments has not yet been decided
5 that is subject to change.

6 The Technology Demonstration also stated
7 that there were some indirect benefits in terms of
8 improving sediment handlability but whether it was
9 suitable and feasible depended on further definitions of
10 a specific remedial action objective. So, without
11 definitely knowing the future site use, how can this
12 proposal proceed?

13 There are so many questions yet to be
14 answered in the detailed design phase of this project
15 which won't take place until after the deliberations of
16 this Panel.

17 To date I have not seen the evidence which
18 suggests that SS is a tried and true method on organic
19 sediments and that incineration has proven safe and
20 effective at other locations. In fact, we've seen much
21 evidence during these hearings that flies in the face of
22 both those statements.

23 In the Hazardous Materials Management
24 publication of April/May 1997 it states:

25 "This technology has been applied to

1 soils containing heavy metals, but
2 treatment of tarry sediments and
3 soils contaminated with organics has
4 been limited."

5 It goes on to say:

6 "Stabilization is more cost effective
7 than other alternatives for treating
8 wastes containing a cocktail of
9 contaminants. However, the long-term
10 integrity of the treated material is
11 not well understood."

12 This statement is very similar to that
13 made in the Technology Demonstration report of 2002 which
14 said:

15 "The technology track record
16 indicates that while SS was
17 successful commercially on materials
18 with high inorganic impacts, it had
19 less experience on organics and that
20 long-term immobility of some organic
21 compounds was not proven. While the
22 SS process improved the sediment
23 handlability, its bearing capacity
24 was relatively low."

25 How will that support future site use,

1 whatever that may be?

2 On the first day of hearings Dr. LaPierre
3 asked what -- the percentage of EPA projects similar to
4 this one are presently being cleaned up using the two
5 processes. Mr. Shosky said that approximately 19 percent
6 of the USEPA projects are done using stabilization.
7 That's not a very impressive number. I'd like to know
8 what the other 81 percent are doing.

9 I can't imagine there are too many sites
10 like this one, given the combination of size, location
11 and the fact that it is within a watershed area.
12 Contaminated surface water, groundwater and leachate all
13 flow down to the Muggah Creek Watershed from the top of
14 the hill where the incinerator, its ash cells, leachate
15 collection pools and garbage dumps are located.

16 From there, these flows move through the
17 Coke Ovens Site to the Steel Plant Site into the Tar
18 Ponds and out into Sydney Harbour. As well, millions of
19 litres of untreated sewage waste have flowed into the Tar
20 Ponds on a daily basis for many years.

21 The fact that there isn't yet a plan for
22 dealing with leachate and other flows from the SYSCO slag
23 piles into the Tar Ponds is disturbing. Also, is there a
24 plan in place for dealing with beta radiation noted at
25 elevated levels in the Sydney landfill leachate samples?

1 Government's proposal to primarily
2 incinerate 120,000 tonnes of PCB-contaminated sediments
3 was chosen despite the fact that Tar Ponds sludge
4 containing PCBs was not part of the Technology
5 Demonstration, nor had there been PCB test burns of Tar
6 Ponds sludge prior to that.

7 Their decision to incinerate did not come
8 as a surprise. Government and their consultants said
9 that the use of the Sydney Tar Ponds incinerator was an
10 option all throughout the JAG and the workbook process
11 and that it could be used to burn all or part of the
12 700,000 tonnes of contaminated sediments, including PCBs
13 from the Tar Ponds, even though it was not designed to
14 burn PCBs.

15 However, using the Tar Ponds incinerator
16 would violate the CCME Guidelines to which JAG and the
17 Federal Government had committed to at a minimum. Site
18 selection parameters in the 1992 CCME National Guidelines
19 for Hazardous Waste Incineration Facilities, Volume I,
20 Section 5.1, states:

21 "The incineration facility shall not
22 be located within 1,500 metres of
23 occupied public buildings,
24 residences, schools, hospitals,
25 nursing homes, establishments

1 involved in food processing, farm
2 buildings containing livestock,
3 feedlots and feed processing or
4 handling establishments."

5 The Sydney Tar Ponds incinerators which
6 are still standing are located only 600 metres from
7 Harbourside Elementary School housing 800 children and
8 are within 1,500 metres of 2,200 civic addresses.

9 As the elevation of the land on which the
10 incinerator sits is lower than the community, the top of
11 the 50-foot stack was at the same elevation as the school
12 and the Whitney Pier community. Despite this Governments
13 were prepared to fire up this incinerator to burn
14 hundreds of thousands of tonnes of hazardous waste
15 including PCBs.

16 In an attempt to stop the incinerators
17 from ever being used as part of the cleanup, I attempted
18 to pass a motion through JAG which recognized the
19 Government's commitment to the CCME Guidelines as a
20 minimum, thereby ruling out the use of the Tar Ponds
21 incinerators.

22 In 1999 I submitted a letter dated April
23 27th, 1997 from Federal Environment Minister Sergio
24 Marchi and another letter from Federal Environment
25 Minster David Anderson to all levels of Government and

1 the JAG, which stated the Federal Government's commitment
2 to CCME Guidelines as a minimum.

3 "Where Federal Government contributes
4 funds to a project or where federal
5 wastes are involved, projects will
6 have to comply with existing federal
7 regulations and policies except in
8 instances where provincial
9 regulations, standards or policies
10 are more stringent. Therefore, as a
11 minimum, any CCME Guidelines will
12 apply and JAG will bind them into --
13 build them into its criteria."

14 Soon after the JAG process ended, the
15 Provincial Government announced a decision to scrap those
16 incinerators.

17 Governments are now proposing to burn
18 120,000 tonnes of PCB-impacted sediments, 25,000 tonnes
19 of Tar Cell contaminants and other materials at Victoria
20 Junction which would also violate the 1992 guidelines
21 because of its close proximity to homes and a dairy farm
22 and its close proximity to Cape Breton's only university.

23 To circumvent the siting requirement, STPA
24 has tried to call this proposed unit a mobile incinerator
25 so that it could apply other guidelines to it. An

1 incineration facility set up for at least five years is
2 not a mobile incinerator. This is a blatant disregard
3 for the commitments made to this community by the Federal
4 Government. The 1992 guidelines must apply at a minimum.

5 The original plan outlined in the EIS is
6 to excavate only two of the eight known PCB hot spots in
7 the Tar Ponds. It states the excavation would total
8 120,000 tonnes of PCB-impacted sediments even though the
9 Tar Ponds only contains 50,000 tonnes of PCB-impacted
10 sediments.

11 Following excavation composite sampling to
12 determine PCB concentrations was to be conducted every
13 1,000 cubic metres to determine which batches were
14 greater than 50 parts per million. Batches less than 50
15 parts per million would not be sent to the incinerator
16 but would be solidified and stabilized.

17 Much of the PCB sediments in the North
18 Pond, which is the largest PCB area, No. 5, containing
19 30,000 tonnes, is located under many feet of PAH-
20 contaminated sediments. Excavation of that area would
21 drastically reduce the amount of PCB-impacted sediments
22 heading for the incinerator due to mixing and dilution.

23 Given that STPA has changed the plan so
24 that excavated sediments would not be sampled to
25 determine whether the material was greater than 50 parts

1 per million after excavation, all the material would now
2 go to the incinerator regardless of PCB concentrations.

3 I can only conclude that the reason for
4 the change in plan was because the project was based on
5 incinerating 120,000 tonnes of material from the Tar
6 Ponds, not on a drastically lesser amount.

7 STPA stated "that the design will be based
8 upon thermally treating 120,000 tonnes of PCB-impacted
9 sediments above 50 parts per million."

10 Incinerating a much smaller portion of
11 that amount would definitely not justify spending over
12 \$80 million dollars, or whatever the latest cost
13 estimates are, to construct an incinerator which would
14 operate for much less time based on a much smaller
15 quantity.

16 While the Federal Government's Toxic
17 Substance Management Policy calls for the virtual
18 elimination of substances that are toxic, persistent and
19 biocumulative, I don't think it was the intent that while
20 attempting to destroy one persistent organic pollutant
21 you create another.

22 We do not want to employ a technology such
23 as incineration that would generate even more toxic
24 byproducts, such as dioxins and furans, to further
25 contaminate the air we breathe in the surrounding

1 environment.

2 It's encouraging to see so many people,
3 including the Cape Breton District Health Authority and
4 other health professionals, speak out against
5 incineration. It's unfortunate that the university is
6 not in agreement with that position.

7 I do not want my son to attend a
8 university which is in close proximity to a hazardous
9 waste incinerator, although we have little choice as it
10 is the only university in Cape Breton.

11 The EIS has provided very little detail
12 regarding this proposed incinerator even though the EIS
13 Guidelines require that all proposed remedial
14 technologies and their design must be detailed.

15 While the reason given for not providing
16 this information in the EIS was that they are to be
17 determined through the detailed design phase of the
18 project, details such as the type of incinerator to be
19 used, what air pollution controls are required, which
20 stack parameters will be measured on a continual basis,
21 must certainly be known at this stage.

22 Section 8.2.1.3, page 8.5, states:

23 "The failure of the treatment systems
24 will result in a controlled shutdown
25 and gases from the combustion chamber

1 will be released through the bypass
2 stack. The expected duration for
3 this type of event is likely to be
4 under a minute."

5 It is not reasonable to suggest that
6 bypass stack releases would be under a minute when solid
7 materials in the primary combustion chamber remain there
8 and continue burning for 20 to 40 minutes, according to
9 STPA, even after the feed has been cut off.

10 STPA says controlled shutdowns may take
11 several minutes to several hours depending on the nature
12 of the shutdown. If a controlled shutdown took several
13 hours, wouldn't that mean that the dump stack would be
14 open for several hours?

15 Releases through the bypass, also known as
16 dump stack, do just that, dump all the emissions to the
17 atmosphere untreated by air pollution controls.
18 "Quantities of contaminants released under these
19 conditions are expected to be minimal and negligible,"
20 says STPA. But how is that known when dump stack
21 emissions are not monitored, nor are they tested?

22 While several presenters before me have
23 spoken about the problems at other incinerators, I would
24 like to talk about the problems we have on an ongoing
25 basis -- or had, sorry, on an ongoing basis at the CBRM

1 incineration facility located here in Sydney.

2 This facility is located at the top of a
3 hill on the land bordering the east side of the Coke
4 Ovens. This land is also part of the Muggah Creek
5 Watershed. Not only was the CBRM incineration facility
6 licensed to burn 54,000 tonnes of municipal solid waste
7 annually, it began importing all the Province's
8 biomedical waste, 1,400 tonnes of which in 1997.

9 The ash cell for disposal of the bottom
10 ash and fly ash was located behind the incinerator, as
11 was the leachate collection pool. Once tested, the water
12 from the leachate collection was discharged to the site
13 drainage area which then made its way down to the Coke
14 Ovens.

15 There were two incineration units and they
16 were plagued with problems. I had attended a CBRM
17 Council meeting in 1996 at which a resident had dumped a
18 bag full of half-burned material he had retrieved from
19 the bottom ash of the incinerator. I couldn't believe
20 that the Province would consider sending biomedical waste
21 to a facility that couldn't properly burn paper and
22 plastic products from municipal solid waste.

23 Before the incinerator began accepting all
24 the Province's biomedical waste in January 1998, I took
25 photographs and a video of the incinerator's ash cell

1 which contained large amounts of unburned paper and
2 plastic products in the ash cell.

3 Following the release of these photos the
4 NSDOE conducted an internal technical assessment of the
5 CBRM facility in February 1998. The assessment report
6 recommended several design changes which included
7 installing an additional primary burner, among other
8 things, to alleviate this problem of unburned materials.

9 The report concluded that the incinerator
10 units met the requirements for good combustion practice
11 during the incineration of biomedical waste.

12 Environment Minister Wayne Adams instructed
13 the CBRM to rectify the problem of unburned materials
14 through process changes, one of which was to separate
15 unburned materials from the ash and reintroduced into the
16 unit -- into the incinerator for combustion. This was
17 neither a high-tech nor safe solution for the employees
18 or for the general public.

19 Minister Adams indicated he was confident
20 that once these modifications were in place the issue of
21 unburned materials would be resolved. I returned to the
22 ash cell on January 24th, 1999 with several friends to
23 see if changes made to the incineration facility had made
24 a difference.

25 This time not only were there large

1 amounts of unburned paper and plastic products, there was
2 also a considerable amount of unburned hospital waste
3 including syringes, IV bags, tubing, hospital clothing,
4 et cetera. I took photographs and a video showing mounds
5 of unburned material.

6 These are samples of my photographs that I
7 took in the ash cell behind the incinerator. There's
8 dialyser tubing, IV bags, hypodermic needles, hospital
9 clothing. Clearly it had been through the incineration
10 process because it was singed around the edges, but it
11 had not been properly burned.

12 I have a short video to show, a 2-minute
13 video, but maybe I'll wait till the end, if that's all
14 right.

15 Following the release of these photos the
16 Department of the Environment launched an internal
17 investigation despite calls for an independent
18 investigation. The conclusion of the investigation
19 stated that:

20 "Evidence does not exist to support
21 prosecution action for any
22 infractions of the Nova Scotia
23 Environment Act or applicable
24 regulations."

25 It was also mentioned that:

1 "Inspections of the facility by staff
2 of the DOE revealed the facility is
3 operating in compliance with its
4 permit. Videotaping by DOE
5 investigators of the ash landfill
6 cell during visits has not shown any
7 evidence similar to that obtained by
8 citizens on January 24, 1999."

9 In April 2001 I returned to the facility
10 after hearing that a DOE inspector ordered the return of
11 partially burned bottom ash found in the ash disposal
12 area back to the incineration facility to be reburned.

13 Mounds of this soggy, half-burned material
14 sat on the floor of the facility where it was stored
15 until it could be put back into the incinerator. This
16 material was sitting in an area that was accessible to
17 the public.

18 Prior to the acceptance of biomedical
19 waste, the CBRM distributed an information sheet on ash
20 which described bottom ash as "the coarse black material
21 collected from the base of the burning chamber." This
22 description in no way resembled what the ash really
23 looked like, as you can see from my photographs.

24 Any facility which must have bottom ash
25 ordered back into the incinerator to be reburned should

1 not be the destination for biomedical waste. Despite
2 many upgrades and repairs to the facility and despite
3 assurances by the Environment Department, these two
4 incinerators were still not capable of safely disposing
5 of biomedical waste.

6 Throughout all of this we were assured it
7 was a state-of-the-art incinerator. In correspondence to
8 Jamie Muir, the Nova Scotia Minister of Health, on August
9 23rd, 2001, I asked if he was going to renew the
10 agreement due to expire in 2002 with the CBRM to burn all
11 of the Province's biomedical waste. It was renewed for
12 an additional three years. It was later extended again
13 to December 31st, 2005.

14 This contract was renewed between the
15 Health Department and the CBRM despite the fact that the
16 CBRM incinerators had failed the 2001 stack test for
17 dioxin and furan emissions. The units would go on to be
18 in non-compliance with the permit for dioxin and furan
19 emissions during stack tests in the 2002, 2004 and 2005
20 stack testing.

21 I had reviewed the facility's Continuous
22 Emission Monitoring Reports over a four-month period from
23 April 1st to August 1st, 2001. There were a substantial
24 number of examples when the temperature in the
25 incinerator fell well below the minimum required

1 temperature of 1,000 degrees Celsius for hours at a time.
2 This was not during startup or shutdown, this was in mid-
3 operating cycle.

4 The operating permit required that a
5 temperature of not less than 1,000 degrees Celsius be
6 maintained during the entire incinerator cycle and
7 subsequent shutdown until the final ash is discharged
8 from the primary chamber.

9 This was the requirement as stated in one
10 section of the permit, but another section of the permit
11 allowed non-compliance for a continuous eight-hour period
12 before the waste feed was cut off and a controlled
13 shutdown implemented.

14 The CBRM was in non-compliance with its
15 operating approval for dioxin and furan emissions for the
16 past four out of five years but not once did the Nova
17 Scotia Department of the Environment order the shutdown
18 of the incineration facility.

19 The facility failed its stack testing four
20 out of the last five years for dioxin and furan emissions
21 even though these tests were conducted under ideal
22 operating conditions. The real impacts on the community
23 will never be known.

24 There would undoubtedly be exceedances of
25 dioxins and furans on a daily basis when conditions were

1 less than ideal but these would not be measured and no
2 follow-up testing was conducted.

3 The test results were studied and
4 recommendations were undertaken and on-site modifications
5 were implemented to improve the emissions, but as no
6 immediate follow-up stack testing was conducted there was
7 no way of knowing if the modifications improved the
8 emissions. The annual stack test proved year after year
9 that the emissions did not improve.

10 Aware of the emission exceedances of this
11 incineration facility year after year, the Nova Scotia
12 Department of the Environment and the Nova Scotia
13 Department of Health did not act to protect this
14 community. They chose instead to repeatedly extend the
15 CBRM's contract to burn biomedical waste.

16 This facility was shut down on December
17 31st, 2005. Had the Province not been continually
18 challenged by a number of people in this community, I am
19 confident the incinerator would still be operating today
20 and the Province would still be shipping all of the
21 Province's biomedical waste to Sydney. We cannot rely on
22 the provincial regulators to protect this community.

23 A great deal of reliance is being placed
24 on air monitoring to protect this community from
25 emissions during remediation. We have been told that air

1 quality standards enforced throughout the Tar Ponds and
2 Coke Ovens cleanup project are designed to detect
3 problems early before harmful effects occur.

4 From past experiences with the Domtar tank
5 on the Coke Ovens Site, we know that air monitoring
6 doesn't always detect releases of emissions into the
7 community and that equipment will malfunction.

8 Prior to the contents of the Domtar tank
9 being removed an enclosure was constructed over the tank.
10 This enclosure was under negative pressure with carbon
11 filtration to contain any contaminants within the
12 enclosure. Despite these precautions taken, naphthalene
13 was released from the tank enclosure.

14 Residents from the nearby community
15 noticed the smell and complained of headaches and nausea.
16 Real-time hand-held monitors used on site but only
17 intermittently throughout the workday did not detect the
18 leak, so work on the project was not halted.

19 It was detected by a stationary monitor on
20 May 27th, 2004 at the site perimeter very close to homes.
21 Unfortunately, the stationary monitor only operates for
22 one 24-hour period every six days and a sample must be
23 sent to a lab to be analyzed.

24 When the Tar Ponds Agency received those
25 results, one week later the project was shut down but the

1 residents were not informed about the naphthalene
2 exceedance for another three days.

3 The community wasn't advised by Sydney Tar
4 Ponds Agency there had been a leak until 11 days after
5 the stationary monitor had detected it. The failure of
6 the intermittent hand-held monitors to detect a leak and
7 the fact that the stationary monitor which detected the
8 leak was only operating for a 24-hour period on May 27th
9 made it impossible to say when the leak began or when it
10 ended.

11 Following this naphthalene leak, the
12 project was shut down for a month while the Tar Ponds
13 Agency determined the cause of the leak.

14 It was determined that the activated
15 charcoal filter was ineffective and had to be replaced
16 after it had compacted over the winter and spring. There
17 was a malfunctioning switch on the exhaust fan that
18 needed to be replaced, and the structure enclosing the
19 tank was sealed.

20 Improvements were also made to the real
21 time hand-held monitors. New more-precise units were
22 added.

23 A second naphthalene leak was detected in
24 September of 2004, but again it was not initially
25 detected by the new improved real time hand-held

1 monitors. The Sydney Tar Ponds Agency spokesperson,
2 Parker Donham, noticed a smell while driving by, and an
3 air quality test and a work stoppage were ordered
4 immediately. Those tests confirmed the leak.

5 In November, 2004, a third naphthalene
6 leak was detected downwind from the site. This leak was
7 caused by strong winds which prevented negative pressure
8 being maintained inside the tank enclosure. While this
9 leak was detected by monitors, it was another example of
10 equipment malfunction.

11 Even though the removal of the Domtar tank
12 contents totalling only 4,000 tonnes of material took
13 place within an enclosure under negative pressure with
14 activated charcoal filtration, there were still
15 contaminant releases to the community.

16 In IR-56, page 5, it states that:

17 "Air monitoring will be conducted
18 during the remediation of the Tar
19 Ponds and Coke Oven sites to ensure
20 that workers and residents are not
21 exposed to levels of particulates or
22 vapour that would pose unacceptable
23 risks."

24 While we were given similar assurances
25 with the Domtar tank project that all measures

1 incorporated in their plan were protective of health,
2 equipment and monitoring failures still occurred.

3 Knowing that equipment will malfunction
4 and fail, I'm sure there will be many more instances such
5 as these, given the enormity of the project about to be
6 undertaken and the length of time it will take to
7 complete.

8 As Agency spokesperson, Parker Donham,
9 stated in a letter to the editor of June 26, 2004:

10 "It's important to recognize that air
11 monitoring technology has limits.
12 One obvious limit is the inevitable
13 tradeoff between time lines and
14 precision."

15 He was referring to the fact that
16 stationary monitors, which only operate once every six
17 days and need additional time for lab analysis, measure
18 more than 50 chemicals and are more precise in their
19 detection, whereas real time hand-held units, which
20 measure far fewer chemicals, are less precise.

21 During the demolition of the byproducts
22 building in 2002, which Debbie spoke about yesterday, we
23 were assured that air monitoring would be protective.
24 While it was explained there would be continuous
25 monitoring of the activity, it was only monitored, on

1 average, between two to 15 minutes per hour.

2 The day the massive byproducts building
3 toppled to the ground creating a very large plume of
4 dust, no stationary monitors were turned on at all to
5 measure the real impacts on the surrounding community.

6 VOC readings from that day were non-
7 detect, despite there being a smell of gas and tar in the
8 air, which even clung to their clothing, according to
9 bystanders at the fence. Bystanders later complained of
10 dizziness, respiratory problems and nausea.

11 The EIS, Volume 3, Section 5.3.1, page 5-3
12 states that:

13 "Excavation activities of Tar Pond
14 sediments will cause VOC emissions
15 from the evaporation of constituents
16 from excavated material and diesel
17 exhaust emissions from excavation
18 equipment."

19 In 2003, Walter van Veen of Conestoga
20 Rovers, Project Manager at that time, said that during
21 Tar Pond sediment excavation for the Technology
22 Demonstration Project, he was adjacent to excavations
23 using backhoes. He said:

24 "I didn't smell a thing and there
25 were no problems. We did air

1 monitoring right around that
2 excavation and we did real time air
3 monitoring, plus we did lab
4 monitoring. We excavated at two
5 different places. Air monitoring
6 showed nothing, real time monitors
7 showed nothing, and certainly my nose
8 showed nothing at that time."

9 Dr. Magee said during those hearings --
10 these hearings -- in performing the Human Health Risk
11 Assessment, they took emissions estimates measured from
12 their field experiment during excavation. Did those
13 emissions estimates which form the basis of the Human
14 Health Risk Assessment also show nothing?

15 The Sydney Tar Ponds Agency spokesperson
16 said that every expert they've talked to said that the
17 problem of damaging the air in the course of cleanup is
18 not at the destruction end but at the digging-up end.
19 When you start mucking about in this stuff -- and we've
20 seen this from the Domtar tank -- it's very hard to
21 contain the release of every single molecule when you're
22 digging around in this stuff.

23 There has been no bench scale or field
24 testing completed to date on potential volatilization of
25 binding agents associated with the S/S process, however,

1 higher emissions are expected. Risk assessments show
2 that the level of volatile components in the
3 neighbourhood are low enough that the risks are well
4 below project significant levels.

5 I am afraid risk assessment predictions
6 will be of little comfort to those residents living
7 around the Tar Ponds when excavation, handling and
8 solidification and stabilization of the sediments begin.

9 Years ago when Donnie DeLeskie removed Tar
10 Ponds sludge with a shovel from the west side of the Tar
11 Ponds, a former steel worker who was there told a JAG
12 round table meeting, after a couple of shovelfuls, a
13 couple of people passed out on the bank. As a matter of
14 fact, there were people on the bridge that separated the
15 north and south pond that actually passed out on the
16 bridge. There was no odour, you couldn't smell it. I
17 was there myself, and also without any odour there, I got
18 lightheaded at the same time.

19 So I just wonder, in excavation of those
20 ponds large amounts of soil, what precautions are you
21 going to take? What says that's not going to happen on a
22 much larger scale. That was from the person who was
23 beside Donnie DeLeskie while he was excavating. I'm
24 sorry, while he was digging up sludge.

25 THE CHAIRPERSON: Ms. Kane, five minutes.

1 MS. KANE: Okay. While I am less
2 concerned about worker protection because of their
3 personal protective equipment, I am very concerned for
4 the residents living nearby and the children playing in
5 their back yards on the other side of the fence who
6 aren't wearing personal protective equipment.

7 Debbie Ouellette, a former Frederick
8 Street resident, has previously described how disturbing
9 the Coke Ovens in the past impacted the health of her
10 family and others living adjacent to the Coke Ovens site.
11 So despite air monitoring, health risk assessments, and
12 the assurances, people still felt the effects.

13 Given the amount of excavation and mixing
14 of sediments and land farming that is to take place,
15 properly designed and operated enclosures with activated
16 charcoal filtration would still provide a level of
17 protection that is not being offered now for many of the
18 outlying projects.

19 More stationary monitors are required
20 around the site perimeter and must be operated daily, not
21 once every six days.

22 Knowing the fear, anxiety and ill health
23 the Debbie Ouellette and many others experienced on
24 Frederick Street and the surrounding area while the Coke
25 Oven site was being disturbed and that Neila MacQueen and

1 many others experience now on a daily basis living near
2 the Tar Ponds and Coke Oven sites, government must offer
3 a voluntary relocation option to nearby residents and
4 determine a buffer zone around these sites.

5 Neila MacQueen, a non-smoker, is a lung
6 cancer survivor who lives beside the Tar Ponds with her
7 son. Neila worries constantly about her son's health and
8 her own and that of her pets, who have large tumours.
9 Her basement is contaminated. Her back yard is
10 contaminated. She is even more stressed knowing that
11 excavation work and S/S work on the Tar Ponds will be
12 performed while she remains living so close to the site.

13 STPA insists that enclosures aren't
14 necessary when sediments are disturbed and S/S is
15 performed on Tar Ponds sludge and when land farming takes
16 place on the Coke Ovens site because air monitors and
17 mitigative measures in place will protect the residents.

18 STPA says that it has been determined
19 through the collection of data and the Human Health Risk
20 Assessment that enclosures and vapour treatment
21 facilities are not required for excavation of
22 contaminated sediments.

23 Even though STPA states that odour and
24 vapours could potentially be generated during land
25 farming, there still is no plan to land farm within

1 enclosures with negative pressure infiltration. After
2 hearing Debbie Ouellette's testimony, the word
3 "potentially" doesn't come to mind.

4 Meanwhile, Neila and many others like her
5 must cope with the stress every day knowing she will be
6 impacted by emissions and feel the ill effects for years
7 to come from work carried out on the site. She will
8 worry how this will cumulatively affect her son's health
9 and her own health, both of which have already been
10 greatly affected by past exposures.

11 Offering protection to the community, in
12 theory, through risk assessment and air emissions
13 modelling is far from what the reality is. This
14 particularly when risk assessments have not considered
15 prior exposure of a community already suffering from the
16 impacts of the steel mill, Coke Ovens operations, as well
17 as the municipal incinerator operations.

18 Health risk assessments that do not
19 consider prior lifetime exposures are useless in this
20 community. We cannot imagine what it must be like to
21 live with that fear and concern on a daily basis. The
22 question we should all ask ourselves is what we would
23 feel -- is would we feel safe living with our children
24 adjacent to those sites throughout the cleanup. So far I
25 have not met one person who has said yes to that.

1 I have heard some people say, "Just leave
2 the Tar Ponds where they are. Don't excavate because of
3 emissions. Just perform solidification and stabilization
4 and cover it over."

5 Even if all contaminants were not removed
6 and destroyed, all contaminants would still be disturbed
7 and stirred up like a cake mix. The binders such as
8 Portland cement would be stirred impossibly by an
9 excavator mixing the sediments like a giant spoon
10 stirring cake batter according to STPA's newsletter.

11 Exothermic reactions will occur when the
12 cement is mixed with the Tar Ponds sediments, increasing
13 volatilization of contaminants. Thousands of tonnes of
14 sediments would also still be excavated to accommodate
15 the manmade water channels in both Tar Ponds.

16 Frank Potter said in his presentation on
17 the first day of these hearings that:

18 "In the next few weeks, you will hear
19 from some people who care
20 passionately about the way the Tar
21 Ponds will be cleaned up. Their
22 sentiment is deep and heartfelt, but
23 do not confuse it with the sentiment
24 of the community at large. I am here
25 to tell you that most people in

1 Sydney do not care that much about
2 how we clean up the Tar Ponds and
3 Coke Ovens as long as we pick a tried
4 and true method that is proven safe
5 and effective at other locations."

6 STPA held a different position a little
7 over a year ago. In December, 2004, the STPA
8 spokesperson said he felt there was a deep division
9 within the community as to whether it's better to remove
10 and destroy every scrap of contaminants -- although he
11 thought that was probably the position favoured by most
12 people -- or whether or not to disturb them at all and
13 simply treat them and contain them in place, which he
14 thought was the firmly held position by a minority of
15 people in the community.

16 As Gary Campbell of Nova Scotia
17 Transportation and Public Works mentioned in his
18 presentation last week, there were more than 1,700
19 workbooks filled out by residents. He said each workbook
20 took more than an hour to fill out, and he thought it was
21 phenomenal that all those local residents took the time
22 to participate.

23 Gary and I would disagree with Frank
24 Potter when he said that most people don't care how you
25 clean up the Tar Ponds. Obviously 1,754 people did care

1 and did have an opinion about how to proceed. Obviously
2 4,500 people who signed a petition against incineration
3 of Tar Pond sludge also care.

4 What we've been presented with in these
5 documents is thousands of assumptions how things should
6 work in theory in an ideal world. The reality is
7 equipment malfunctions, events occur that are not
8 anticipated, people make mistakes, any of which could
9 jeopardize the health of residents.

10 The only way to proceed with remediating
11 the Tar Ponds and Coke Ovens site is to offer voluntary
12 relocation to nearby residents around the perimeter of
13 the sites, and a buffer zone must be established.

14 Following that, all work must be performed
15 within enclosures under negative pressure with charcoal
16 filtration. Stationary monitoring should be used on a
17 daily basis, not on the NAPS, the National Air Pollution
18 Surveillance Program, which only monitors for one 24-hour
19 period every six days.

20 There should also be more stationary
21 monitors located around the sites. Currently there are
22 only two close to the Tar Ponds and three close to the
23 Coke Ovens. As well, an intensive real time monitoring
24 plan must be established.

25 If government would only spend as much on

1 protecting the health of residents through relocation and
2 mitigative measures just mentioned as they are spending
3 in management fees for this project, the community would
4 be much better off. Thank you.

5 --- QUESTIONED BY THE JOINT REVIEW PANEL

6 THE CHAIRPERSON: Thank you very much for
7 your presentation, Ms. Kane. I wonder if you could --
8 you've given a very clear summation of what you want to
9 see, but if we could go back to the issue of the
10 selection of the remediation options, you've provided a
11 considerable critique of the option that's been selected,
12 both solidification/stabilization and the incineration.

13 Now do I take it that you are firmly a
14 supporter of the RAER Option 3 as an alternative approach
15 or have you got other views on the actual choice of
16 remediation technology?

17 MS. KANE: I would like to see removal and
18 destruction technologies employed. Whatever the best
19 technologies are, that's what I'd like to see employed,
20 but removal and destruction. I don't want the Tar Ponds
21 left there for my children to have to deal with, and my
22 grandchildren.

23 THE CHAIRPERSON: But presumably the --
24 you obviously recognize that any -- that a removal and
25 destruction option is going to involve probably

1 equivalent amounts of site disturbance and sediment
2 disturbance, and hence your other comments would apply to
3 whatever option is chosen.

4 You're not -- you're not -- you don't
5 anticipate that there's any option that can get around
6 that question of actually having to dig up and stir up
7 those -- the soils and sediments, thereby running the
8 risk of odours and emissions during the process.

9 MS. KANE: Well it seems that the process
10 that has been suggested now, the solidification and
11 stabilization process, will involve a considerable amount
12 of mixing and releases of contaminants to the surrounding
13 community. But the problem I have with how they're
14 proceeding is they're not doing any of it under an
15 enclosure. And I think that materials could be excavated
16 from the Tar Ponds if done properly under an enclosure
17 and negative pressure with filtration and providing there
18 had been a buffer zone provided for the community and
19 relocation for nearby residents. That combination, I
20 think that could work.

21 THE CHAIRPERSON: Now the lesson that
22 you're drawing from the whole experience that you've had
23 with a municipal solid waste incinerator -- the main
24 lesson that you draw from that is that you feel that the
25 Provincial Department of Environment and Labour can't be

1 -- you don't have confidence in them to regulate
2 incineration? Or did you also draw conclusions that
3 that, as an example, indicates that incineration
4 technology is flawed?

5 MS. KANE: Well I'd say a little bit of
6 both, because I certainly have stacks and stacks of
7 correspondence between myself and the provincial
8 government and the CBRM about issues I raised with them
9 about problem with the incinerator, and never once did
10 they shut down the unit because of concerns that even
11 they recognized and the fact that the Department of the
12 Environment allowed its continued operation even though
13 it was in violation of its own permit for five years.

14 No, I don't have a lot of confidence at
15 all in the Nova Scotia Department of the Environment as a
16 regulator.

17 THE CHAIRPERSON: Given that they are
18 going to be a regulator no matter what technology goes
19 ahead, what is it that you require to give you more
20 confidence?

21 MS. KANE: Well actually, different
22 branches of the NSDEL surprised me with their submissions
23 to the Panel because some of the questions they asked
24 were -- to me were very important questions. So maybe
25 it's just the one -- the one branch of the Nova Scotia

1 Department of the Environment, the one that was looking
2 after the incinerator -- maybe that's the particular
3 branch I had problems with.

4 So I'm not sure what it'll take, but I
5 know I haven't had good experiences for the last seven
6 years with the Nova Scotia Department of the Environment
7 as far as regulating this incinerator.

8 THE CHAIRPERSON: And I think my last
9 question -- and I'll let others have a chance -- would be
10 the previous presenters were addressing the RAER Option 3
11 or the modified Option 3 that's often raised by many
12 presenters. Some are seeing it as a way they would
13 prefer to go, so we certainly heard more information this
14 evening.

15 And you're being very careful, I know, in
16 your responses to me that you aren't necessarily
17 supporting any particular alternative. You've stated
18 that you would like to see complete removal and
19 destruction, and this was an option that claims to be
20 able to do that.

21 Do you have any comments on that option
22 after hearing the presenter earlier this evening? Do you
23 have any concerns about that proposal, especially in
24 terms of it involving a co-burning part -- component.

25 MS. KANE: I'm afraid I missed most of the

1 presentation because I was up at Staples getting this
2 photocopied. And actually, I think I missed the
3 presentation yesterday -- part of it -- as well. So I'm
4 afraid I did miss today's presentation.

5 THE CHAIRPERSON: Well, I obviously won't
6 ask you more about that except to say that I know you
7 know that that particular option does involve ultimately
8 co-burning in terms of, you know, developing a coal
9 product through the clean -- the soil washing process.
10 Is that a concern for you?

11 You're opposed to incineration for the PCB
12 sediments in the current proposal. Do you have any
13 comments about co-burning as a possibility?

14 MS. KANE: Well, not knowing what their
15 product -- how it would test following their process,
16 what constituents were in their product, it's hard for me
17 to have an opinion on that. I'd rather do research on it
18 first before having an opinion on it.

19 I do have -- you know, recognizing that,
20 right now, unfortunately most of our power does come from
21 burning coal, I would certainly hope we're heading in a
22 direction away from coal. But in the meantime, I know
23 that's the process that we're using right now.

24 But again, it would depend on the
25 constituents within their finished product.

1 THE CHAIRPERSON: Well I can tell from all
2 of your questions and all your presentations, that you
3 are indeed somebody who very carefully researches things
4 before you speak, so I certainly won't press you any
5 further on that.

6 MS. KANE: Thank you.

7 DR. LAPIERRE: Thanks a lot for your
8 presentation, Ms. Kane. One question I have is many of
9 the alternative technologies do include removal,
10 whichever way you use to remove it.

11 Then there is the destruction phase.
12 Often times the destruction phase requires that you send
13 it away because you either don't have the technology in
14 place -- I guess the question I have, do you have any
15 problems with sending waste material away and having it
16 destroyed or rendered harmless away from home? Do you
17 think the solution should be fixed here?

18 MS. KANE: I do. I do think the solution
19 should be here. I've always stated that over the years.

20 When the Domtar material was being shipped
21 off, I thought at the time, actually because it was only
22 4,000 tonnes, that they should just leave it and treat it
23 with the 700,000 tonnes that was in the Tar Ponds. And I
24 thought that would be much more cost effective and a
25 safer way of dealing with it than what they went through

1 getting rid of 4,000 tonnes.

2 I would like to see technologies employed
3 here on the site or somewhere close by and have local
4 labour of course employed in the cleanup.

5 DR. LAPIERRE: Thank you. Just one more
6 question. You mentioned the possibility of a buffer
7 zone. Do you have any idea how large that buffer zone
8 should be?

9 MS. KANE: No, I'm afraid I don't. I'm
10 certainly not an expert when it comes to that, but I
11 imagine someone capable could determine what a safe
12 distance would be where people could live around the
13 site.

14 But again, I think what's very important
15 is that the measures that are undertaken on the site are
16 what's the most important starting point as far as the
17 protection for the whole community. Because the site is
18 in the middle of our city, it's not just those living
19 close by, although they are impacted, I'm sure, harder
20 than other people, but we all live within a fairly close
21 distance to the site.

22 So whatever the process employed on the
23 sites must be done under an enclosure. I don't think
24 there's any other way to do it. That's why I'm shocked
25 that they're actually considering doing any of this

1 removal and treating with S/S on the Tar Ponds and then
2 land farming on the Coke Ovens without enclosures with
3 people living so close by. I'm -- I'm shocked by that.

4 DR. LAPIERRE: Thank you very much.

5 MS. KANE: Thank you.

6 MR. CHARLES: Ms. Kane, I only have one
7 question for you. You say you favour removal and
8 destruction, but I take it from your comments about
9 incineration, that incineration is not one of the methods
10 of destruction that you'd want.

11 So I guess my question is do you favour
12 any alternate form of destruction.

13 MS. KANE: I don't favour any. I haven't
14 researched a lot, but I know that during the technology
15 demonstration -- and I don't have them handy -- there
16 were other processes that were successful during the
17 technology demonstration which the Sydney Tar Ponds
18 Agency conducted.

19 MR. CHARLES: Like coal washing or some of
20 the others.

21 MS. KANE: Yeah. Soil washing and -- and
22 it was also spoken about as a process -- an end process
23 -- pyrolysis -- or there are other technologies. But
24 again, I don't -- you know, I haven't determined that
25 myself. I've ---

1 MR. CHARLES: Yeah. It seems difficult
2 with whatever technique they use that you eventually end
3 up with some kind of product that is hard to get rid of,
4 whether it's in a liquid form or some other form, and
5 that seems to be one of the big problems.

6 I'll wait for you to do some more research
7 before we come back to you on that one.

8 MS. KANE: Thank you.

9 THE CHAIRPERSON: Before I go to the Tar
10 Ponds Agency for their questions, just so that I can get
11 a good sense of how much time is required, could I just
12 see a show of hands of how many people -- both registered
13 presenters and others in the hall -- have questions for
14 Ms. Kane so that I've got some sense. One, two, three,
15 four, five. Okay, thank you. Well, six with the Agency.

16 So I'm going to take those five who raised
17 their hands and the Agency, and I'm going to say a
18 maximum of five minutes. Feel free to take less, please.
19 And then we will call it a day this evening. So Mr.
20 Potter, do you have questions for Ms. Kane? Five
21 minutes, please.

22 MR. POTTER: I'm going to save you some
23 time. No questions tonight. Thank you for the
24 presentation, Marlene.

25 MS. KANE: Thank you, Frank. We agreed

1 upon this earlier. He wasn't going to ask me any
2 questions. Thanks, Frank.

3 THE CHAIRPERSON: So this is collusion?

4 MS. KANE: It works well for me.

5 THE CHAIRPERSON: All right. Feel free to
6 collude, the rest of you, so we can get home. No, no.

7 Would you mind putting your hands up again
8 so that I can see who -- I see Ms. MacLellan, I see Mr.
9 DeLeskie, Ms. Ouellette, a lady in the front whose name I
10 don't know, and Mr. Ells. Who else did I -- that's it.
11 Nobody else. All right.

12 Okay. So I'm going to go in reverse
13 alphabetical order, I think, and I will start -- that
14 means I start with Ms. Ouellette.

15 --- QUESTIONED BY MS. DEBBIE OUELLETTE

16 MS. OUELLETTE: I just want -- I don't
17 really have a question, but I do have to say that Marlene
18 and I are very close friends, and we decided one day --
19 it was Easter Sunday -- that we would go up to the
20 landfill. And as you see this biomedical waste, that's
21 what we were looking for.

22 And I have to say she spent hours and
23 hours and years and years to finally dismantle this
24 incinerator, biomedical waste from Halifax and everything
25 from coming here, and we really appreciate all the work

1 she's done over the years.

2 Thank you, Marlene.

3 MS. KANE: Thank you.

4 THE CHAIRPERSON: Thank you, Ms.

5 Ouellette. Ms. MacLellan.

6 --- QUESTIONED BY CAPE BRETON SAVE OUR HEALTH COMMITTEE

7 (MS. MARY-RUTH MACLELLAN)

8 MS. MACLELLAN: I've got a couple of
9 questions for you, Marlene. Let's talk about the
10 incinerator first.

11 They've mentioned that they're going to
12 monitor the mercury because of the fish in the lake.
13 Given that in Canada fish aren't considered part of the
14 food chain and they're never tested by anybody before
15 they're put in stores to be sold similar to what meat
16 would be, how does it make you feel about the children
17 when they can't even answer questions about dioxin
18 monitors?

19 MS. KANE: When they can't answer
20 questions ---

21 MS. MACLELLAN: About the dioxin monitors.
22 They said they were unfamiliar, for example, with the
23 ones in Europe.

24 MS. KANE: I'm not sure -- I'm sorry, I
25 don't think I can answer that because I'm not quite sure

1 what the question is.

2 MS. MACLELLAN: Well, they're worried
3 about the fish but they don't seem to be too worried
4 about the children or the people in the area.

5 MS. KANE: Are you talking about the
6 Sydney Tar Ponds Agency or the Department of the
7 Environment?

8 MS. MACLELLAN: The proponent. The
9 proponent ---

10 MS. KANE: Okay.

11 MS. MACLELLAN: I'm just wondering how you
12 feel about protecting the children and the people when
13 they're concerned about mercury in fish that never really
14 has to be tested anyway.

15 MS. KANE: Now, from what I've heard,
16 there are laws for fish but guidelines for people. I
17 mean, I would hope that -- I would hope that they would
18 certainly put the health of the children first, but I've
19 seen that they haven't done that. The Department of
20 Health certainly hasn't done that, nor has the Department
21 of the Environment.

22 And you know, I really do have concerns
23 about any excavation work at all being undertaken on
24 either site, the Tar Ponds or the Coke Ovens site,
25 without enclosures, without buffer zones, without moving

1 people away, because it is an awful thing to see a worker
2 on one side of the fence in protective clothing and a
3 child on the other side of the fence playing in the yard.
4 It's a terrible contrast.

5 MS. MACLELLAN: Extremely terrible. I
6 have concerns about the proponent -- the ones that are
7 going to regulate, mainly our provincial government,
8 having had experiences with lobbying them in the past
9 over the violations in their permits, and every time we
10 lobbied them, they altered their permits.

11 Would you think it would be a good idea to
12 have an independent regulator?

13 MS. KANE: That's more than I've thought
14 about, but I certainly think it's a good idea to have a
15 third party independent monitoring of the sites during --
16 when work is being undertaken.

17 MS. MACLELLAN: Okay. And let's talk
18 about the areas around that aren't part of the cleanup
19 proposal. For example, the movie house where a lot of
20 the children go. I used to pay my children to stay out
21 of there.

22 How do you feel about those areas not
23 being cleaned up and leaching back into the sites?

24 MS. KANE: I don't know what to say about
25 those areas. You know, it's certainly true that there's

1 been an awful lot of construction on top of contaminated
2 material.

3 We saw that when Sobeys started expanding
4 their store in the mall across from the Tar Ponds, when
5 they were drilling into the parking lot for a foundation,
6 black goo was coming up out of the -- out of the tar --
7 out of the holes where they had drilled, and it was
8 tested, and it was contaminated.

9 So obviously a lot of buildings sit on top
10 of that material. I don't know what to suggest for that.
11 I'm certainly, you know, no expert.

12 I know that while -- you know, while it's
13 the only place we can take our children where they can go
14 themselves to a movie, and there's a grocery store there
15 and restaurants there, sometimes the smell down there is
16 so horrific, it's hard to spend any time there.

17 MS. MACLELLAN: Thank you.

18 MS. KANE: Thank you.

19 THE CHAIRPERSON: Thank you, Ms.

20 MacLellan. Mr. Ells.

21 --- QUESTIONED BY MR. CAMERON ELLS

22 MR. ELLS: Thank you, Madame Chair. If
23 one assumes for a moment that we were through the
24 construction phase and it was after the project was done
25 and into monitoring ---

1 MS. KANE: Do you mean the current
2 project?

3 MR. ELLS: Yes. With respect to the
4 solidification and stabilization part of it, if the water
5 leaving that part of the property was such that the water
6 or the sediment in it was good enough for the fish or
7 shell fish in the harbour and could be demonstrated to be
8 so in an ongoing basis, would that be considered a
9 success in the opinion of the presenter?

10 MS. KANE: The water that's flowing down
11 from where to where?

12 MR. ELLS: If after the project was
13 completed from the Tar Ponds area, be it by
14 solidification or some other means -- independent of the
15 method, if at the end of the day, the water leaving that
16 area and entering the harbour was -- the quality of it
17 was good enough for the fish, would you consider that a
18 success for the project?

19 MS. KANE: Well as far as that particular
20 water would go, but as far as other leachate that's
21 coming out from under the sites that aren't being dealt
22 with, I'd say not.

23 MR. ELLS: Okay. And the other question
24 was, in talking with Ms. MacLellan a moment ago, you were
25 discussing monitoring and independent monitoring. Would

1 an effective equivalent to what you're talking about be
2 to -- with -- would it be okay if the proponent was doing
3 the monitoring so long as it was independently reviewed
4 and endorsed, and the information was consistently
5 publicly available?

6 MS. KANE: I have no idea. I'd have to --
7 you know, I'd certainly have to look -- research that,
8 but as far as I'm concerned, independent third party
9 monitoring is not conducted by the proponent.

10 MR. ELLS: Okay. Thank you.

11 MS. KANE: Thank you.

12 THE CHAIRPERSON: Thank you, Mr. Ells.
13 Mr. DeLeskie.

14 --- QUESTIONED BY MR. DONNIE DELESKIE

15 MR. DELESKIE: Thank you very much.

16 Marlene, first of all, I want to thank you very much for
17 the fine presentation you gave tonight, and I know it
18 came from your heart and you've been out there working
19 for the people, and I really appreciate that.

20 MS. KANE: Thank you very much.

21 MR. DELESKIE: I'd just like to say that
22 I'm not looking to get moved myself because it's too late
23 for me, but my question is -- and it's like a kind of a
24 hurried question -- that's why I'm so glad that the Panel
25 Members are here.

1 We have sick people, and the sicker the
2 people are those that are around the Tar Ponds and the
3 Coke Ovens. I mean, we could actually have trucks going
4 back and forth, you know, those Red Cross trucks
5 evacuating the people tonight, you know, and not waiting
6 down the road.

7 I believe we gotta start concentrating on,
8 look, who is sick, who -- like, the Neila MacQueens that
9 have the lung cancer, the ones that have the bronchitis,
10 the heart diseases and things like this.

11 And I'd like to say Frank Potter -- he
12 grew up in the City -- and the only reason I'm saying it,
13 he has a wife and he had two daughters. He had a father
14 that died with cancer.

15 So we all pay the price. So if we could
16 kind of keep it where this is a problem that we all have
17 and we should all try to work together, I think, hey,
18 that we can get the Tar Ponds cleaned up.

19 But I believe that Frank Potter should say
20 to you, Marlene, "Come and sit down at the table with
21 us," and have a sideboard for citizens and for the what
22 ya call 'ems and say, "Let's work out something that we
23 can get this place cleaned up." Thank you.

24 MS. KANE: That would be wonderful, but
25 I'm not permitted to sit at the CLC.

1 THE CHAIRPERSON: Thank you, Mr. DeLeskie.
2 Our final questioner is the lady in the front. If you'd
3 ---

4 --- QUESTIONED BY MS. JOANNE CITRIGNO

5 MS. CITRIGNO: Thank you, Madame Chair.
6 My name is Joanne Citrigno. Should I spell that for the
7 written record?

8 THE CHAIRPERSON: That might be helpful,
9 yes. I'm sure they'd appreciate it.

10 MS. CITRIGNO: Yeah. C-I-T-R-I-G-N-O.
11 I'd like to begin by thanking the Members of the Panel
12 for coming here and going through this process because I
13 think we've had an opportunity to hear a lot of things
14 that we haven't always had the opportunity to discuss
15 through this process, through the years of the JAG
16 process that I've lived in Cape Breton. And particularly
17 because my background is in Arts and particularly in
18 Community Development and Popular Education, I found the
19 science myself very challenging, so I appreciate that
20 you're going to take the time, first of all, to listen,
21 but then to read through all this stuff and come up with
22 some sort of decision.

23 And following that, I would like to
24 express my admiration for Marlene Kane because I consider
25 her, like myself, just to be an ordinary citizen, but

1 unlike me, she has taken the time over the 10 years I've
2 known her to do the research and to try and understand
3 the technical aspects so she can ask pertinent and
4 intelligent questions, which I often feel I can't.

5 So what I would like to ask her is, if I
6 -- there's two parts to this, but it's the same question.
7 If I remember correctly, during those years that she has
8 been fighting the municipal solid waste incinerator, that
9 while she was trying to educate herself and ask the
10 questions she needed to ask to find out whether the
11 incinerator was operating safely or not, I think it was
12 often very difficult for her to have access to certain
13 kinds of information. And I'm going to have to ask her
14 to say what kinds of information that would have been
15 useful for her to make those judgements -- but things
16 like logs and how the incinerator was performing.

17 So that would be my first part is what
18 kinds of information, if I'm remembering correctly -- if
19 you did have difficulty accessing this, what kinds of
20 things would you have liked to have had more easy access
21 to in order to see whether the municipal incinerator was
22 operating the way it was supposed to.

23 MS. KANE: Thank you, Joanne. Yeah, there
24 were lots of different pieces of information I requested
25 either through the CBRM or the Nova Scotia Department of

1 the Environment. Some of them were operation logs from
2 the incinerator, of which I never received.

3 Continuous Emission Monitoring Reports, I
4 asked for -- I started asking for, I think, in about
5 1997, and the Department of the Environment would provide
6 them for me for several years. And then when I started
7 bringing this forward publicly, they stopped providing
8 them, and I had to go through the Freedom of Information
9 then to receive any documents that I wanted to review.

10 So that made it a little more difficult,
11 although I have to say the CBRM, when I did request
12 information through them, they were very -- on the most
13 part were pretty helpful in delivering them. Sometimes
14 it took a lot longer than I'd like -- months and months
15 -- but I would end up getting what I asked for
16 eventually.

17 What would have really been helpful, I
18 think, instead of me having to try to track down CEMs,
19 was that if they actually had it on the internet in real
20 time. That would have been much easier. Because
21 actually as part of their permit, it was required that
22 they submit these CEMs within a certain number of days
23 after the last day of the month and -- so that this --
24 the idea was that the Department of the Environment would
25 then review the CEMs.

1 Well, I noticed, you know, as I was
2 receiving this information, that the stamps on the
3 letters of receiving -- of the Department of the
4 Environment receiving them were months and months later
5 than they should have been. And then eventually the
6 Department of the Environment just said, "Well, you don't
7 even have to bother sending them to us any more. We'll
8 just come and get them if we ever want to look at them."

9 But anyway, as far as being able to watch
10 the real time monitoring on the internet of different
11 parameters from the incinerator would have been very
12 helpful and much more open -- and a much more open
13 process too.

14 MS. CITRIGNO: Yeah. And the reason I
15 asked this is because I think it's really important,
16 because of my background in community education -- and I
17 do think that we're lucky in Canada that we have these
18 processes where people have the right to ask questions,
19 and you know, make decisions for themselves or try to
20 make judgements for themselves whether things are safe or
21 not.

22 So whatever technology ends up being
23 chosen, what do you think -- as someone, you know, who
24 does the reading so that they can ask good questions,
25 what kinds of information should be available to the

1 public during the cleanup process and then afterwards
2 where hopefully monitoring will continue so that people
3 like yourself, you know, can keep on top of the situation
4 and see if there is a problem?

5 MS. KANE: That's a big question because
6 there's an awful lot of information, but basically
7 everything should be available to the public to be able
8 to walk in and -- into offices and see whatever is going
9 on at the time, know what's going on at the time, and
10 have all this information available in real time on
11 internets -- on the internet.

12 But just the accessibility to know what's
13 being undertaken at all times. That would be very
14 helpful. I haven't really thought about that a lot.
15 That's why I'm hesitating a little bit. But I'm just
16 trying to think from past experiences, you know, what
17 would be most helpful. I'm sure there's a lot of other
18 things that I just can't think of right at the moment.

19 MS. CITRIGNO: But the real time
20 monitoring, like, with the incinerators, whatever the
21 equivalent, things like that.

22 MS. KANE: Yes. And logs. Any type of
23 logs that the operators keep, that would be very helpful.

24 MS. CITRIGNO: Okay. Thanks.

25 MS. KANE: Thank you.

1 THE CHAIRPERSON: Thank you very much.
2 That does bring us to the end of this evening's session.
3 Thank you very much, Ms. Kane, for your presentation and
4 for answering the questions.

5 We will be back here tomorrow, and as I
6 said earlier on, we in fact will start at 11:00 in the
7 morning. We have Environment Canada coming back --
8 coming back for questions from the Panel.

9 Then at 1:00, Cape Breton Regional
10 Municipality. We then have a break until the evening
11 when we have two more presentations.

12 So thank you very much for your
13 participation this afternoon and this evening, and we'll
14 see you back tomorrow at 11:00 or later.

15

16 (ADJOURNED TO WEDNESDAY, MAY 17, 2006 AT 11:00 A.M.)

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF COURT REPORTERS

We, Philomena Drake, Lorrie Boylen, Ruth Bigio, Sandy Adam, Janine Seymour and Gwen Smith-Dockrill, Court Reporters, hereby certify that we have transcribed the foregoing and that it is a true and accurate transcript of the evidence given in this Public Hearing, SYDNEY TARPONDS AND COKE OVENS SITES REMEDIATION PROJECT, taken by way of digital recording pursuant to Section 15 of the Court Reporters Act.

Lorrie Boylen, CCR
Sandy Adam, CCR
Ruth Bigio, CCR
Gwen Smith-Dockrill, CCR
Philomena Drake, CCR
Janine Seymour, CCR

Wednesday, May 17, 2006 at Halifax, Nova Scotia