

PUBLIC HEARING

SYDNEY TAR PONDS AND COKE OVENS SITES

REMEDIATION PROJECT

JOINT REVIEW PANEL

V O L U M E 17

HELD BEFORE: Ms. Lesley Griffiths, MCIP (Chair)
Mr. William H.R. Charles, QC (Member)
Dr. Louis LaPierre, Ph.D (Member)

PLACE HEARD: Sydney, Nova Scotia

DATE HEARD: Wednesday, May 17, 2006

APPEARANCES: Environment Canada:
Ms. Anne Marie Drake
Mr. Bill Ernst
Mr. Greg Bickerton
Ms. Cheryl Konoff

PRESENTERS: Cape Breton Regional Municipality:
Mr. Vince Hall
Mayor John Morgan
Mr. Doug Foster
Mr. Malcolm Gillis
Mr. Jerry Ryan
Mr. John Whalley

Bennett Environmental Inc.:
Mr. Michael McSweeney

New Waterford and Area Fish & Game
Association:
Mr. Chuck Musial

Recorded by:
Drake Recording Services Limited
1592 Oxford Street
Halifax, NS B3H 3Z4
Per: Mark Aurini, Commissioner of Oaths

I N D E X O F P R O C E E D I N G S

PAGE NO.

THE CHAIRPERSON - OPENING REMARKS	3089
CAPE BRETON REGIONAL MUNICIPALITY:	
MR. VINCE HALL - PRESENTATION	3135
MR. DOUG FOSTER - PRESENTATION	3151
MR. MALCOLM GILLIS - PRESENTATION	3153
MAYOR JOHN MORGAN - PRESENTATION	3167
BENNETT ENVIRONMENTAL INC.:	
MR. MICHAEL MCSWEENEY - PRESENTATION	3242
NEW WATERFORD AND AREA FISH & GAME ASSOCIATION:	
MR. CHUCK MUSIAL - PRESENTATION	3326

QUESTIONING

ENVIRONMENT CANADA - MS. ANNE MARIE DRAKE, MR. BILL ERNST, MR. GREG BICKERTON, MS. CHERYL KONOFF	
Questioned by Joint Review Panel	3092
SYDNEY TAR PONDS AGENCY - MR. FRANK POTTER, MR. GREGORY GILLIS, MR. SHAWN DUNCAN, DR. BRIAN MAGEE, MR. DONALD SHOSKY AND MR. WILFRED KAISER:	
Questioned by Joint Review Panel	3130
CAPE BRETON REGIONAL MUNICIPALITY - MR. VINCE HALL, MAYOR JOHN MORGAN, MR. DOUG FOSTER, MR. MALCOLM GILLIS, MR. JERRY RYAN AND MR. JOHN WHALLEY	
Questioned by Joint Review Panel	3174
Questioned by Ron Marman (GLRR)	3221
Questioned by Elizabeth May (SCC)	3226
Questioned by Les Ignasiak	3300
Questioned by Debbie Ouellette	3231
Questioned by Dan McMullin	3231
Questioned by John Abbass	3233
Questioned by Cameron Ells	3236
Questioned by Marlene Kane	3237

I N D E X O F P R O C E E D I N G S

PAGE NO.

BENNETT ENVIRONMENTAL INC. - MR. MICHAEL
MCSWEENEY, TOM WESOLOWSKI, STEVE FLANNERY
AND FLAVIO CAMPAGNARO

Questioned by Joint Review Panel	3258
Questioned by Frank Potter (STPA)	3278
Questioned by Henry Lelandais	3280
Questioned by Mary-Ruth MacLellan (CBSOH)	3286
Questioned by Marlene Kane	3289
Questioned by Elizabeth May (SCC)	3295
Questioned by Henry Lelandais	3301
Questioned by Mary-Ruth MacLellan (CBSOH)	3306

NEW WATERFORD AND AREA FISH & GAME ASSOCIATION

Questioned by Joint Review Panel	3338
Questioned by Frank Potter (STPA)	3345
Questioned by Elizabeth May (SCC)	3348
Questioned by Mary-Ruth MacLellan (CBSOH)	3351
Questioned by Henry Lelandais	3355

I N D E X O F U N D E R T A K I N G S

NO.	DESCRIPTION	PAGE NO.
U-1	Environment Canada to provide the updated national policy for Environment Canada as of May 6, 2006	3095
U-2	Environment Canada to provide commentary regarding the adequacy of the compressive strength of the monolith as it relates to breakdown over time	3113
U-3	Environment Canada to forward an inquiry to the appropriate federal department for clarification as to whether when the Tar Ponds land is transferred to provincial ownership any liabilities are transferred as well	3120
U-4	For EC to consult with chemists to determine if there are alternate tests that could provide greater accuracy in terms of predictions of long-term behaviour of the monolith	3125
U-5	For STPA to provide breakdown of annual operating costs of water treatment plant that will treat water from the Tar Ponds, particularly after the MOA funding runs out	3132
U-6	Bennett Environmental to provide details on number of times Thermal Relief Vent opened at Bennett environmental's Cornwall plant	3262

L I S T O F U N D E R T A K I N G S

NO.	DESCRIPTION	PAGE NO.
U-7	Bennett Environmental to provide data from the St. Ambroise facility indicating what their risk assessment model projected and what was actually shown by the data collected on the ground	3271
U-8	Bennett Environmental to provide copies of public survey results for the St. Ambroise facility . . .	3276

1 --- Upon commencing at 11:03 A.M.

2 THE CHAIRPERSON: Good morning, ladies and
3 gentlemen. I'd like to get the -- this session of the
4 hearings under way.

5 As you know, this is an additional
6 session, an additional hour that we've added, and it's
7 specifically for the purpose of allowing the Panel to ask
8 questions of Environment Canada.

9 We really appreciate the fact that you
10 have come back at our request so that we can explore some
11 issues a little bit further.

12 So, we -- this session will be going until
13 12:00, and then we will take a break then, and then we
14 will resume with our schedule.

15 And our first presentation at 1:00 is from
16 CBRM.

17 I'm just -- oh, before we get on to asking
18 our questions, I do, of course, have some housekeeping
19 issues which I was just on the verge of forgetting there,
20 but -- three things that I have, before I ask if there
21 are any additional undertakings.

22 The first thing is that we received a
23 question from Sierra Club regarding -- about whether an
24 undertaking on delineation of PCB hot spots in the Tar
25 Ponds had been delivered.

1 Subsequently, the Secretariat reviewed the
2 transcripts, and in fact, there is no record of any such
3 undertaking being made in the transcripts. And
4 furthermore, the Panel is satisfied with the information
5 on this issue that was provided by the Tar Ponds Agency
6 in their response to information request No. 12.

7 The second item that I have is that the
8 Panel does want to request some additional information
9 from the Tar Ponds Agency, and we would like to request
10 that you provide us with the site assessment reports for
11 the VJ and Phalen sites. These were referenced by CBDC
12 when they were here.

13 MR. POTTER: Certainly, Madam Chair.

14 Just -- could we back up for one second?
15 Just so we're getting the record straight, on the
16 undertaking No. 12, I believe you referenced, would it
17 not be 22? No. 12 was a liability issue. 22 ---

18 THE CHAIRPERSON: No, it would be IR 12.

19 MR. POTTER: Oh, IR 12? I'm sorry. I'm
20 sorry. I'm in the undertakings. Sorry about that.

21 THE CHAIRPERSON: Okay. All right, so
22 that was the VJ and Phalen site reports.

23 The third thing, I already mentioned this,
24 but I just want to remind participants that although the
25 last day of -- in this hall for hearings will be

1 tomorrow, in fact, we will be receiving written
2 submissions up until midnight of Friday, May the 19th.

3 I just want to stress that that is not for
4 new material. That is solely for the purpose of people
5 who have undertakings that they have not submitted, they
6 may submit those up until midnight on Friday, May the
7 19th.

8 Now, do we -- I'll ask first the Agency --
9 Tar Ponds Agency, do you have any additional undertakings
10 to submit this morning?

11 MR. POTTER: Not this morning. We'll have
12 some this afternoon.

13 THE CHAIRPERSON: Thank you. Anybody else
14 in the room?

15 So, now we will turn to Environment
16 Canada. Again, thank you very much.

17 And I see familiar faces. I'll let you
18 introduce yourselves, your team, that's here.

19 And again, we appreciate you returning.

20 I just want to clarify that the Panel is
21 interested in the -- what you can provide to this
22 process, and not simply in terms of your mandate and your
23 regulatory responsibility, but we recognize the fact that
24 you have expertise that we think is highly pertinent to
25 the matters under consideration.

1 And the -- we also understand that you
2 have agreed that if we -- if there are questions the
3 Panel poses to you that you don't immediately have the
4 answers for, that you have undertaken that you will
5 provide written responses, and again, you have until the
6 end of the day on Friday -- midnight on Friday to provide
7 those.

8 So perhaps before I start the questions,
9 perhaps you would like to introduce the ---

10 MS. DRAKE: I'm Anne Marie Drake, and I'm
11 the Acting Manager of our Sydney Tar Ponds Group in our
12 Dartmouth office.

13 And I have with me Bill Ernst. Bill's
14 been commenting on the EIS from an ecological risk
15 perspective, and he's here to provide comments in that
16 area. He also works in our office.

17 And Greg Bickerton from our Environment
18 Canada facility in Burlington, Ontario, and he's a
19 hydrogeologist.

20 I also have Cheryl Konoff. She works with
21 me in the Sydney Tar Ponds Group, and she'll be providing
22 comments on the solidification review that we've done on
23 that, and possibly some air issues.

24 ENVIRONMENT CANADA

25 --- QUESTIONED BY THE JOINT REVIEW PANEL:

1 THE CHAIRPERSON: Thank you.

2 I would like to begin with just -- with
3 two questions relating to the fact that we have now -- we
4 heard yesterday from the Proponent that the Proponent now
5 believes that containment of all the Tar Ponds sediments
6 is technically and economically feasible, so that now
7 they have put on the table as an alternative means of
8 carrying out the project, a project that does not include
9 selective removal and destruction of high concentration
10 PCB sediments in a hazardous base incinerator.

11 So, I -- and obviously this has happened
12 since you were last here.

13 So I'd just like to ask you a couple of
14 questions about this.

15 The first thing is, could you comment on
16 such a proposal, in terms of its compliance with the
17 Stockholm Convention and with Canada's Toxic Substances
18 Management Policy.

19 This would be a proposal that does not
20 remove the PCB -- the areas of PCB sediments that are
21 over 50 parts per million from the Tar Ponds -- remove
22 and destroy.

23 MS. DRAKE: I think we spoke to this the
24 first time we came here a bit, but both the Stockholm
25 Convention and the Toxic Substances Management Policy are

1 accepting of risk management of PCBs in the case of a
2 contaminated site.

3 And I -- Bill, did you have anything to
4 add to that?

5 MR. ERNST: Well, I'll just add that the
6 Toxic Substances Management Policy doesn't mean that even
7 a track one substance, which PCBs certainly are, have to
8 be destroyed.

9 It is a risk management approach where the
10 risk has to be reduced, and therefore, it doesn't dictate
11 that those kinds of materials would have to come out of
12 the ground in this instance.

13 THE CHAIRPERSON: So, in other words,
14 you're saying no change in your position with respect to
15 this alternative means of carrying out the project?

16 MS. DRAKE: That's correct.

17 MR. CHARLES: Can I just ask a question?

18 It was mentioned at the earlier round of
19 questioning that there was some new national policy that
20 was supposed to come out on May the 6th.

21 That has come out now, has it? And does
22 it affect anything? Does it change anything?

23 MS. DRAKE: That would be something that
24 we would have to take as an undertaking.

25 I haven't heard what the results of the

1 convention were that was held earlier this month, but we
2 could follow up on that for you.

3 MR. CHARLES: But it is in the public
4 domain, is it?

5 MS. DRAKE: I'm not sure.

6 MR. CHARLES: Could you do that? I'd like
7 to have a look at that national policy. [u]

8 MS. DRAKE: Yes.

9 THE CHAIRPERSON: So, you've indicated
10 that with respect to the total encapsulation alternative,
11 there's no concern with respect to policy or
12 international agreements.

13 Now, do you -- would Environment Canada
14 have any concern about the potential for leaching of PCBs
15 if these areas with higher concentrations, if these are
16 to be contained, solidified and stabilized?

17 MS. DRAKE: I can comment a bit on that
18 one.

19 In terms of the alternative means, as with
20 the project itself, I believe that we went back in our
21 response and we asked the Proponent to provide some more
22 detail in certain areas, and the same would be true for
23 the alternative means as well.

24 In our opinion, solidification
25 stabilization is a proven technology, it's been used at

1 other sites.

2 So, we would go back to our
3 recommendations from our submission to the Panel and that
4 additional information that we had asked for, we'd be
5 looking for that again, from the alternative means, with
6 the exception of the incinerator.

7 THE CHAIRPERSON: Now, I'm sure you've
8 been probably following, I know you've been here, Ms.
9 Drake, and others, from time to time, but -- and you've
10 been reading the transcripts.

11 And there's been a fair amount of
12 discussion and debate and people put forward --
13 forwarding questions about other stabilize --
14 solidification and stabilization sites, and exactly what
15 went on at those sites. So, I suspect you followed that.

16 Has anything that you've heard lead you to
17 question your confidence that, in fact, this is a proven
18 technology for the types of sediments that it would be
19 used on here, in terms of being high organics and the
20 kinds of contaminants, and the fact the location of the
21 remediation, the fact that it's taking place in what was
22 -- is now an estuarine environment?

23 I should add, I think it would really help
24 the Panel to get some feedback from you on this respect,
25 because, you know, we've been sitting here and there have

1 been sort of competing claims about other projects and
2 what the other projects prove, and whether there's been
3 long term results obtained from those projects. So, I
4 think it would really help us if we could get some
5 advice, opinion from yours.

6 MS. DRAKE: Okay, actually, I wasn't here
7 for all of those presentations, and I haven't reviewed
8 all the transcripts, but I have heard about some of them.

9 There's nothing that we've heard to date
10 -- like I said, we haven't reviewed it in detail -- that
11 would cause us to change the position that I mentioned
12 just earlier.

13 The specialist that we've been consulting
14 on stabilization and solidification did indicate to us
15 that it's technically feasible in terms of using it on
16 highly organic material, and that was why we asked for
17 further testing in terms of bench scale and pilot scale
18 testing on the material to ensure that's it's technically
19 feasible.

20 In terms of the -- or, maybe marine
21 environment, I'll look to one of the gentlemen to my left
22 and they would speak to that.

23 Madam Chair, would you just repeat the
24 question in terms of the monolith and the marine
25 environment, what the question was?

1 THE CHAIRPERSON: Well, my question is, in
2 light of the information that's been brought forward
3 during the hearings and -- information and assertions,
4 and the written material that's been filed with the Panel
5 -- and I understand you haven't seen all of the
6 transcripts on these issues, you haven't seen the written
7 material, so this is where a written response may be
8 necessary.

9 But in the light of that, is there
10 anything that would cause you to revise your opinion that
11 this -- for use in this location, on these sediments,
12 that this is a proven technology?

13 MS. DRAKE: I think I'll just go back to
14 my other answer. There's nothing that's additional.

15 And as I said, the fact that -- maybe I
16 didn't say this before, but the fact that it's not only
17 going to be stabilized and solidified, but there's also
18 going to be a cap. There's another added level of
19 protection.

20 The fact that the PCBs would still be in
21 there, there's nothing in that, that would change our
22 position.

23 THE CHAIRPERSON: But before I let go of
24 this one, I just -- so your assessment of this as a
25 proven technology, however, do you have any information

1 that the Panel does not have in terms of long term
2 evaluation of this technology in comparable situations?

3 Because this has been an issue that's been
4 going back and forth.

5 MS. DRAKE: We don't have, in our own
6 possession, anything on the long term evaluation.

7 Just -- we've had the EIS documents peer
8 reviewed by specialists in the area, and that's what
9 we've used in our response to you. So there's really
10 nothing additional to that.

11 THE CHAIRPERSON: Okay. Thank you.

12 DR. LAPIERRE: Good morning. I have a few
13 questions relating to groundwater.

14 The first question -- and I'll try to
15 paraphrase how I see it happening. And if I'm not
16 correct, I'm sure the Tar Ponds Agency will correct me.
17 The -- I'll start with the Coke Oven site. So you're
18 going to deviate groundwater. You're still going to have
19 some -- you've got some pollution to bedrock on the site.
20 You're going to deviate bedrock. You're still going --
21 deviate groundwater, deflect with the brook taking off
22 the surface water, you're going to deviate some of the
23 groundwater table but you still have water getting into
24 the polluted area, either through the cap because the cap
25 is permeable.

1 It has some, you know, ten to the minus
2 six so we were told this week by an expert in the
3 permeability that could allow up to a 1,000 gallons of
4 water per surface to penetrate. That water is going to
5 float through the polluted area, eventually it'll make
6 its way to the fractured bedrock and the Tar Pond Agency
7 have assured us that it's going to drain in under the
8 monolith.

9 Now, if you look at the monolith and you
10 look at the structure that's put in place at the same
11 time under the monolith if I understand correctly you'll
12 have an intrusion of salt water which is coming in either
13 from the slag segment or from underneath the coffer dam,
14 it's still going to leak in because that's not going to
15 be the coffer dam or whatever that barrier is going to
16 be.

17 So the question now is that you've got
18 this water. You may also have water that permeates
19 through the monolith and my understanding is that you're
20 going to have a drainage system through the monolith,
21 more than likely a hydraulic head underneath the monolith
22 which will push that water through. It'll be going
23 through a system of surface drainage and be collected and
24 brought to the canal that's -- or the drainage canal
25 that's going to be built on the side.

1 Our understanding from the Sydney Tar
2 Ponds is the end of these pipes will all be capped so
3 that you don't get direct flowage into the canal and
4 they'll be tested. They'll be on a inclined pline [sic]
5 -- and inclane and so you would have a water buildup,
6 depending on how much head you have underneath and how
7 much close -- and up to now they couldn't tell us how
8 much water's going to go through. It has -- the final
9 design or how many ditches you will have.

10 Now, my question is, when you have this in
11 place, this supposedly, to me it's a very important
12 system because through that system you're going to
13 collect the leachate, you're going to collect the
14 drainage from the Coke Oven site and that would go to a
15 water treatment system where you would treat the water
16 before it's discharged to the -- wherever it will be
17 discharged to eventually maybe to the harbour. Now, my
18 question is, do you have confidence in this system that
19 it will be effective in containing the leachate?

20 And also do you have any concerns that
21 some of this leachate if it did happen or could
22 eventually could find itself into the harbour through the
23 exchange of salt water under the monolith and with the
24 harbour. The other question I have also relates to, we
25 were told that the present Tar Ponds delineation is not

1 the entire polluted area. That on the SYSCO's land where
2 you have the -- you do have some oily substance, maybe
3 similar to what you have in the Tar Ponds. Now my
4 concern is when you're going to put the monolith in place
5 you're going to sever these walls. I mean, if this is a
6 continuous polluted area at the present time which is
7 contained, you're going to sever these walls.

8 Now do you have any concerns that you
9 could have re-emission of the -- you could have pollution
10 entering under the monolith from the contaminated lands
11 outside and that this could find its way to the harbour
12 through the exchange of salt water. It could also find
13 its way through the treatment system. Now my question --
14 my two questions are, do you have any concerns with the
15 exchange of pollutant under the monolith either from
16 leachate or either from re-infiltration, moving out to
17 the harbour and what confidence do you have that this
18 water can be collected through the monolith going through
19 the drainage system and finally end up in to the water
20 treatment system.

21 MR. BICKERTON: I guess -- that's a fairly
22 long question so I mean, I'm going to try to see if I can
23 get the essence of what you're ---

24 DR. LAPIERRE: I understand.

25 MR. BICKERTON: Is your primary concern,

1 will the proposed leachate collection system be adequate
2 to capture the water and redirect it so it can be
3 treated, is that ---

4 DR. LAPIERRE: Well, yes, because my
5 concern is I don't want the leachate to end up in the
6 harbour.

7 MR. BICKERTON: Fair enough. And then you
8 got another portion that was dealing with the Coke Oven
9 site and the fractured -- there's quite a few issues that
10 came up there so I guess which order would you like me to
11 address them in?

12 DR. LAPIERRE: Well, the leachate site,
13 the fractured bedrock, I'm sure all the fractures don't
14 lead to the Tar Pond. Some of them might lead sideways
15 and it could go to the ocean. We didn't get exact detail
16 on the nature of the fractured bedrock. But we know its
17 fractured. We know its polluted.

18 MR. BICKERTON: Okay, so would you like me
19 to address the fractured component first.

20 DR. LAPIERRE: Sure.

21 MR. BICKERTON: The issues of the
22 fractured bedrock is something that we have -- kind of
23 have raised in our submission. With regard to that,
24 whether the fractures go sideways or not there is a
25 hydraulic driving force that will tend to make it go

1 towards the Tar Ponds.

2 DR. LAPIERRE: Yes.

3 MR. BICKERTON: But that's fine. The
4 other, I guess, aspect of the fractured bedrock is that
5 the contaminants are at lower levels in those areas so in
6 terms of relative risk, I guess the way that I've
7 envisioned this project is that it's a mitigation
8 exercise mostly and addressing the highest level risks
9 first. When you're talking about the fractured bedrock
10 there are -- there's the shallow fractured bedrock and
11 then there's some deeper systems so I think there should
12 be some distinction made between those.

13 The shallow system is a highly fractured
14 system and it's probably most likely in contact and will
15 be captured, down gradient with the collection system
16 that they are proposing. That being said, one of our
17 positions and our opinions is that that does have to be
18 carefully monitored to ensure that what is expected to
19 happen is, in fact, occurring. So we will definitely
20 reinforce that position. Does that kind of address the
21 fractured aspect ---

22 DR. LAPIERRE: You have no concerns that
23 the -- some of the pollutant might find its way through
24 the deeper fractured into deeper underground aquifers.

25 MR. BICKERTON: If that's occurring, it's

1 occurring now. To what degree that occurs, that's an
2 area that's not very well documented so our understanding
3 of that is quite limited. I think it's fair to say that
4 there'd probably be at some point, there'll be some
5 disconnection -- I don't know -- disconnect between the
6 shallow system and the deeper systems. Not to say that
7 that extends over the whole site. I don't know. There's
8 not enough information on that. But again, that is
9 something that can be kind of built into a monitoring
10 program. So at least you can get some knowledge on that
11 and if there is concerns, it could be addressed at that
12 point. So as long as that element is somehow
13 incorporated into a monitoring plan then I think that
14 still can be addressed.

15 DR. LAPIERRE: Okay, yes.

16 MR. ERNST: And I think you expressed some
17 concerns for the potential for leaching to the harbour
18 through this kind of a groundwater entry mechanism. I
19 guess it's -- and Greg mentioned it a bit tangentially
20 there that it's our opinion that this is possible. But
21 it's a relatively small contaminant loading source
22 overall to the harbour compared with other routes, i.e.,
23 currently Muggah Creek right now. Potentially even
24 during remediation and after remediation it would still
25 be in our opinion a relatively smaller source than some

1 of those others. Does that help?

2 DR. LAPIERRE: Okay, so if I understand
3 correctly, you think that that will be a relatively minor
4 source of leachate going into the harbour through the
5 lower groundwater. Your contention is that the hydraulic
6 head would move the system, move the water underneath the
7 monolith through the draining channel and then the
8 collection system.

9 MR. BICKERTON: The -- currently the Tar
10 Ponds are the discharge points. The hydraulic -- that
11 driving force will still be there after its emplacement
12 so yes, we think that those will -- the deeper systems
13 are a relatively minor component to it.

14 DR. LAPIERRE: Okay. The next question I
15 have relates to the barrier, what do you call it, a --
16 you know, it started off being a coffer dam but I guess
17 the Battery Point barrier. That's the barrier at the
18 edge of the estuary at the present time. You're going to
19 have the drainage ditch that's going to be constructed
20 and it's going to be 50 foot wide. How important is that
21 Battery Point barrier for you? At the present time, I
22 think that that's the -- possibly the major exchange with
23 the harbour because if you get -- if you have leachate at
24 the end of the contaminants they would move into the
25 harbour.

1 Now if that barrier is erected and I guess
2 what I'd like to know is how important is that barrier
3 for containing the integrity of the contaminants because
4 as I -- if we're looking at full containment and from the
5 last visit you were here, I ---

6 MR. ERNST: It's our understanding that
7 this barrier has been put in place primarily as an energy
8 barrier and the fact that it's permeable is not of great
9 concern and it's not a leaching preventing kind of
10 barrier. It is, in fact, an energy barrier that prevents
11 the re-suspension of materials during high energy events.
12 So -- does that answer ---

13 DR. LAPIERRE: Yeah, it does. I -- you
14 see it more as a barrier for breaking the waves and
15 stopping the erosion factor. So I guess what I want to
16 also confirm is that you are confident that the
17 contaminants including the PCBs that are now in the Tar
18 Ponds are fairly stable in the matrix and that there will
19 be limited or little movement from the Tar Ponds to the
20 harbour from the presently -- from the present
21 suspension. I mean, sure there's going to be
22 stabilization which is -- should enhance that but you're
23 confident that what's left below the stabilization isn't
24 going to move and isn't going to be a leachate problem.

25 MS. DRAKE: I'd like to answer that

1 question in a way that what we asked for was further
2 studies and further information on the stabilization so I
3 think that's a question we could better answer once we
4 see the results of those studies but as I mentioned
5 earlier what we've been -- what -- I mean I'm not a
6 stabilization expert but what I've been told is that it's
7 technically feasible and we'd like -- we're asking for
8 more testing so that that can be demonstrated.

9 DR. LAPIERRE: The other question I have
10 relates to the -- we've heard to the leachate test that
11 you -- to apply. We've heard a good deal of discussion
12 of the U.S. leachate tests. Their applicability to
13 remediation projects. Are there Canadian equivalents to
14 the U.S. tests? And can you describe the application of
15 -- their application to this project both in terms of
16 waste classification and in terms of assessing
17 significant potential environmental effects.

18 MS. DRAKE: I want to start answering that
19 question anyway. Environment Canada, in our CEFA
20 regulations for hazardous waste we do use the USEPA TCLP
21 test and I consulted with people in my Ottawa office that
22 are with our hazardous waste regulatory group prior to
23 coming here today and there's no plans to move away from
24 its use. In fact, the provinces of Ontario, Quebec and
25 Alberta also reference the same method in their

1 moving forward to include the TCLP as
2 the referenced legal test method
3 replacing the former CGSB, Canadian
4 General Standards Board, Leachate
5 Extraction Procedure which had been
6 in force since 1989."

7 He goes on to say:

8 "The TCLP has been proven to work in
9 characterizing the hazardous waste as
10 part of a risk assessment based on a
11 certain scenario model. Industry and
12 governments agree that the test is a
13 good predictor and field work in the
14 U.S. has confirmed the validity of
15 the model and the test."

16 In terms of waste classification -- I
17 can't remember all of your question now but Environment
18 Canada uses it more as a tool to determine whether
19 something is a hazardous waste.

20 So, if it fails the leachate test, then
21 it's a regulated hazardous waste under our Export and
22 Import of Hazardous Waste Regulations and our
23 Interprovincial Shipment of Hazardous Waste Regulations.

24 And you'll have to go over what the rest
25 of your question is, because I don't remember.

1 DR. LAPIERRE: Well, I guess, I wanted for
2 you to give me an assurance that the TCLP test is an
3 effective test to assess leachate in this condition.

4 MS. DRAKE: Well, in addition to what, I
5 guess, I read from our departmental position on it from
6 our expert in Ottawa -- and I think the Proponent
7 mentioned this yesterday -- it's actually a very
8 conservative test, you know, even more conservative than
9 some of the other tests.

10 I mean, I'm not a leachate test expert and
11 if I were to get into more detail on it I'd have to
12 consult with someone else, but our understanding is that
13 it's actually even more conservative than some of the
14 other leachate tests, so ---

15 DR. LAPIERRE: Okay. So, the end result
16 is you're satisfied with the TCLP?

17 MS. DRAKE: That's correct.

18 DR. LAPIERRE: The other question I have
19 relates to the compressive strength of the monolith, and
20 I guess from the comments that I've just heard it's that
21 the monolith plays an important part but still a minor
22 part in the process.

23 You have no concerns with the compressive
24 strength of the monolith as they now relate as far as
25 either that it may break down over time or that you might

1 have ingress from salt water or chlorides, the
2 compressive strength being something like, I think, 14 to
3 19?

4 MS. KONOFF: Hi. We actually had asked
5 the Proponent for engineering and scientific criteria for
6 that specific question regarding compressive strength.
7 We have heard from them and we also heard some of the
8 information from the cement industry this week, and
9 without doing a thorough investigation ourselves I don't
10 think we can comment on that.

11 I don't think -- we had suggested that
12 probably the 50 psi that was used be the criteria, but
13 we've had other information presented this week, and
14 without doing a thorough investigation I don't think we
15 can comment on that at this time.

16 They do have engineering criteria set up
17 and they will be looking at that.

18 DR. LAPIERRE: So, you can't comment on
19 that at the present time. Now, the question is -- our
20 time is running out.

21 MS. KONOFF: Yes.

22 DR. LAPIERRE: You know, 12 o'clock Friday
23 night is -- either we get the information or we forget
24 it, that we even know it exists.

25 MS. KONOFF: Yes.

1 DR. LAPIERRE: Now, can you or will you be
2 able to provide some advice by Friday night 12 o'clock on
3 the compressive strength?

4 MS. KONOFF: We'll do our best. [u]

5 MS. DRAKE: Some of our -- the people
6 we've been working with on this are actually out of the
7 country right now and they've actually been answering
8 some of our e-mails, but it's been a little bit tough
9 trying to get a hold of them. So, we will do our very
10 best.

11 I wanted to add one more just point on
12 that in terms of the monolith breaking down, and I don't
13 know if this question will come or not but I'll just
14 mention some positions, I guess, that the department has
15 in terms of long-term monitoring.

16 I'm going to reference the Canadian
17 Council of Ministers of the Environment's 1997 Guidance
18 Document on the Management of Contaminated Sites in
19 Canada. The document states that:

20 "Long-term monitoring is always
21 required for activities using
22 containment, isolation and in-situ
23 stabilization techniques."

24 And it's Environment Canada's position
25 that this statement applies to the current project and as

1 a result a monitoring program must be in place to ensure
2 the long-term integrity of the structure.

3 So, in terms of whether it breaks down or
4 not, I guess that would be something that would have to
5 be followed up on with the monitoring plan.

6 DR. LAPIERRE: Well, that's a question I
7 had. I did ask the Sydney Tar Ponds Agency at the onset
8 of the hearings, and the answer I got -- it was very
9 difficult, they would look into it but it would be
10 difficult to monitor the -- you know, the actual either
11 breakdown of the monolith -- I mean, it's going to be
12 under a cover and it's going to be ---

13 MS. DRAKE: I guess monitoring would also
14 relate to what's getting into the environment and what's
15 being discharged from the site.

16 DR. LAPIERRE: I agree. I guess my other
17 question was, do you have any concern even if it does
18 break down? If there was some crumbling of the monolith,
19 do you have any concern?

20 MS. DRAKE: I guess our concerns are more
21 what's going to get into the environment, so the actual
22 breakdown, you know, of the monolith is more of a site
23 use issue. If it's still containing the contaminants and
24 preventing them from entering the environment, that would
25 be where our concern is.

1 I think of that issue, I guess, as more of
2 a site use and that sort of thing.

3 DR. LAPIERRE: So, if it crumbled and
4 broke down and stayed underneath and leaked chemicals
5 wherein it stayed within the crumbles, you would have no
6 concern?

7 MS. DRAKE: That's right, as long as the
8 chemicals and contaminants are still being prevented from
9 entering the environment.

10 DR. LAPIERRE: Do you believe that an
11 effective monitoring program can be developed to assess
12 the performance of the SS contained sediments? And, if
13 so, what role will you play in developing that monitoring
14 program?

15 MS. DRAKE: I guess what we've asked the
16 Proponent is that a monitoring program be developed with
17 other stakeholders such as ourselves and the provincial
18 Department of Environment.

19 In terms of actual detail in monitoring
20 the monolith itself, I guess, I can't comment on that.
21 That would be something we would have to review as we
22 worked with them in developing monitoring plans.

23 But in terms of monitoring what's coming
24 from the monolith, that would be, you know, something we
25 would look at in terms of what's getting into the harbour

1 and that sort of thing.

2 DR. LAPIERRE: So, what authority do you
3 have in ensuring that the monitoring program is in place?

4 I mean, if you're not the RA but you --
5 what authority or how do you fit into assessing or
6 getting input into the monitoring? I guess, do you have
7 any authority to oversee it?

8 MS. DRAKE: Okay. I have a couple of
9 points to make with regard to that question. I guess
10 this relates to what our continuing role in the project
11 would be after the incinerator site is transferred. I
12 think that's what you're getting at.

13 A couple of things. We would still
14 administer Section 36.3 of the Fisheries Act.

15 DR. LAPIERRE: The Fisheries Act.

16 MS. DRAKE: We would still expect that
17 where the Tar Ponds itself is going -- part of it's going
18 to remain federal property until the remediation is
19 complete -- that's my understanding at this point -- the
20 Department of Environment Act and Treasury Board policies
21 for contaminated sites state that Environment Canada has
22 the jurisdiction for federal contaminated sites.

23 Now, do we have any regulations other than
24 the Fisheries Act? No. It would be providing guidance
25 on policies and guidelines to, you know, the owner of the

1 site or, I guess in this case, the Proponent.

2 Thirdly, we've been involved with Public
3 Works and STPA on a technical committee that meets
4 several times a year and we have input through that as
5 well. So, from a regulatory standpoint it's the
6 Fisheries Act but there's some other mechanisms there,
7 too.

8 DR. LAPIERRE: Okay. So, under Section
9 36.

10 You now own part of that Tar Ponds, as
11 you've indicated. If the Tar Ponds were transferred to
12 either the Province or to the Municipality, what
13 responsibility do you hold for the contaminants that are
14 on that land, and what are your liabilities?

15 MS. DRAKE: I don't think I can answer
16 that question. That might be better put towards my
17 colleagues at Public Works or the Department of Justice.
18 You're talking about federal liability for the site?

19 DR. LAPIERRE: Well, you own the land now.

20 MS. DRAKE: Yes, the Federal Government
21 does.

22 DR. LAPIERRE: If it was transferred, do
23 you transfer your liabilities or do you keep your
24 liabilities?

25 MS. DRAKE: As I said, that's not a

1 question that I personally have the expertise to answer
2 but, you know, it could be put to one of the lawyers
3 maybe as an undertaking.

4 DR. LAPIERRE: So, that would be legal
5 within Environment or legal within another branch of
6 Government?

7 MS. DRAKE: My understanding is Public
8 Works Canada has been looking after that aspect in terms
9 of transfer of the land.

10 THE CHAIRPERSON: If I can step in here, I
11 think -- are you -- would you take an undertaking to put
12 that question forward to the appropriate federal
13 department as an undertaking?

14 MS. DRAKE: Are you talking about
15 liability in terms of contaminants leaving the site and
16 who's responsible for them or are you talking more about
17 jurisdiction in terms of Fisheries Act?

18 DR. LAPIERRE: Well, in fact, I was
19 talking about both of those, because under the Fisheries
20 Act I'm sure you're going to keep that liability and you
21 would have that responsibility if it moves out and the --
22 but if you were to transfer the land to the Province,
23 which we've heard was a possibility, the question that I
24 have is -- it's contaminated lands now, the contaminants
25 are not going to go away, that it's going to be contained

1 -- can you transfer your liability along with the land?

2 MS. DRAKE: I think that's, as I said
3 earlier, a question that's better answered by Public
4 Works because they've been dealing with that in terms of
5 land ownership.

6 In terms of Fisheries Act responsibilities
7 it doesn't matter who owns it, they can be charged or
8 whatever.

9 DR. LAPIERRE: I agree with that. I
10 agree.

11 THE CHAIRPERSON: So, my question, for the
12 record, is would you be willing to take that as an
13 undertaking to direct that question to the appropriate
14 federal department?

15 MS. DRAKE: We can direct it to Public
16 Works.

17 THE CHAIRPERSON: That's your decision ---

18 MS. DRAKE: Okay.

19 THE CHAIRPERSON: --- as to what you deem
20 -- consider where the appropriate department is that that
21 should go, but would you take that as your undertaking
22 ---

23 MS. DRAKE: Yes.

24 THE CHAIRPERSON: --- to forward that
25 question and obtain from them some kind of an answer and

1 get it into the ---

2 MS. DRAKE: I will ask them, but anyway

3 ---

4 THE CHAIRPERSON: Well, I appreciate that,
5 that they have to do it, but -- so on the record, that is
6 an undertaking by Environment Canada to forward that
7 question to the appropriate federal authority. [u]

8 DR. LAPIERRE: I have just one last
9 question. It relates to one -- I'm not sure if it was
10 answered correctly or if I didn't understand the answer
11 or didn't hear it.

12 The question relates to the comment that I
13 made that you now have a contaminated area of which the
14 Tar Ponds is a section of it. This week we heard through
15 presentations that if you had not covered over some of it
16 the Tar Ponds would be bigger.

17 Now, one of those areas is the SYSCO
18 property which we were told does contain contaminants.
19 Do you have any concern that that which is a higher
20 concentration once you solidify and clean up -- or
21 solidify the materials within the Tar Ponds, that you
22 might have some re-leaching into the Tar Ponds that may
23 cause some problems?

24 And if -- you know, maybe it'll all go in
25 the groundwater and it'll be something that the Sydney

1 Tar Ponds Agency will just have to pump and treat to a
2 higher quality.

3 MR. BICKERTON: With regard to the
4 particulars about what's coming off the SYSCO site, I
5 mean, that's information I'm not familiar with because it
6 fell outside the scope of this.

7 But with regard to the system, if things
8 did come off that site it is likely that they would be
9 intercepted with the current system that they are
10 proposing, and maybe, in fact, yes, they might be pumping
11 and treating that.

12 Does that answer your ---

13 DR. LAPIERRE: Well, I guess it does.
14 That's what I ---

15 MR. BICKERTON: Yeah, I don't know the
16 particulars of the ---

17 DR. LAPIERRE: That's what I ---

18 MR. BICKERTON: I don't know the
19 particulars of the SYSCO property, that's outside this,
20 but ---

21 DR. LAPIERRE: That's fine.

22 MS. DRAKE: I think that's something we
23 might be able to evaluate more once we have more
24 information on the design.

25 DR. LAPIERRE: Okay. Well, that's it,

1 Madam Chair.

2 THE CHAIRPERSON: I just -- before I hand
3 it over to Mr. Charles, I do want to go back to the TCLP
4 test and your response with respect to that, and I just
5 want to get a couple of things clear in my head.

6 Where this comes from is that we've had
7 some presentations which have questioned the adequacy of
8 this test as a predictive tool for the long-term
9 behaviour of the solidified sediments -- with respect to
10 leaching with the solidified sediments, and that's the
11 issue, is the predictive nature of the tool.

12 I'll just quote here from a presentation
13 that:

14 "The long-term performance of treated
15 waste is not clearly understood, and
16 no definitive test procedures exist
17 to measure or assess this properly."

18 Or "this property", I don't know which it
19 was meant to be:

20 "The TCLP is not an adequate measure
21 of long-term leaching."

22 And they go on to say there needs to be
23 monitoring, which you've said, we all understand that,
24 but I'm sure you understand that, as a panel, we're
25 particularly interested in the predictive -- the adequacy

1 of predictions that are made in terms of determining
2 significance.

3 Let me just ask my clarification question.
4 If, say, the Tar Ponds sediments were removed from the
5 Tar Ponds, and they were treated, they received S/S
6 treatment, say ex situ, so you then just have this
7 material that was sitting out of the Tar Ponds, and it's
8 federal -- it's still federal material, it's from -- so
9 in -- would that be a federal regulation of its disposal
10 in terms of hazardous waste?

11 It would go through a TCLP test, it would
12 pass -- let's say it passes, so then what would that mean
13 in terms of disposal, as far as Environment Canada is
14 concerned? It could then go anywhere, is that right?

15 MS. DRAKE: You're saying that it would
16 pass the TCLP test? And I think the proponents mentioned
17 a few times that the material passes the test now, so,
18 you know, one would expect after stabilization it would
19 continue to. But yes, that's correct, it ---

20 THE CHAIRPERSON: Well, sorry to interrupt
21 you, but is that a fair assumption. If you do ---

22 MS. DRAKE: Maybe I'm ---

23 THE CHAIRPERSON: --- change it, de-water
24 it, you add materials, it's no longer sitting under water
25 in that compacted way, is it fair to say if it passes it

1 before, it's going to pass it after that treatment?

2 MS. DRAKE: Probably not, maybe I mis-
3 spoke there, but anyway, that's correct, there would be
4 -- it would not be considered a hazardous waste, and the
5 proposed plan to contain it is acceptable.

6 THE CHAIRPERSON: So, in other words, you
7 could take it -- if they would receive it, you could take
8 it to a municipal landfill, for example.

9 It's all right, I'm not designing an
10 alternate project, that's not my purpose. I'm just
11 trying to get it clear in my head what it means if
12 something passes that test. It means it doesn't have to
13 be treated as hazardous waste and, as far as you're
14 concerned, it could be left on the land.

15 MS. DRAKE: Theoretically that is correct.
16 In reality, I don't expect that any municipal landfill
17 would be happy to get it, but theoretically that's
18 correct.

19 THE CHAIRPERSON: No, I'm not proposing
20 that as an alternative, I assure you.

21 THE CHAIRPERSON: But what's been
22 suggested to us that in terms of predicting the long-term
23 behaviour of that material as it sits in the Tar Ponds,
24 in its containment structures, that that test was not
25 designed for that purpose, it was designed for other

1 purposes, for the classification of hazardous waste.

2 So is Environment Canada -- you say it's a
3 conservative test, and that's all good, and your experts
4 are still confident that that's a good test to use as a
5 predictor of the long-term behaviour of that material,
6 even though it was not really designed for that purpose.

7 And there was a suggestion -- although no
8 details were provided, there was a suggestion that a
9 different and alternate suite of tests could be designed
10 that would be more predictive, and I just wonder if you
11 have any, or your experts would have any, thought on
12 that, whether there could be an added level of comfort
13 derived from an alternative suite of tests, if they have
14 any information about that.

15 MS. DRAKE: That would be something I
16 would have to consult with our chemists on.

17 THE CHAIRPERSON: All right. Can I take
18 that as an official undertaking, then, that you will ask
19 that question and perhaps come back with any information
20 about the potential for other tests to provide greater
21 accuracy in terms of predictions of long-term
22 behaviour?[u]

23 MS. DRAKE: Yes.

24 THE CHAIRPERSON: Thank you very much.

25 MR. CHARLES: My question has to do with

1 concerns that were raised here in some of the
2 presentations about the durability of synthetic liners
3 that are used in the capping and in the attempt to
4 contain the materials in the Tar Ponds within their
5 isolated spaces.

6 We're told that these synthetic liners
7 sometimes fail after 2 and 3 years, although that's
8 admittedly kind of an exceptional kind of situation,
9 while others are -- you know, may have warranties for 30
10 years or more, but experience has shown that they often
11 fail, or sometimes fail, I'm not sure which it is.

12 But I guess my question to you is, do you,
13 or your experts, have any kind of observations,
14 experience or opinions about the durability of these
15 synthetic liners? Is it a problem from your point of
16 view that needs to be addressed, or are you happy with
17 what you know about them?

18 MS. DRAKE: I think I mentioned earlier
19 that, you know, we recognize that capping is a proven
20 method for managing contaminated sites, and that we would
21 recommend long-term monitoring.

22 And just going back to one of our
23 recommendations, that the monitoring follow-up programme
24 will ensure that the physical integrity of the cap at
25 both sites can be effectively managed.

1 So that, again, would be something that,
2 as a stakeholder, we would be happy to work with the
3 proponent and other environment departments in terms of,
4 you know, reaching that goal.

5 But in terms of the capping material
6 itself, I'm not an expert on that, and I don't have that
7 level of expertise with me right now.

8 MR. CHARLES: And I guess it's a question
9 of having the appropriate kind of monitoring equipment
10 that could determine when a liner is failing and when it
11 isn't.

12 I know you can tell sometimes by the run-
13 off whether the leachate is gaining in concentration or
14 not, but there may be other times when you can't tell
15 that the liner has actually failed until some time
16 afterwards.

17 Do you have any information on the
18 adequacy or the difficulty of monitoring for this
19 synthetic liner failure?

20 MR. BICKERTON: I can probably provide a
21 little bit of comment. I'm certainly not a geotechnical
22 engineer, but I am aware that there is a fair amount of
23 documentation that things typically do degrade over time.
24 To what extent that would be a problem here, I'm not
25 certain.

1 With regard to monitoring, if the liner in
2 the Tar Ponds was to degrade over time, I think perhaps
3 where you'd see that reflected is perhaps in the
4 collection system, where you may see higher flows.

5 Now, that would have to be monitored over
6 time before you can probably attribute that solely to the
7 influx through the liner, but, in that case again, my
8 understanding is, that liner is there kind of as an extra
9 feature, and that there is a collection system below. So
10 presumably, if that was breached, the infiltration would
11 again fall into the collection system that's immediately
12 below it.

13 And again I'll say that I'm not a
14 geotechnical engineer, so I can't comment too much on it
15 outside of that.

16 MR. CHARLES: So your position would be
17 because you have back-up systems, like the collection
18 system, even if it did fail, there's some way you could
19 prevent it getting out into the environment.

20 MR. BICKERTON: I guess in my view I see
21 that collection system as the primary protective measure
22 in that system.

23 The proponents may want -- if that's
24 incorrect, perhaps they could comment on that, but as far
25 as monitoring its breach, that would be one possible way

1 that you could check that.

2 MR. CHARLES: Thank you. And my next
3 question is a more general one.

4 As a panel member sitting here trying to
5 figure out Environment Canada's position with regard to
6 the proposed project, and particularly the stabilization
7 and solidification component, or if it becomes the same
8 project, I guess what I take from what you have said that
9 you recognize it as a proven technology, but that you
10 have some concerns about certain aspects of it.

11 I guess my question would be, if you were
12 a permitting agency, would you withhold the permit, at
13 this point, or would you require further and better
14 information before you issued it?

15 In other words, are your concerns serious,
16 moderately serious, or sort of less than moderately
17 serious? Can you sort of give me a sense of how
18 concerned you are?

19 MS. DRAKE: I don't think I want to rate
20 them in terms of how serious, but I think I'll go back to
21 the statement we made when we were here a couple of weeks
22 ago, that the issues that we've identified in our review,
23 that we feel confident that they can be addressed as the
24 design process unfolds, providing that the proponent is
25 willing to work with us in terms of some of the

1 recommendations we've provided in our submission.

2 So it's something that we feel can be done
3 during the more detailed design. So I hope that maybe
4 answers your question.

5 MR. CHARLES: In a way it does, but, I
6 mean, you'll have to join a long line of people who are
7 waiting for the long final design to appear before we'll
8 know what's going to happen.

9 THE CHAIRPERSON: Now, we're almost at 12
10 o'clock. I actually have a question for the Tar Ponds
11 Agency related to this, and it's about costs of water
12 treatments.

13 SYDNEY TAR PONDS AGENCY

14 --- QUESTIONED BY THE JOINT REVIEW PANEL:

15 THE CHAIRPERSON: If you are able to
16 provide us with any indication of the possible range of
17 costs for the operation of a water treatment plant, and
18 -- the annual operation costs of a water treatment plant
19 that would continue to treat water collected on the Coke
20 Ovens Site and the collection system of the Tar Ponds
21 Site.

22 And this is, I think, of interest in terms
23 of long-term costs as to whether -- I presume that you
24 have -- within the \$400 million you've indicated, you
25 know, the amount set aside for maintenance, monitoring

1 and operation of the water treatment cost. I don't think
2 we have a breakdown yet, but is this a significant
3 liability or cost consideration, if, as seems entirely
4 possible, water treatment has to continue beyond the life
5 of the MOA funding?

6 MR. POTTER: I guess I'll answer in a
7 general sense, first. It wouldn't be a significant
8 portion of the overall costs, it would be relatively
9 small.

10 I will pass over to Mr. Shosky. I think
11 he needs to have a bit of a clarification on what exactly
12 you'd like to see in that breakdown costs.

13 THE CHAIRPERSON: I'm really only
14 interested in the operating costs that might be incurred
15 onwards past the ending of the -- after all of the MOA
16 funding is spent. And it's not the capital cost
17 particularly, it's the operating cost to continue
18 treating water from these two sites. Is that a large
19 amount, a small amount?

20 MR. SHOSKY: It's a relatively small
21 amount, and the way we undertook the estimating of those
22 water treatment costs over 25 years, we basically assumed
23 that each one of the plants would be replaced at least
24 once when we did our calculations, by the time you went
25 through and replaced pieces and parts of it, from that

1 perspective. And if that's what you're looking for, it's
2 kind of like an annual operating cost beyond 25 years, we
3 can give you a number which would include, then, also the
4 replacement of pieces and parts.

5 THE CHAIRPERSON: Yes, that would be
6 helpful. I'll take that as an undertaking. Thank
7 you.[u]

8 DR. LAPIERRE: I wonder if I may ask an
9 additional question, Mr. Potter, to your last answer.

10 MR. POTTER: Sure.

11 DR. LAPIERRE: I guess if, in treating the
12 water over time, you have -- and the question was
13 answered yesterday by Mr. Shosky, but I want to make sure
14 I understood correctly, is that if, in the process of
15 treatment, in testing your water, you do come up against
16 chemicals, nasties that you didn't anticipate, my answer
17 I got yesterday that there would be a series of filters
18 and membranes that you could put into the system to
19 ensure that that water could be treated, and those
20 elements could be removed.

21 Now, those do add costs to a treatment
22 system, membrane treatment's not cheap. I guess that's
23 the type of cost, if these need to be extended over time,
24 once the agency is gone somebody's going to have to pick
25 up that cost.

1 MR. POTTER: We have factored into the
2 overall project what we refer to as contingency funds.
3 We know there will be all kinds of unexpected events that
4 routinely come up in any kind of a project like this.

5 So we always have a bit of, you know,
6 excess funds available for the unexpected. There is a
7 bit of that built in for the overall project and, you
8 know, if something like that does happen, I don't think
9 -- the funding is not going to be a problem, I don't
10 think, on the longer term maintenance and operation of
11 the treatment plant.

12 If we do discover that something is
13 showing up, our first response is going to be to deal
14 with it, treat it, resolve that discharge problem. We
15 may have naturally tried to determine what would be
16 causing that problem. We may have to investigate is it
17 something on our site, or could it potentially be
18 something coming onto our site from some other source.
19 Again, that would be something we would follow up on.
20 But, you know, the operating costs, I think we're pretty
21 confident that, you know, the money allotted will not be
22 a problem.

23 DR. LAPIERRE: But couldn't those costs be
24 increased, depending on the regulatory discharge that's
25 imposed upon you? You're going to discharge, and you're

1 going to meet some regulations. Those regulations may
2 change with time, and depending on the regulatory
3 discharge rates that you get imposed on you, through
4 permitting, the costs could be reflected in those rates,
5 couldn't they?

6 MR. POTTER: Yes. Again, that's a factor
7 built into the MOA. If, you know, during the process of
8 regulatory requirements there's something that
9 significantly alters the cost of the project, we are able
10 to go back. If there was the need, if we thought "Okay,
11 this is going to push us beyond \$400 million", the MOA
12 does allow us to go back, if you wish, and get extra
13 money. The two partners would have to resolve who pays
14 what portion, but, you know, if there was any kind of a
15 regulatory requirement that pushes us above the expected
16 level that we're anticipating to spend on, say, water
17 treatment, we could go back and seek additional funding.

18 So that has been, I guess, built in.
19 We're certainly not going to treat the water because we
20 can't afford it, that's not going to happen.

21 DR. LAPIERRE: Okay. Thank you.

22 THE CHAIRPERSON: Well, I think that does
23 bring us to the end of our questions.

24 So again, thank you very much, Ms. Drake,
25 and your colleagues, for returning. Thank you for

1 taking, I believe it's, two undertakings to get back to
2 us with more information.

3 And we are now going to break. We will be
4 returning at 1:00 p.m. with a presentation by CBRM.

5 Thank you.

6 --- Upon recessing at 12:07 p.m.

7 --- Upon resuming at 1:03 p.m.

8 THE CHAIRPERSON: Good afternoon, ladies
9 and gentlemen. I would like to begin this afternoon's
10 session. This afternoon, we have one presenter, the Cape
11 Breton Regional Municipality. We will then take a break
12 and resume again this evening at 5:45, when we have two
13 presenters.

14 So I would like to welcome our presenters,
15 if they have themselves organized. We're very pleased to
16 have you here with us this afternoon and look forward to
17 hearing your presentation. I will -- obviously you will
18 be introducing your full team here when you begin.

19 As you know, you have 40 minutes for the
20 presentation. I will give you -- indicate when you are
21 five minutes away from the end of the 40 minutes, and
22 then we will have a chance for questions from the Panel
23 and from other participants. So we welcome you here and
24 are looking forward to hearing from you.

25 --- PRESENTATION BY CAPE BRETON REGIONAL MUNICIPALITY

1 (MR. VINCE HALL)

2 MR. HALL: Thank you, Madame Chair and
3 Panelists. My name is Vince Hall, and I welcome the
4 opportunity to be here today on behalf of the Cape Breton
5 Regional Municipality. I am joined today by our Mayor,
6 John Morgan, farthest to my right. Next to me, our
7 Director of Planning, Doug Foster. Next to Doug is
8 Malcolm Gillis, our Senior Planner. And to Malcolm's
9 right is our CAO, Mr. Jerry Ryan. And then on his right,
10 if I'm right, is our Economic Development Manager, John
11 Whalley.

12 After my statements, Mr. Gillis will be
13 providing a Power Point presentation on our behalf, and
14 we'll all be available to the Panel for any further
15 clarification or explanations based on the statements
16 that we're about to make.

17 In my capacity -- oh, we're also joined
18 today too by a number of members of the Cape Breton
19 Council. I've noted that Councillors Leahey and
20 Councillor Richard Fogerty are here. Both of those
21 Councillors have been actively involved with this file.
22 Councillor Charlie Long intends to be here. I don't know
23 if he made it here yet. He was running a little late.
24 As well as Councillor Jim MacLeod. Both Councillors Long
25 and Jim MacLeod are "City-based," quote, unquote,

1 Councillors here with the Municipality.

2 And I've received calls, notable calls,
3 from Deputy Mayor, Claire Dethridge, that wanted to
4 express her support for what we're trying to achieve here
5 today, as well as Councillor Darren Bruckschwaiger, who
6 is in the sister riding of myself. And you'll see the
7 relevance of that in a little bit.

8 So in my capacity -- in my capacity -- is
9 there a mike issue here, or is it me?

10 THE CHAIRPERSON: I can certainly hear
11 you, Councillor.

12 MR. HALL: Okay. Thank you. In my
13 capacity as a member of the Tar Ponds Community Liaison
14 Committee, I recently had the opportunity to accompany
15 fellow committee members, cleanup officials and
16 regulators on tours of some major environmental cleanup
17 sites in New Brunswick and certain cities in the United
18 States. Seattle, Washington, Tacoma, Washington, Fox
19 River in Wisconsin, and finally New Bedford in
20 Massachusetts were some of the notable places that we
21 visited.

22 With respect to the U.S. cities toured,
23 the key element municipal leaders were able to
24 contribute, to encourage the community to focus not on
25 endless discussion of the problem but on the potential

1 for redevelopment and future site use. We learned that
2 municipal leaders inspired residents of those communities
3 with a vision of what their community could be, not
4 endless recriminations about what had gone wrong in the
5 past.

6 From this very valuable tour, I came away
7 with a strong impression that the Sydney Tar Ponds has
8 been misrepresented as an unusual horrible cleanup
9 problem. We have a large cleanup site, no doubt about
10 it, but much larger, much more severely contaminated
11 sites have and continue to be successfully cleaned up.

12 Moreover, in communities where cleanup
13 projects generated fear and conflict, municipal
14 leadership played a key role in moving the project
15 forward, particularly municipal leadership aimed at
16 visionary ideas about future site use planning.

17 CBRM is well positioned to take up this
18 challenge. In my own participation on this file and all
19 municipal representation on this issue, we have a solid
20 record of pushing the other levels of government to move
21 this process along and get the cleanup under way in a
22 manner consistent with the first objective identified in
23 the Environmental Impact Statement.

24 An economic analysis of the Environmental
25 Impact Statement prepared by CBRM's Economic Development

1 Manager, John Whalley, found that there are deficiencies
2 in terms of the current cleanup proposal meeting the
3 second objective, which is to enhance the development
4 potential and investment climate in CBRM and to provide
5 social benefits for CBRM as a whole.

6 As is explained in the presentation to be
7 made by Mr. Gillis, the CBRM believes that future land
8 use for the contaminated sites is of fundamental
9 importance to the future sustainability of this region.
10 This is why we have supported the concept of a, quote,
11 "port-to-port study."

12 The corridor that would connect the
13 principal port assets in Sydney Harbour with the Sydney
14 Airport is of great importance because it represents the
15 intersection of all four modes of transportation within
16 CBRM.

17 Moreover, the development of such a
18 corridor offers tremendous opportunity to enhance the
19 transportation linkages between some of CBRM's largest
20 community, notably Glace Bay, Sydney and all the
21 surrounding communities around that.

22 My role as Councillor's Representative
23 throughout the cleanup planning process has been to
24 encourage the other levels of government to move the
25 cleanup forward in a safe, effective and timely manner.

1 I don't need to tell you that time lines
2 has been a challenge, and in fact, time lines have been
3 suggested for the work of this Panel.

4 There always seems to be those who find
5 more value in complaining about a cleanup that doesn't
6 happen than those who find -- than in forging practical
7 solutions to make it happen. That has not been my
8 approach. I've worked collaboratively with the other two
9 levels of government with the single-minded goal of
10 getting on with the job.

11 You may therefore find some irony in the
12 fact that the chosen solution of the two other levels of
13 government involves the installation and operation of a
14 hazardous waste incinerator in my riding. Naturally some
15 of my constituents are less than pleased with this
16 proposal. In fact, there's no constituent acceptability.

17 And you've all been introduced to two
18 members of a citizens' committee from the local Grand
19 Lake Road community, which is chaired by Mr. Ron Marman,
20 and he is being co-chaired, if you will, by a Mr. Henry
21 Lelandais, and I understand they've made a representation
22 to you. And Mr. Marman is here today, and I understand
23 that Henry Lelandais is to follow.

24 In terms of my perspective, the easy thing
25 for me to have done and do would be to condemn the

1 proposal of the other two levels of government. However,
2 having followed and indeed participated in the search for
3 a cleanup solution for nine years, I have some
4 appreciation for how the other two levels of government
5 had arrived at the solution they proposed.

6 Most residents who have participated in
7 the JAG consultations favoured solutions that involved
8 digging up and destroying the materials over solutions
9 that involved treating and containing the materials in
10 place.

11 Technical evaluations made it clear that
12 of the available destruction technologies, only
13 incineration or a co-burning, which is essentially
14 another form of incineration, are practical on the scale
15 required for more than a million tonnes of the material.

16 However, the experience with the Domtar
17 tank has shown unequivocally that no other community will
18 accept material from Sydney. Governments, the media and
19 environmental groups have done an effective job of
20 misrepresenting Sydney as having environmental problems
21 of unprecedented scale and severity. Removal and
22 destruction initially favoured by Cape Breton Region
23 residents turns to meaning burning the material in or
24 near Sydney.

25 The residents have had two years to ponder

1 that solution, and the clear evidence is that no amount
2 of technical and scientific reassurance will make them
3 comfortable with incineration of the Tar Ponds waste in
4 this community.

5 The current plan to dig up and destroy the
6 PCB materials, a total of about 125,000 tonnes, and
7 stabilize and solidify the rest. The alternative
8 sections of the EIS asks the question, "What if, instead
9 of excavating and incinerating, we use stabilization and
10 solidification on the entire Tar Ponds?"

11 I respectfully suggest the answer to that
12 is it would be technically and economically effective as
13 well as politically and socially acceptable.

14 In other words, we can keep the cleanup
15 plan, but drop the incineration component.

16 Two years ago, the public might not have
17 accepted a solution that treated the material in place,
18 but after two years of contemplating a hazardous waste
19 incinerator in our midst, I believe most residents of
20 CBRM, and certainly the residents I represent, would
21 greatly prefer the alternative of treating and containing
22 all Tar Ponds materials in place.

23 CBRM Council, on January 24th, 2006, held
24 extensive discussion of both the project proposal and the
25 Environmental Impact Statement that has been prepared by

1 the Sydney Tar Ponds Agency. We passed a motion in that
2 meeting that reads as follows:

3 "CBRM go on record as being opposed
4 to the incineration of materials
5 containing polychlorinated byphenyls
6 (PCBs) within the Municipality. CBRM
7 respond in writing to the Panel
8 advising them that we are opposed to
9 incineration as a component of this
10 remediation project and that CBRM
11 seek the assurance that alternative
12 option, stabilization/solidification
13 of all contaminated materials, is a
14 technically effective and safe method
15 to remediate both sites.

16 Furthermore, the Panel redirect the
17 funding presently earmarked for the
18 incinerator component of this project
19 to a future site use plan consistent
20 with CBRM's regional strategy for
21 port lands of which both the Tar Pond
22 and Coke Oven sites are components."

23 That's the end of that motion. Therefore,
24 it is CBRM Council's position that the money saved by
25 removing incineration from the final cleanup solution be

1 redirected by this Panel to a future site use plan
2 consistent with our regional strategy for port lands.

3 I learned of this reallocation of funds
4 model from cleanup experts in the United States. In the
5 City of Tacoma, monies saved during the remediation
6 process were redirected from the U.S. Superfunds towards
7 the implementation of the long-term economic development
8 initiatives.

9 The Tacoma model inspired me because it
10 provided a tremendous example of all levels of government
11 and community partners working together, not only to
12 safely and effectively remediate contaminated properties,
13 but to do so in a manner that created a real showcase
14 site that has become a great and lasting legacy for that
15 community.

16 So if I can ask Malcolm to bring up a
17 couple of slides there that shows the Thea Foss Waterway
18 in the United States. This is in Tacoma, Washington, and
19 myself and Councillor Charlie Long from CBRM, we were
20 afforded the opportunity of visiting this firsthand.

21 And this area, Panel and Chair, this was a
22 rundown area, contaminated site in this city. It was a
23 complete disaster zone based on the photos that we've
24 seen, and what happened was all players got together and
25 they decided, "Look, we have a problem here. Let's solve

1 the problem, let's clean up the site, and let's have a
2 long-lasting economic/social benefit for this city.

3 The end product is this, as well as the
4 next slide. As you see, you know, there's brand new
5 development all along this waterfront. It was completely
6 done over. There's a glass museum there to your left.
7 That's residential condo development farther down. And
8 it goes down farther and farther and farther.

9 And this is something of interest to CBRM
10 of late. This project also was able to protect the view
11 plains of the harbour, and they've come up with some
12 pretty interesting and proactive ways of doing that.

13 So I have another slide here where I did a
14 matrix. And this is just my own -- my own little thought
15 on what I see we have before us. In this matrix, I've
16 shown you the current plan with incineration. We know
17 the costs are high. We know it's technically feasible.
18 We know it's environmentally sound. We know, perhaps
19 most of all, that public acceptability is low, if not
20 close to nil.

21 Then what we're suggesting is if you look
22 at the alternative plan, minus incineration, we recognize
23 that the cost of that would be medium, it's technically
24 feasible, it's environmentally sound, and public
25 acceptability of that at this point is medium and growing

1 at a daily rate.

2 So in conclusion, CBRM's perspective is
3 that, first and foremost, the Sydney Tar Ponds and Coke
4 Oven site need to be safely and effectively remediated.
5 If, however, we are to learn from the successful model
6 used in Tacoma in our quest to achieve a great and
7 lasting legacy for our region, we believe the Panel must
8 place considerable emphasis in its recommendations on
9 future site use that it is consistent with a vibrant and
10 progressive sustainable community.

11 And I thank you for the opportunity to
12 present my part, and now I'll turn it over to Mr. Gillis,
13 who is our Senior Planner, and he'll do his component.
14 Thank you.

15 MR. GILLIS: Thank you, Councillor Hall.
16 I'll just dive right into the fray of the presentation.
17 It's a rather lengthy Power Point presentation, and I
18 appreciate that our time is limited.

19 The focus of the presentation is what
20 we're going to do with the sites once the rehabilitation
21 is cleaned up. This is less about how to clean it up and
22 more about what happens after it is cleaned up, but also,
23 very importantly, recognizing that the chosen objective
24 for future use really is the prime influence on how the
25 level of cleanup should take place.

1 We just want to point out as an
2 introductory statement that the CBRM is not just another
3 onlooker here. If and when the site is cleaned up, the
4 Municipality is the primary authority with regards to
5 regulating land use, and that's an authority that's given
6 to us by the Province through the enabling legislation,
7 the Municipal Government Act.

8 And the most important document that a
9 Municipality could adopt to carry out that legislative
10 authority is the Municipal Planning Strategy, and the
11 Municipality has a Municipal Planning Strategy. It's not
12 something -- it's not a document that's collecting dust
13 in the clerk's office that's antiquated and several years
14 old. It's a very recent document, and we've just
15 recently gone through a winter review even though it was
16 only adopted by Council less than two years ago.

17 And it's, in effect, throughout the entire
18 geography of the CBRM. But although we have a vast
19 geography and one Planning Strategy, in effect, we do
20 have a section of a part, Part 3, that's devoted
21 exclusively to this corridor, the corridor from the SYSCO
22 and Emera piers, through the former SYSCO site, including
23 the Coke Ovens, the landfill, and basically following the
24 route of the SPAR, the Sydney Port Access Road, to
25 Highway 125.

1 Exclusive plan policies, you have copies
2 of the Planning Strategy that have been submitted by the
3 CBRM. They'll be easy to find.

4 Why did we draft the Planning Strategy?
5 Well, obviously we're a regional municipality, and that's
6 a luxury -- that's one luxury this relatively poor
7 municipality has is that we have entire jurisdiction over
8 our geography as opposed to the former eight
9 municipalities, but we didn't begin the -- once the
10 Municipality came into being, back approximately 11 years
11 ago.

12 It wasn't until about a half a dozen years
13 into the inception of the planning of the CBRM that we
14 got involved in this.

15 And really, it came as the realization
16 that we were at a pivotal period in our economic history.

17 The economic base of the region for so
18 long was stoked by two primary industries, the steel
19 plant and, of course, the supporting coal mining
20 industry.

21 Both finally ended -- their demise
22 occurred within actually, practically, about a year from
23 each other, and that also culminated in what we believe
24 to be the worst period of demographic decline in the CBRM
25 -- in CBRM's history.

1 And when we talk about demographic decline
2 in the CBRM, we know what we're talking about, because
3 it's been occurring for the last two generations.

4 The chart that's here before you now shows
5 going back to before the steel plant was originally
6 constructed two -- back in the 1890s.

7 If the number -- if the population
8 statistics are in black, it means it was an increase from
9 the previous census. When they're in red, it means
10 suddenly it's a decrease.

11 The clear trend that the colour code of
12 the number system here shows, that somewhere in the '60s,
13 the population here started to decline, and it continued
14 to decline consistently throughout the CBRM.

15 The column on the far right is the total
16 population throughout the CBRM through the last century,
17 and now it represents approximately a 17 percent decline
18 from its peak back 40 years ago.

19 But what's really scary for us is that
20 although since the population peaked in 1961, and it's
21 been declining at a rate of 0.5 percent every year,
22 during the last intercensal period, that's '96 to 2001 --
23 Census Day was yesterday, so we're looking forward to
24 those statistics. But the last period we have, 1996 to
25 2001, the decline per year has been over three times the

1 average of the last 40 years.

2 So we're not looking at this in a
3 complacent way and saying, "Gee, well, after 40 years of
4 decline, you know, things have to -- I guess they're
5 going to start bottoming out eventually."

6 All the indicators, the current, the
7 contemporary indicators, are saying, "No, things are
8 speeding up. This decline is occurring at a more rapid
9 pace than it has."

10 It's the largest drop in absolute numbers
11 in the Province of Nova Scotia, and the Province of Nova
12 Scotia in total's population declined, yet Halifax
13 Regional Municipality increased significantly.

14 So we're talking about the largest
15 absolute number in decline in a province where,
16 throughout most of the geography of the province, there
17 was a decline.

18 Again, to put it in perspective of a
19 population decline throughout the whole country, there
20 may be other communities where there has been a greater
21 rate of decline, but no community with anywhere near as
22 large a population as the CBRM experienced this rate of
23 decline.

24 No. 2 is Timmins. It's -- it lost less
25 than half the people that we did in the last five years.

1 So, we're really talking about -- what's
2 No. 2, is a distant second.

3 So this is not only a provincial issue,
4 it's also in comparison across the country. It's a scary
5 issue.

6 We hired a professional in demographics,
7 and they prepared a report for us.

8 This next line, I'm going to ask Doug
9 Foster to just explain just what the demographic
10 forecaster had told the CBRM.

11 --- PRESENTATION BY CAPE BRETON REGIONAL MUNICIPALITY

12 (MR. DOUG FOSTER)

13 MR. FOSTER: Thank you.

14 I thought I'd just mention that the
15 population forecast was prepared by Terrain Group at our
16 request, John Heseltine, who was with them at that time.

17 And it's a forecast that we needed, of
18 course, to -- we -- to base our regional plan on.

19 And I think it explains a lot of the
20 context of why our policies in the plan are framed as
21 they are.

22 First of all, I think the -- this is just
23 an excerpt. We've left a copy of the entire report in
24 digital form with your technical person here, so -- this
25 is one slide from it, but I think it points out the major

1 conclusion, and that is, of these three age cohorts, the
2 youngest being at the bottom, the forecast out to 2021 is
3 for the most significant declines in that youngest age
4 group.

5 The next greatest decline is in that
6 working age group, the second yellowish coloured layer,
7 again, declining, while at the top of the graph, you see
8 the white area, and that's the only cohort of our
9 population that's forecast to increase significantly.

10 Net, the forecast indicates further
11 decline.

12 It is based on an assumption, of course,
13 and that is that within any given age cohort, that the
14 rate of net migration will continue at the rate that it
15 was between '96 and 2001.

16 And, of course, we'll get some indication
17 of that when we get the results of yesterday's census.

18 I would make one comment. Although
19 forecasts are just that, it may be high or low by some
20 amount. There's no indication that this forecast is
21 fundamentally off.

22 Some of the factors influencing it are
23 quite compelling, and we don't think it's going to be
24 dramatically -- it's certainly not -- this population
25 decline is certainly not turned around, in any case.

1 And with that, I'll turn it back to
2 Malcolm.

3 --- PRESENTATION BY CAPE BRETON REGIONAL MUNICIPALITY
4 (MR. MALCOLM GILLIS)

5 MR. GILLIS: Thanks, Doug.

6 Considering it's such a small percentage
7 of the geography, why did the Municipality focus on this
8 corridor? I mean, you know, it's a century of
9 industrial -- the drive is to clean up, and it's often
10 described, as Councillor Hall complained, as one of
11 Canada's worst contaminated sites.

12 So, with the myriad issues that we have
13 throughout the CBRM, why did we focus on this particular
14 corridor?

15 Well, we believe a cleanup of this
16 magnitude is not just about rehabilitating the
17 environment.

18 It's also -- the best successful
19 brownfield cleanup sites really have developed a vibrant
20 new land use at the rehabilitative site, just as the
21 Councillor had pointed out.

22 And we've also got a situation here where
23 the government owns the site. Government was the
24 regulator. Government is responsible for the cleanup.

25 And because of this national spotlight, we

1 at the CBRM believe -- we hope that it can become a
2 showcase redevelopment.

3 When we looked at it, we didn't just
4 state, "Well, we have some ideas what we wanted to do."
5 It was really a process of elimination.

6 We looked at -- this is -- the planning
7 strategy is essentially a land use plan.

8 We focused on the variety of land uses
9 that could be contemplated for the use of this corridor,
10 and we basically went through a process of elimination.

11 We first looked at, "Well, could it be
12 residential?"

13 The potential of the Coke Ovens site and
14 the Tar Ponds for residential development is minimal,
15 because we pretty much have a stagnant housing market.
16 We have less than one third capacity of peak years
17 throughout the CBRM.

18 What that means is that the number of
19 building permits we're issuing for new residential
20 development is approximately one-third of what it was in
21 the late '80s.

22 Most municipalities would look and say,
23 "Gee, if it's dropped by 10 or 15 percent, that's
24 something. That's reason for alarm."

25 We're talking about the floor caving in

1 here. It's gone from -- for every 100 permits we issued
2 a generation ago, we're only issuing approximately 30 to
3 35.

4 Sydney -- and of that diminished
5 percentage, Sydney is only generating about 5 percent of
6 the new residential housing construction.

7 But, we want to point out that it's not
8 because there's a lack of available serviced land.

9 This is just a chart that illustrates what
10 I've been telling you.

11 As you can see, the peak years of -- 448
12 was the highest year, 1989 for new single detached
13 dwelling permits issued down to -- we bottomed out the
14 year the steel plant closed to 123.

15 We've gone up a little bit, but we're
16 still way below those peak years.

17 But the point that we'd want to make, and
18 with the limited amount of time -- maybe later on when
19 there's a question and answer period, I could use our GIS
20 to show the -- that there is land available in the
21 greater Sydney area, and it's land that's serviced land.

22 There literally is hundreds of building
23 lots that are serviced, sewer and water, all urban
24 service, in the surrounding neighbourhoods, and even I
25 can show where, in our more exclusive neighbourhoods,

1 development is rather sluggish at best -- new residential
2 development.

3 So, why develop -- why design or plan an
4 approximately 880 acre corridor for residential
5 development? That's more land than we'll need for
6 hundreds of years, at the rate we're going.

7 Is it agricultural? CBRM has an abundance
8 of under-utilized lands suitable for agriculture, and
9 there is no discernable pressure from suburban sprawl
10 into these favourable agricultural lands.

11 Well, obviously, if development is down to
12 one-third, there's not a lot happening out in suburbia.

13 And this map illustrates the Canada Land
14 inventory Class 2 and 3 soils that are suitable for
15 agricultural development.

16 Of the seven soil classifications, there
17 is no Class 1 soils anywhere in the Province of Nova
18 Scotia. So, even in the best agricultural lands, we
19 don't have them.

20 The best we have in Nova Scotia are Class
21 2. The Class 2 soils are highlighted in yellow on this
22 map.

23 The next are Class 3. They're highlighted
24 in green.

25 What it shows us is that, surprisingly,

1 about a quarter of our landscape is either Class 2 or
2 Class 3 soils. And also, as well, there's a significant
3 concentration of those Class 2 and 3 soils in the greater
4 Sydney area.

5 So, there's really -- there's not a logic
6 to suggest that a brownfield -- former brownfield site be
7 converted for agricultural uses, especially within an
8 urban area.

9 Is it recreational? CBRM's recreational
10 objectives have changed because of these change in
11 demographics. As Doug has pointed out, there's less of
12 us, and we're older.

13 A paucity of funds to dedicate towards
14 maintenance of recreational facilities.

15 As a comparison, if you take our municipal
16 budget divided by our population, get a per capita amount
17 of money we have to spend, compare it to our sister
18 regional municipality, Halifax, and we're basically, in
19 comparison, for every dollar that Halifax has to spend
20 providing the same services, we've got less than sixty
21 cents (\$0.60).

22 So, we -- and recreation is obviously
23 going to suffer if we have to -- if we only have sixty
24 cent (\$0.60) dollars to spend on the other hard services
25 that we are legally obliged to provide to our

1 constituents.

2 Consequently, the CBRM must be very
3 focused in its recreational land use objectives, that
4 does not include vast tracks of urban recreational space
5 that's expensive to maintain.

6 You know, we'd need an endowment for
7 generations if we were to -- if this was to be handed
8 over in a pristine recreational parkland setting.

9 And it's really -- what we've looked at
10 are the key elements for Sydney, which one of the key
11 elements for all four urban concentrations, and that's
12 the harbour, that's the brooks flowing to the harbour,
13 and its surrounding hinterland.

14 We looked at the idea of active
15 recreational facilities.

16 There are essentially the same, many,
17 active recreational facilities in Sydney as there were a
18 generation ago. And since that 20 year period, the
19 population of the greater Sydney area has declined by
20 almost 20 percent.

21 And the other point that I want to make is
22 just that this decline hasn't happened, as Doug has
23 pointed out, evenly throughout the demographic segments.

24 The group that's most likely to use active
25 recreational facilities is the one that's declining the

1 most rapidly. It's -- at a 34.5 percent.

2 And the other thing, it's not a bullet
3 here, but I think it's important to mention, that that
4 age group now has a much more diverse range of
5 recreational interests than previous generations.

6 And so, the idea of the arena and the cost
7 of the maintenance of it and the ball fields, we find it
8 difficult to fill the ones that are there now.

9 So, we're really not looking for an
10 endowment of additional active recreational facilities.

11 A large urban recreational space. CBRM
12 doesn't have the resources, again, to adequately maintain
13 a large scale urban recreational park.

14 Rotary Park. I ask you to have a look at
15 that sometime in your stay here in Cape Breton, and
16 you'll get a sense of the lack of funds we have already
17 available.

18 But I think it's also important to make
19 out is that, you know, Cape Breton Island's landscape.

20 We're in the top ten of so many
21 international publications that deal with tourism and
22 recreation.

23 What's important for us is that we get our
24 constituents out in what's already a beautiful landscape.
25 And we believe that it's a poor investment of public

1 money for recreational purpose is to turn an urban
2 brownfield site into a recreational area.

3 The government should be -- if it's going
4 to invest in recreation in the CBRM, complement our world
5 class recreational and tourism facilities that you'll
6 find throughout the Island.

7 Our land use plan for Sydney is one that
8 provides accessibility and interconnectivity to our
9 harbour.

10 Sydney is a port town. It's important
11 that people get to the downtown, and get to its
12 boardwalk.

13 I walked out of the office a couple of
14 nights ago, the first really warm evening. The boardwalk
15 was teeming with people.

16 It's important that the community has the
17 link with its waterfront, and what we're advocating is,
18 is that a plan that links the harbour with the
19 residential neighbourhoods and with a trail system
20 through those residential neighbourhoods that will get
21 them out into the hinterland of Sydney, which is the real
22 Cape Breton that people should go out to enjoy.

23 So, how can a remediated steel plant site
24 facilitate this objective, our objective? That's by
25 providing a pedestrian and bicycle corridor linking the

1 neighbourhood Whitney Pier with downtown. The
2 neighbourhood of Whitney Pier, which for a century, has
3 been isolated from the rest of the community that it's
4 been in because of the industrial complex.

5 What we're looking for is a link -- a
6 pedestrian, bicycle link with Whitney Pier, with the rest
7 of Sydney, with the downtown and with the waterfront, it
8 provides a focused goal with a minimum amount of
9 maintenance and a small percentage of the remediated
10 lands. And just to -- there is one thing I'd like to
11 show, just on our GIS. And again, if you see on this
12 map, this is of the greater Sydney area. It's an
13 orthophoto image. The lines in red, it's not a case of
14 the cartographer having a case of Parkinson's Disease.

15 This is following the meandering of the
16 brooks through the residential neighbourhood that clearly
17 lead to right here, which is the Tar Ponds which is
18 really the mouth of Muggah Creek and this peninsula area
19 here is downtown Sydney and this is all part of a greater
20 plan for, not only the Sydney area, a recreational plan
21 but also the other four urban concentrations have the --
22 it's of a plan throughout the regional municipality and
23 the idea is to link the harbour with the neighbourhoods
24 with the surrounding hinterland.

25 Is it commercial? CBRM doesn't need

1 another commercial area to compete with the existing
2 business district. We've got a declining population,
3 meagre per capita spending power in comparison to other
4 more vibrant economic regions and increased mobility
5 within the region has resulted in shrinking central
6 business districts. We believe the redevelopment of the
7 former steel plant site should complement efforts to
8 revitalize downtown Sydney.

9 This map takes all of land use
10 information, divides it, colour codes it, what is
11 residential is yellow, what is commercial sales and
12 service is red. And what this map clearly shows is that
13 there is a pattern of red which is downtown Sydney
14 stretching along the main corridor of Prince. Well --
15 leading out to here which is the Mayflower Mall and the
16 latest new developments in the vicinity of the Mayflower
17 Mall. It'll just take a second here to bring that up.

18 The three box stores that are -- that
19 basically happened as a result of the Sydney Port Access
20 Road bringing accessibility to lands that have previously
21 had been landlocked yet very close to a very prominent --
22 not very prominent -- the most significant intersection
23 in our regional transportation system and that's Highway
24 125 and the Sydney Glace Bay Highway. So do we need a
25 former brownfield site for commercial purposes? Our

1 argument is that no, we don't.

2 We looked at the idea of industrial and
3 transportation issues. And we've considered that the
4 attributes that make a site favoured for a business
5 industrial park in a region include access to a navigable
6 and sheltered harbour. This has got it in spades. The
7 industrialists from Britain and the United States that
8 choose to build a steel plant here 110 years ago
9 appreciated that and that simply hasn't changed. And we
10 have -- now what we have is wharf and docking and pier
11 facilities with a capacity to accommodate significant
12 industrial activity.

13 Really it's the best infrastructure in the
14 region is at the former SYSCO site. Expansive laydown
15 area as I've stated earlier, we've got nearly 900 acres
16 of land from the pier facilities up to our capped
17 landfill site. And the change in elevation is no more
18 than a few metres so we're basically talking about a flat
19 homogeneous plane with very little development on it
20 because what used to be there has been dismantled. We
21 have rail access again, the largest concentration of
22 shunting yards are both at the SYSCO site and in
23 proximity of the site anywhere on Cape Breton Island.

24 So we have rail access and access to the
25 province's controlled access highway system, that was

1 initially an achilles heel until the Sydney Port access
2 road was constructed. That was something that this
3 proposed business industrial park lacked. That piece of
4 the puzzle has been solved. We have a beautiful highway
5 that links us to Highway 125. Highway 125 is the spine
6 of our regional transportation network and it's our link
7 with the Trans-Canada Highway that takes you to the rest
8 of the world. And so now you have practically no stop
9 from the harbourside business park to the Trans-Canada
10 Highway.

11 THE CHAIRPERSON: Mr. Gillis, sorry to
12 interrupt you, five more minutes.

13 MR. GILLIS: Oh, wow. Okay. I'll just
14 quickly go through the other slides. Well, what we --
15 we're concerned about is just that this planning strategy
16 is a working document. We have -- we're already taking
17 next steps. The neighbourhood plan for Sydney's
18 northend. Last night Mayor Morgan and council adopted a
19 secondary planning strategy for the -- one of the three
20 neighbourhoods adjacent this site.

21 And the reason we did that is that not
22 only is there a great concentration of historical
23 buildings but not only is it a downtown residential
24 neighbourhood with very low volumes of traffic but not
25 only is it adjacent to the recreational waterfront, but

1 most importantly the community and the neighbourhood
2 believes in its future because of the Federal/Provincial
3 Government's commitment to clean up the former steel
4 plant site which it hugged up against for a whole
5 century.

6 Another objective of the plan that we're
7 looking into is the idea as Councillor Hall pointed out,
8 the seaport to airport corridor concept that link of the
9 four modes of transportation and essential regional
10 assets and a commuter link that links the two largest
11 urban communities on Cape Breton Island. A map
12 illustrating the corridor here showing the pier
13 facilities and the airport, rail facilities, our
14 controlled access highways and our future plan map
15 illustrating our plans for that, it's -- what we're
16 trying to say here is just that a planning strategy is
17 not just a document that leads to maps that go on the
18 wall in our development officers office.

19 It's much more than that. As far as that
20 corridor is concerned, we've now developed the terms of
21 reference that we're working with, a committee and --
22 that is comprised of all levels of government, our
23 Chamber of Commerce, the College -- Cape Breton
24 University. But what we strongly believe is that
25 strategic government incentives are needed to for

1 successful brownfield redevelopment. It's not enough to
2 draw lines on a map and have council adopt the plan.

3 What we need is a commitment from the
4 other levels of government to reach the kind of
5 objectives that the regional municipality which is the
6 one level of government that provides the most local and
7 direct service to this region and the region that the --
8 that it's in context with and I thank you very much.

9 MR. HALL: Madam Chair, you'll recall at
10 the outset I mentioned Councillors Long and MacLeod were
11 running late. They're now here as well as Councillor
12 Marshall, so we have Long, MacLeod, Lahey, Fogerty and
13 Marshall that are here. And with your indulgence Mayor
14 Morgan would like to make some comments, too. Thank you.

15 THE CHAIRPERSON: You basically have --
16 well, two minutes. Is that all right, Mayor Morgan.

17 MAYOR MORGAN: Thank you, Madam Chair. I
18 had actually prepared some -- is it possible for me to
19 sign up to make another presentation at a later time so
20 that I don't interrupt the flow of proceedings. Is that
21 something that's possible?

22 THE CHAIRPERSON: How much time do you
23 require now?

24 MAYOR MORGAN: Pardon me?

25 THE CHAIRPERSON: How much time would you

1 require now?

2 MAYOR MORGAN: Approximately five minutes.
3 That would be it.

4 THE CHAIRPERSON: I think the most
5 efficient thing -- I -- let me give you five minutes,
6 maximum please.

7 --- PRESENTATION BY CAPE BRETON REGIONAL MUNICIPALITY
8 (MAYOR JOHN MORGAN):

9 MAYOR MORGAN: Thank you. That's fine,
10 thank you. Oh, first of all, my name is -- as I've been
11 introduced, Mayor John Morgan and I'm not going to get
12 into a lot of the technicalities of the cleanup. I've
13 read some of the transcripts of the Panel and some of the
14 other presenters and I know you've got a lot of technical
15 information before you that I certainly couldn't
16 effectively analyze. But I do want to say I agree with
17 the comments with respect to future site use and I think
18 that reflects the view of the council as well.

19 One thing that I guess I wanted to
20 emphasize to the Panel is that what is being presented to
21 the community by the Province and Federal Government in
22 the funding sense is really a take it or leave it
23 proposition and that's significant in the sense that
24 there -- I think there's been evidence that there may be
25 other more effective ways to clean up the site and that's

1 something I'll comment in a few moments as well.

2 But really the Province has made it clear
3 and the Federal Government has made it clear that it is
4 take it or leave it that if we exceed the four hundred
5 million dollar (\$400,000,000) envelope that, in fact,
6 they may not clean up the site even if there is a more
7 effective or safer mechanism of cleaning up the site and
8 even if there's another mechanism preferred by the
9 community so the relevant question before us is not
10 whether or not -- I'd suggest the relevant question is
11 not whether or not this is the best mechanism.

12 Really the relevant question is is this
13 better than nothing at all because that is what the
14 proposal -- what the alternative is being put to the
15 community. If some other alternative is selected that
16 goes beyond the four hundred million dollar
17 (\$400,000,000) envelope we may, in fact, get nothing at
18 all.

19 So the question that I -- I think that we
20 do have to pose is is the proposal of the Province or the
21 alternative proposal with respect to encapsulation, is it
22 better than nothing. It's not a question of is it better
23 than some other model. And I would suggest that the
24 answer to that question of is it better than nothing at
25 all is yes, if incineration option is abandoned because

1 at least with the encapsulation model the stabilization
2 solidification model that you have a temporary -- you
3 have a process that temporarily at least stabilizes the
4 materials or most of the materials until future
5 generations can develop the political will to in fact,
6 correct the damage that has been done to the site.

7 If incineration is part of the cleanup my
8 answer to the question is that it is not better than
9 nothing because of the risk associated with incineration
10 and most of my comments I want to focus on the issue of
11 risk. As I said, I don't think I can match the Panel in
12 terms of expertise but I reviewed some of the transcripts
13 and technical information regarding the risk itself. And
14 I would suggest that the Panel analyze the risk of
15 incineration really in a three -- there's really three
16 levels of analysis.

17 The one is the level of risk itself. And
18 you may look at the measures adopted by Sydney Tar Ponds
19 Agency and their proposal and conclude that the
20 preventative measures are effective in minimizing the
21 risks and there may be low risk of catastrophic failure
22 of the incinerator and/or a low risk of a catastrophic
23 failure in the extraction and transportation of the
24 mechanisms to the incineration facility. But I suggest
25 that even if you do conclude that there's a low risk

1 there has to be another element of the analysis and that
2 is what are the consequences, what are the gravity of the
3 consequences of an unlikely event occurring.

4 And what I would suggest is that even if
5 the event -- and I'm talking about a catastrophic failure
6 such as bypassing -- an event, bypassing safety
7 mechanisms, an explosion we might think of, even if you
8 decided that that risk is unlikely it may be decided not
9 to take that course of action because the consequences of
10 the admittedly unlikely event would be very serious or
11 catastrophic.

12 My view is that the example in Swan Hills,
13 Alberta demonstrates this issue. In Swan Hills, Alberta
14 restrictions exist in a 30 kilometre radius of the
15 facility, preventing hunting and fishing in area which
16 has in that area few people living there. To the experts
17 which thought that -- who analyzed that facility, the
18 likelihood of a catastrophic event was indeed very low.
19 The benefit in that facility was, it was a very low
20 populated area. If the same thing happens in CBRM more
21 than 80 percent of the populated area of this region will
22 be impacted at their current residence, where they live
23 currently in CBRM.

24 If you had the same radial exclusion area
25 for hunting and fishing as a result of a catastrophic

1 event. The consequences of the failure would devastate
2 the community for an indefinite period of time. We would
3 be devastated economically from a tourist perspective.
4 We would trigger an even faster out migration from the
5 region and realistically we could never repair the
6 environmental damage that would have occurred. And I
7 would suggest as well, there's a third part of the
8 analysis that you have to go through as well and that is
9 that if other -- there may be other circumstances that
10 might cause you to incur that risk of that unlikely
11 catastrophic event.

12 But what I would say in this case is even
13 if the incinerator is indeed fired up, we know there will
14 remain significant quantities of PCBs and PAHs and other
15 materials at the site. We will have an encapsulated site
16 in the same way as if the community had never exposed
17 itself to the risk of incineration in the first place.
18 There will still be the same PCBs and PAHs there and on
19 adjacent sites controlled by the Provincial Government.

20 I want to just finally in closing comment
21 on the sort of the larger question, the Province and
22 Federal Government represented to our community
23 throughout six years of the JAG process that the
24 communities will -- would be respected. They circulated
25 mail and brochures and posters and I even have a drinking

1 mug in my office with the slogan "Our future, your
2 choice." They didn't say it was going to be John Hamm's
3 choice or Parker Donham or Frank Potter's choice. They
4 said it was going to be our choice.

5 At the conclusion of the JAG process the
6 community chose options that look nothing like what is
7 before you. They ask that all the toxins on the site be
8 cleaned up. And that the most modern methods be used to
9 eliminate the most dangerous of the materials. The
10 Province and the Federal Government have chosen to ignore
11 those requests of the community. The pointless
12 consultation over years which were ultimately ignored are
13 the reason the community says just get on with it.

14 It's not because the community doesn't
15 care but because they've been disempowered by endless
16 consultation where officials had no intention of
17 implementing the results of a consultation. Sadly the
18 Province now comes before this body to ask you to honour
19 the consequences of their own malfeasance. They say the
20 people don't care how it's cleaned up. Well, maybe not
21 any more after the Province misled the community into
22 thinking it cared what they thought.

23 Nevertheless, the -- before -- give us --
24 sorry, nevertheless, they give us a take it or leave it
25 situation, notwithstanding all of my previous comments.

1 If there are, in fact, any modifications which cause the
2 project to go over four hundred million dollars
3 (\$400,000) they may, in fact, not proceed. It is, as I
4 say a take it or leave it in which the Province has
5 selected the cheapest possible solution. With those
6 constraints in mind I would say the proposal to
7 encapsulate although defective in the long term I would
8 suggest, at least avoids further damage to the community
9 that may result from incineration and in the short and
10 medium term it will give -- it will stabilize some of the
11 materials and give future generations an opportunity to
12 properly remediate the site. Those are my comments.
13 Thank you, Madam Chair.

14 THE CHAIRPERSON: Thank you very much, Mr.
15 Morgan, Councillor Hall, Mr. Foster, Mr. Gillis, for your
16 presentation, and we -- certainly the Panel acknowledges
17 the presence of other elected representatives here this
18 afternoon. We're very pleased you came. You've
19 addressed issues that we have been talking about here and
20 answered some questions for me certainly.

21 As you -- you've addressed a broad range
22 of issues and you've made a number of -- stated a number
23 of positions, and I'm sure you understand that some of
24 the things you were talking about really lie well outside
25 the mandate of the Panel, but anyway -- so we'll be

1 focusing our questions on issues that are within our
2 mandate.

3 --- QUESTIONED BY THE JOINT REVIEW PANEL

4 THE CHAIRPERSON: We had a fair bit of
5 discussion right at the beginning with the Tar Ponds
6 Agency with respect to the accomplishment of the second
7 objective stated in the Environmental Impact Statement,
8 it's the objective that you indicated at the beginning,
9 that you felt that the EIS -- or with the whole
10 remediation plan, that there were some deficiencies, you
11 weren't totally comfortable that that second objective
12 was going to be met.

13 We've been -- where shall I start? I
14 guess, let me ask one question straight away. Do you
15 anticipate at any point -- do you look forward even --
16 possibly CBRM becoming the owner of any of these
17 remediated lands? And, if that is the case, under what
18 terms would you accept ownership of the lands?

19 MR. HALL: We are actively in some
20 discussions around that very notion, but I'll defer
21 perhaps to our CAO to respond on behalf of the CBRM on
22 that question.

23 MR. RYAN: Yes. We have not discussed at
24 Council the ownership of those lands. Our concern is
25 more the use of the land. We don't see the necessity for

1 CBRM to own the land in the corridor, it's to encourage
2 the type of development that was presented here today.

3 So, for us, ownership -- I really don't
4 see why we would be interested in the ownership, quite
5 honestly.

6 MR. MORGAN: If I could add to that, this
7 issue came up in Council as well when we received the
8 correspondence from the Panel and the reaction --
9 Councillor Hall wasn't present during -- at that time,
10 and I'm not sure if the CAO was, but the reaction was
11 quite negative, I think, from the Council in terms of
12 CBRM taking ownership of the property.

13 It was noted that there would be at least
14 some materials -- I think the Panel actually has noted
15 there were some materials that would be very difficult to
16 access in terms of remediation, and so I think there was
17 a tremendous reluctance, I think, of the Council to
18 embrace that course.

19 MR. HALL: Yes. And what I envision our
20 role to be in this is certainly -- you've just heard that
21 while we may not have an interest in taking over
22 ownership, we do still have an interest in the uses of
23 that property, and in terms of any discussions around
24 exchanging that, then we would want to be part of that
25 facilitation.

1 THE CHAIRPERSON: If the land -- the plan
2 is that any federally-owned lands are to be taken over by
3 the Province at the conclusion of the construction phase
4 of the remediation, as we understand it, so this would be
5 provincially-owned property.

6 Just clarify for me in terms of your
7 Municipal Planning Strategy, is the Provincial Government
8 bound to follow your -- are they bound by your Municipal
9 Planning Strategy or is that a -- or how does that work?

10 MR. FOSTER: My understanding -- not
11 strictly, no, I don't think the Province is bound by the
12 Municipality's Planning Strategy, although this version
13 of our Municipal Government Act does contain policies
14 that says the Province shall have due regard.

15 It doesn't mean that they'll absolutely
16 follow the direction of the plan, but it does seem to
17 obligate the Province to have regard to the policies that
18 we've developed in the plan, and there are, I think, five
19 provincial policy statements on various aspects of land
20 use planning and we've developed the plan with those
21 policies in mind.

22 So, the Municipality has, in fact,
23 developed its policies within the context of provincially
24 stated policies, so I think we would argue that there's
25 some moral obligation to follow the direction set out in

1 the regional plan. I don't think there's an absolute
2 legal obligation to do so, though.

3 MR. RYAN: I should add, Madam Chair, that
4 there is agreement -- or you have a draft terms of
5 reference for a corridor study which we submitted today
6 as part of our presentation. In that terms of reference
7 the issue of governance of lands within the corridor,
8 including these two pieces of land, is addressed.

9 We're hopeful that the study will suggest
10 who should form ownership, whether it be public ownership
11 -- DEVCO is divesting themselves of a large track of land
12 in this area. We own quite a bit of land as well. The
13 Port Authority has land. The industrial park owned by
14 SYSCO is there, again probably to be divested by
15 Government at some point.

16 So, that issue is in that study and
17 hopefully will give us a better vision of who the
18 appropriate -- but clearly when you look at the
19 development, for example, on the intersection of the Spar
20 Road, for us it's an interest in having the type of
21 development -- for example, the box store coming in and
22 buying the property, not necessarily for us to own it.
23 You know, it's making it available for the type -- in
24 this particular case, the type of industrial use that we
25 would be encouraging there.

1 So, the issue of governance is one that
2 will be addressed in a study that all three levels of
3 government will be funding, so it's part of a ---

4 THE CHAIRPERSON: I was interested in your
5 -- the information you provided on your analysis of
6 potential for future use, because the Panel has been
7 asking questions around the possibility of residential,
8 and you've presented a pretty strong argument about that
9 and so on through the other land uses and you've ended up
10 with industrial, which is consistent with what the
11 Proponent has been telling us. Generally they say
12 recreational, commercial or light industrial.

13 I don't know how to ask this question.
14 But, I mean, in realistic terms do you think that the
15 potential for these properties -- for this to come about
16 within the time frame required is pretty good?

17 Are you pretty optimistic that there
18 indeed will be the demand for this, for industrial uses
19 on these lands? Or is it dependent upon -- is it going
20 to be dependent upon a further investment of public funds
21 in the area?

22 MR. HALL: Mr. Whalley, are you prepared
23 to respond to that?

24 MR. WHALLEY: Yes, thank you. A lot of
25 people don't believe this, but we do actually believe

1 this. The Port of Sydney is in the middle of two of the
2 busiest ports in Eastern Canada, Montreal -- the Port at
3 Montreal and the Port at Halifax.

4 These two ports between them move on the
5 order of 35 million tonnes of cargo annually. Direct
6 port employment in the two ports is in excess of 25,000
7 people.

8 The Port of Sydney currently moves -- with
9 the exception of Marine Atlantic's passenger and general
10 cargo traffic to Newfoundland and Labrador, moves really
11 only bulk commodities, coal, dry bulk and liquid bulk.

12 We believe the Port of Sydney -- and we've
13 believed this for many years -- has a lot more potential
14 than it's currently realizing. We believe these port
15 lands are extremely valuable.

16 The problem in Sydney Harbour -- and it's
17 existed for many years and we visited this several years
18 ago -- is a function of ownership. The principal port
19 properties were under the ownership of crown corporations
20 that were single-use -- they were single-use facilities,
21 and so even though the facilities were not being utilized
22 they weren't available to a variety of businesses to use.

23 In the 1999/2000 period there were five
24 different divestitures in Sydney Harbour of principal
25 assets by five different agencies of the Federal and

1 Provincial Governments, all under different mandates, all
2 under different responsibilities, and without exception
3 every one of those agencies said they had no economic
4 development mandate in the region with the exception of
5 Enterprise Cape Breton Corporation which transferred the
6 Sydport Property to a private corporation.

7 The results of that series of divestitures
8 which -- was done without any planning, and during the
9 period we had advocated for the need for a port plan and
10 were rejected by both the Provincial and Federal
11 Governments clearly.

12 We had advocated the need for a port
13 authority, some body to have overall management and
14 planning responsibility for the port assets. This was
15 denied.

16 And to some extent I can see this again
17 creeping through in this project where the Sydney Tar
18 Ponds Agency is suggesting that they don't have an
19 economic development mandate or responsibility, and yet I
20 think they're inextricably intertwined, the environmental
21 responsibility and the economic responsibility, both
22 because of the size of the project and because of the
23 community in which it's occurring and because of the
24 lands that are involved, and these are port lands in our
25 view.

1 But clearly if -- and this is one of the
2 reasons we're doing this corridor study, we're
3 essentially trying to take another run-through at the
4 port issues that were examined several years ago and
5 trying to say that in our view Sydney Harbour,
6 particularly in the area of general cargo, has a lot more
7 potential than it's fulfilling, and if it can find a way
8 to make its facilities amenable to doing that business,
9 we think we can create a lot of employment and a lot of
10 activity through Sydney Harbour and the adjacent lands.

11 But to your question, does this need --
12 does this require public investment, I think the simple
13 answer is probably yes. We don't know the order of
14 magnitude until -- and this is one of the areas that will
15 be reviewed hopefully in the corridor study -- we won't
16 know the magnitude of the required investment.

17 But it's not simply investment, it is --
18 as Jerry referred, the lands -- the governance and
19 management of these properties is very important and
20 there are literally -- there's, I think, in excess of
21 4,000 acres of public land that are -- lands that are
22 owned either by the Federal, Provincial or Municipal
23 Governments.

24 And the lands in behind the port
25 facilities, the principal port facilities, have been

1 inaccessible either because they've been contaminated or
2 because there's no transportation infrastructure, they're
3 land-locked.

4 Now, one of the things that we learned
5 during the past couple of years is that when the Province
6 was initially -- took over subsequent to the closure of
7 Sydney Steel, there were discussions between Emera and
8 the Province with respect to a more direct route for the
9 coal trucks from the International Pier facility.

10 The Province initially was proposing that
11 the coal trucks come through the existing streets in
12 Sydney. That was rejected by our Council, and it was
13 rejected because at that time we had the port plan that
14 was done by Dan O'Halloran of O'Halloran Campbell and one
15 of the recommendations in that study was that you can
16 develop a port access road which would link the port to
17 the main highway system, which is the 125 highway system.

18 So, the Council made that -- made strong
19 representations to the Province that that was really the
20 appropriate thing to do, to build this port access road.

21 The port access road was constructed, and
22 not only did it facilitate a much more efficient movement
23 of coal from the International Pier to the coal-fired
24 generating stations, it also has resulted in substantial
25 retail development which Malcolm showed in one of his

1 charts.

2 Over a two-year period there's been the
3 development of three very large box stores. Commercial
4 revenue to this region has increased by some million-plus
5 dollars per annum, which is in excess of one percent of
6 our operating budget.

7 So, yes, infrastructure and opening up
8 land makes a difference. The key asset in Sydney is its
9 harbour. If this harbour can't be made to work and can't
10 become the engine of the region, I think quite honestly
11 we don't see an ability or a mechanism to stop, to slow
12 or to reverse the population decline that's occurring in
13 the region.

14 THE CHAIRPERSON: Well, thank you.
15 Getting right back to the sites themselves, the Tar Ponds
16 and the Coke Ovens Sites, I mean, we've been trying to
17 explore in our discussions in the hearing with the Agency
18 and with others the capacity of those sites to support
19 development, and I don't know whether you've been
20 following some of that discussion.

21 Both of these are going to be in the end
22 capped site, both the Tar Ponds Site -- it will be
23 solidified and stabilized, but then it has a cap on top,
24 and the Coke Ovens Site, although the plan is to do some
25 land farming in some areas, essentially a significant

1 portion of the Coke Ovens Site will be a capped site and
2 the cap will -- the integrity of both those caps will
3 need to be maintained, and there's been discussion around
4 just what might the Tar Ponds Site itself support in the
5 way of development.

6 And I -- do you -- have you been following
7 that, and do you have any concerns and any comments about
8 the capacity of those two sites to support the industrial
9 uses that you're talking about?

10 And, sorry, if I can attach to that a
11 question about the cost of development, because if you're
12 going to -- we've been told that if you're going to
13 develop on capped sites there are going to be a number of
14 significant restrictions and changes in construction,
15 because you simply can't go around digging up a capped
16 site without caution.

17 So, have you any comments about either of
18 those aspects?

19 MR. HALL: Madam Chair, what I'm going to
20 do here is ask that our CAO field the questions from the
21 panel, and then, from there, he can determine what staff
22 are most deemed fit to respond to some of these specific
23 questions.

24 So Jerry, I think what's we should do here
25 in order to keep our responses focused on CBRM's

1 position.

2 THE CHAIRPERSON: You may answer the
3 questions any way you wish.

4 MAYOR MORGAN: I read the transcripts. I
5 don't know if Councillor Hall read the transcripts. He
6 can go ahead.

7 MR. HALL: And what I'd like to do is turn
8 the floor over to the CAO and ask him to respond, or have
9 supportive staff to do that.

10 MR. WHALLEY: I think the brief answer is
11 yes. I think we have some very serious concerns about
12 how these sites are going to be remediated and what's
13 going to be done, and what's -- and the possibility of
14 future use.

15 We don't think -- I don't think, and this
16 -- I don't necessarily think the remediation is currently
17 designed -- was designed with a view to facilitating
18 industrial development, clearly. I think the view was
19 more towards the recreational side.

20 Particularly important beyond this point
21 is also the concern that some of the earlier iterations
22 were suggesting a golf course in this corridor, an
23 amusement park, or various uses that would effectively
24 block the corridor, and this is one our most significant
25 concerns is that the port assets -- there is this unique

1 corridor runs from the port assets to the airport, and
2 that corridor, if you do the wrong thing, in a sense
3 would cut it off at the base, that that would really
4 completely land-lock those public lands in perpetuity,
5 make it very difficult and make them -- make, I guess,
6 future activity, that we sort of envisioned, virtually
7 impossible.

8 So yes, we have a lot of concerns, I do,
9 in terms of how -- of the design, and how these -- what
10 these sites will be able to do in the future.

11 Absolutely.

12 MR. GILLIS: Thank you. Last night at
13 Council, with our little plan for the north end
14 neighbourhood, it clearly came to Council's understanding
15 that even with a small plan like that there can be a lot
16 of misunderstanding, and it's not necessarily saying
17 anything bad about the public participation process, it's
18 just often the complexity of the issues.

19 When we talk about capping the so-called
20 hotspots, we -- the CBRM understands, and the information
21 we've gotten from the province is that there's nearly 800
22 acres from the pier facilities to our own capped
23 landfill, and if capping is an alternative, it's our
24 understanding that it's a very insignificant percentage
25 of the total acreage of this corridor.

1 So, when we talk about development being
2 sterilized possibly within the areas that are to be
3 capped, it gives one the impression that we're talking
4 about the whole former SYSCO site when so much of it,
5 it's our understanding, will be available for
6 developments, even if the capped sites are sterilized,
7 and we haven't been given that type of suggestion from
8 the province that that, in fact, is the case even for the
9 capped sites.

10 MAYOR MORGAN: Just if I could add to
11 that, from what I understand there are limitations on
12 precisely what can be constructed on the cap, and
13 certainly, if there are particular plans, it has to be
14 tightly integrated in terms of the design of the cap.

15 One of the challenges I think we face
16 right now is that we -- although we have a plan with
17 respect to the corridor, it does require significant
18 funding in order to facilitate the development, and the
19 funding is not committed to the project right now, from
20 the proposal that's before you.

21 So the Tar Ponds Agency, I think,
22 supports, in terms of -- in some way supports the CBRM
23 and says CBRM ought to be involved with the development
24 of the site, and the planning for the site, but, in the
25 plan that's, in fact, before you, there is no commitment

1 to that funding, and that planning process, and the
2 design of the caps and the design of the site in such a
3 way that accommodates the future use.

4 What I would suggest is important in the
5 recommendations, if the Board is so inclined, is that if
6 there are, in fact, reductions in costs associated with
7 the change -- with a change of design from using an
8 incinerator to the full encapsulation, solidification and
9 stabilization model, if there are reductions in the cost
10 associated with that, that those costs be applied to
11 carrying out this future use of the property that CBRM
12 envisions for the site.

13 THE CHAIRPERSON: Right now, I'd like to
14 ask one more question. My colleagues -- now, when I get
15 on this subject, I tend to hog the question time, but
16 I'll ask one more question and then I will give them an
17 opportunity, I'm sure they have questions for you, as
18 well, and then I may have to come back, I'm afraid.

19 One of the things that we explored with
20 the agency early on, with respect to future use and
21 maintaining the integrity of these caps, is how important
22 it will be that, at the end of the construction period,
23 that there be a future use, a viable future use ready to
24 be implemented almost immediately, and how important it
25 was that there be managed use on the caps, particularly

1 on the capped areas of the two sites, in order to
2 preserve the integrity of the caps, because if they
3 finished and have an area with a cap, and there was --
4 you've stated that CBRM is not -- does not have the funds
5 to take over, you know, recreational uses, and
6 residential, if not -- it doesn't sound like it's very
7 likely that it would happen, so if you were left with
8 capped sites and no uses, would you have to -- would they
9 have to leave a fence up, essentially, because if you
10 have unmanaged use, will that be -- I think I heard them
11 say that there would be some concerns in that area, and
12 they would definitely need to manage public access.

13 So I just wondered what your views of that
14 are, and if that's something you're concerned -- you've
15 considered, is the ability to deliver, you know, a viable
16 future land use, you know, with timing so that you don't
17 have a hiatus of two or three years.

18 MR. FOSTER: If I may, I think it's CBRM's
19 position that certainly the uses would have to be managed
20 on the cap, and we'd certainly defer to other expertise
21 as to exactly what precautions are required, and how
22 those caps are constructed, but in terms of an after-use
23 it's not acceptable to CBRM to see these entire -- this
24 entire site, that is within your mandate, fenced. That
25 certainly isn't part of our vision.

1 We clearly would like to see a mix of some
2 recreational trail uses and industrial uses primarily.
3 That's what we would envision.

4 Certainly if there are some hotspots that
5 -- where, in effect, it's necessary to basically
6 sterilize or fence the site, I think we can understand
7 that, but, from CBRM's understanding of this, we -- and
8 from our understanding of looking at other sites, we
9 think it's possible to have, for example, industrial
10 after-use of some of these sites that are capped, and
11 that is what we'd like to see, so that it's got -- it
12 complements the port usage.

13 To sterilize all this land, I think is not
14 what CBRM would like to see at all.

15 DR. LAPIERRE: Good afternoon, thank you
16 for your presentation. I found it very interesting.

17 I have two questions, and I guess one of
18 them relates to, you are putting forward your plan from
19 the ocean to the airport. How far ahead is it? Is it
20 still a conception, or do you have a fairly definite idea
21 of what you'd like to see?

22 And the reason I'm asking this, I think in
23 the -- if you were to work closely with the Sydney Tar
24 Pond Agency as they go about rehabilitating the land,
25 there might be possibilities of integrating, because some

1 of that land is going to be -- is going to have very
2 limited use because of the -- take the Tar Ponds, with
3 the extensive drainage system, and the secret of keeping
4 the site ongoing is to ensure that you have a good
5 drainage system and water management on the Tar Ponds.
6 So it's going to preclude -- it's going to preclude a lot
7 of use on that land.

8 I guess the other land, the Coke Ovens
9 Site is a bit different, I think. So my question is do
10 you foresee that you could integrate your planning
11 process with the Sydney Tar Pond as they go ahead and
12 develop their plans to cap a significant amount, because,
13 you know, what we're hearing is 60 percent of the land
14 will be capped. So you may have a section that's left,
15 but properly planning from the beginning for
16 infrastructure such as, you know, a road base or artery,
17 it's much more -- it's easier to do it prior to putting a
18 cap than after a cap is there.

19 MAYOR MORGAN: Absolutely, and that was my
20 point earlier. It is that -- I see from some of the
21 comments from the Board that there are significant
22 questions about how you engineer a site so that it can
23 have future use. That, in turn, is dependent upon
24 significant resource issues, technical analysis as well,
25 and technical ability that really, with their current

1 funding level, CBRM itself doesn't have to be able to
2 assist with the engineering of the site so that we can
3 maintain the cap, the integrity of the cap.

4 And I know there's been reference to late
5 changes in terms of the structure of the site and the
6 engineering on the site. We don't -- unfortunately, we
7 don't have that technical analysis to be able to plan the
8 construction of the site, and we don't have funding
9 available, committed funding for the future uses, so that
10 we can, for example, engineer the site so that it can
11 facilitate the road network in the future. Everything is
12 contingent upon these future site uses, that we have no
13 funding right now allocated to ensure the site is
14 engineered to facilitate.

15 So it's a very difficult situation because
16 I think there are discussions going on between the
17 province and the Federal Government about potential
18 future site uses, but they, in fact, may never occur
19 unless that site is engineered in such a way that, from
20 the outset, we know where we're going, we know where the
21 roads are to be constructed, we know the approximate
22 weight, and perhaps height, and footprint of buildings
23 that may or may not be constructed on the site.

24 We need a detailed concept plan for the
25 site at the outset, and that's why I come back to the

1 point of if there is funding that is freed up, as a
2 result of the transfer, from the \$400 million plan, which
3 presumably includes the incinerator, to another option,
4 that has to be applied toward these future uses and the
5 costs associated with what is going to be a complex
6 engineering process.

7 DR. LAPIERRE: I guess the question I
8 would ask, the last one on that, is if your planning team
9 would be willing to work with the Sydney Tar Pond Agency
10 to ensure that that gets up front at any ---

11 MR. HALL: Thank you, Mr. LaPierre. We
12 welcome the questioning around this, and we're actually
13 pleased to hear that questioning.

14 I'm happy to report that the Sydney Tar
15 Ponds Agency has already extended themselves to us on
16 this topic, and it was briefly referenced earlier by our
17 CAO, I believe, that all three levels of government are
18 getting prepared to actually engage a consultant in a
19 corridor study.

20 The Sydney Tar Ponds Agency have made it
21 clear to us that they recognize the importance that this
22 cleanup has to be part of an overall footprint, if you
23 will, and that came in writing by the former CEO of the
24 Sydney Tar Ponds Agency, Mr. David Darrow, who is now the
25 Deputy Minister of Transportation and Public Works.

1 From some of the discussions around that,
2 our CAO, from an administrative capacity, has done more
3 work, and he referenced that earlier. So maybe, if I
4 can, I'll yield to the CAO to repeat some of what he said
5 earlier, and maybe expand upon it, just for the panel's
6 edification. Thank you.

7 DR. LAPIERRE: You have to understand,
8 though, that in the documentation that we received, in
9 looking at the EIS, it's not all that evident that what
10 you're just saying would be incorporated, because you're
11 looking at a cap, and there's no detail as to how -- the
12 other issues. And I guess what we're looking at is the
13 interest that you would have to ensure that, because I
14 think, and I believe, that it's much easier to engineer
15 and plan these up front, but I think there needs to be a
16 process to ensure that you're going to be involved in
17 doing so.

18 MR. RYAN: We believe the proposal is very
19 short on future use, and very short on the second
20 component of their goal, which is economic development
21 activity.

22 With that, we've had discussions with
23 Sydney Tar Ponds and, indeed, the Federal and Provincial
24 Governments, and the Sydney Tar Ponds is a member of the
25 Steering Committee on this Port-to-Port study, we call

1 it, and have agreed to fund approximately 50 percent of
2 the study. So they are a significant player.

3 It would be our hope, however, that that
4 study be recognized in this process, because it wasn't
5 part of the EIS, I agree, and the finding should not be
6 simply -- you know, hopefully the study gets done in a
7 timely manner, and hopefully it can become a component of
8 whatever recommendations are forthcoming from your panel,
9 and that's why we would like to introduce it.

10 Certainly, there's co-operation now, but I
11 would suggest that what you have before you is more
12 focused on remediation than it is on future use, and,
13 indeed, the economic components. We believe that to be
14 weak in this project. However, we are hopeful that this
15 new initiative will bring about those issues, and
16 hopefully some resolve on other levels of government to
17 utilize some of the funding that may be available for
18 those purposes.

19 MAYOR MORGAN: If I could add to that, the
20 one concern that I would express is that it's important
21 that that future site use be incorporated, and the
22 engineering and the funding be incorporated, in your
23 plans, because otherwise it is simply a drawing -- it is
24 simply a study or a drawing on a piece of paper.

25 If it's not incorporated into your

1 recommendations, it is simply a plan that is floating,
2 but, right now, the plan before you doesn't, in fact,
3 facilitate any of that. It provides assurances that that
4 may happen, that there may be development in the future,
5 but, at the same time, there may not be, as well, unless
6 it's incorporated into your recommendations.

7 DR. LAPIERRE: Thank you. I have a very
8 small question. The other question relates to
9 development that you're going to -- you're looking to
10 industrial development with light industry.

11 I guess the question I have is, most of
12 that land is still going to be contaminated, and it's
13 going to be covered, but, you know, you're going to
14 manage the contamination.

15 I guess the question relates to getting
16 private enterprise to invest monies into areas where
17 lands are contaminated, and I guess, you know, if you
18 look at the financial institutions, they're somewhat
19 leery in investing, or have been, in the past, in
20 investing. Do you see that that could be a problem to
21 attract investors to the land site?

22 I'm sure they could be compensated if you
23 decided to build a building to take on the liability and
24 lease it out to them, but listening to your presentation
25 your funds are limited to do that, unless you get some

1 pretty lucrative, I guess, long-term leasing contract.

2 MR. HALL: First, I want to say with
3 respect to the previous question, I've noted in the
4 transcripts both Sydney Tar Ponds Agency and Public Works
5 and Government Services Canada reference that they are,
6 in fact, working in collaboration with CBRM on the
7 discussion around the future site use.

8 And I know I urge maybe Mr. LaPierre and
9 the panel to maybe hear a little further from Mr. Potter
10 on that particular question, because I know he was very
11 much part of the -- an instrumental part of our tour to
12 the United States, and I'm confident that he and his
13 agency are still mindful of the importance of the cleanup
14 being done within a greater context. So I'd like to put
15 the pitch out there that we hear from him on that.

16 With respect to your last question, that
17 was something that we learned about in the United States,
18 too, and there's a lot of technicalities around it, but
19 cities in the United States were successful in getting
20 private enterprise to invest in the community, and there
21 was a number of different ways that they achieved that,
22 that is outside of my scope to respond to.

23 But, I guess, in short, if governments are
24 working in collaboration, and the private parties are
25 interested in moving a community forward, everybody --

1 and the way to make that happen -- and I think we have
2 the potential to do that here in CBRM if we just get
3 beyond some of these significant hurdles that are in
4 front of us, the first one being getting through this
5 review process.

6 MR. WHALLEY: I'd also add very briefly --
7 to give you some order of magnitude, the Port of Montreal
8 has four container terminals. Together those four
9 terminals require less than 200 acres of land. We have a
10 land bank in this region that's basically 4,000 plus
11 acres.

12 So the private enterprise doesn't have to
13 be on either the Coke Ovens or the Tar Ponds. We're
14 trying to ensure that those sites are as safe as
15 possible, but the vision that we have is basically a
16 phased industrial and business park and technology park.
17 And the businesses wouldn't necessarily be on those
18 sites, but we don't want the sites -- anything done to
19 the sites that would -- that would essentially, to the
20 extent possible, limit opportunity. That's really the
21 perspective, I guess, that we have.

22 MR. HALL: And what we learned in this
23 stage too is that -- and I'm glad Mr. Whalley brought
24 that up -- is that nobody's expecting a high rise
25 commercial development right in the middle of where the

1 Tar Ponds used to be, but there is visions that allow for
2 a pleasant buffer, if you will, that ties you in with
3 commercial development on sites, after remediated, are
4 actually able to support that from a technical
5 perspective.

6 MAYOR MORGAN: One further thing I'd like
7 to add is just that -- I know there's been some comment
8 about the contention of some of the senior levels of
9 government to provide a walk-away solution as in they may
10 be able to not be involved in this at the end of the 25-
11 year period.

12 I would say in response to your question,
13 one of the things that will be significant is for the
14 federal and provincial government to perhaps consider not
15 fully walking away at the end of that 25-year period.

16 The technology that's being put forward, I
17 know that best efforts are being made to analyze the
18 engineering of it, but the fact is there isn't a lot of
19 examples in an estuary environment in which this sort of
20 technology has been applied. So it is very difficult to
21 predict what the circumstances will be 25 years from now.

22 So it is going to be necessary, I'd
23 suggest, for them to recognize that even with the
24 proposed future site use, they are going to have to
25 remain involved certainly in the maintenance perhaps of

1 the site and the caps, but also in terms of development,
2 there may be some indemnification that they may have to
3 provide to encourage future site uses, and there may be
4 some legislative provisions that may be necessary as well
5 to allow and encourage and facilitate development on the
6 sites.

7 But that having been said, there has been,
8 I think, very positive results across -- throughout North
9 America and Europe of industrial sites that have been
10 effectively rehabilitated to a state at which private
11 enterprise is -- enthusiastically invests in those sites.
12 But it is in this case also going to be necessary for the
13 federal and provincial government to remain involved
14 because of the liability issues that will be present on
15 the site.

16 MR. HALL: I should note too -- I thought
17 of it while Mayor Morgan was responding there.
18 Councillor Brian Leahey and I had an opportunity too to
19 visit a site in Moncton, New Brunswick, that I'm sure the
20 Panel is familiar with, the former Moncton shops. And at
21 the end of the day, as you know, there's a lot of private
22 development there. There's mixed recreational,
23 residential, commercial, and a brand new YMCA enterprise
24 there.

25 So the models are there. The puzzle is

1 already there for us to put together if we can keep
2 moving forward.

3 DR. LAPIERRE: I know the Moncton site
4 quite well. I chaired the project. But the initial
5 cleanup was a bit different in that the land was divided
6 up into property development unit, and they were cleaned
7 to specific uses prior to.

8 It's a bit different here where you're
9 going to have one cleanup that's going to be right across
10 and you're going to cap the system. So, you know, it was
11 a bit easier for Moncton to get involved in development
12 at the beginning because you went through a longer
13 process of developing -- and maybe more costly developing
14 when you're taking each unit and breaking it down to what
15 you want to do down the road.

16 MR. CHARLES: After this lively and
17 lengthy discussion, I'm almost hesitant to ask any
18 questions, but I'm going to ask at least one.

19 First of all, I'd like to thank you for
20 the explanation of your land use strategy. I found it
21 very useful, your rationale for determining what ultimate
22 use of the land you wanted to see and made use of.

23 The one slide that you showed, the Thea
24 Foss area, what kind of a remediation project was that?
25 Was it stabilization and solidification or some other

1 type? Do you know?

2 MR. HALL: There was a number of different
3 components to this project that required the dredging of
4 the harbour. The harbour was contaminated, so there was
5 -- I certainly would defer to Sydney Tar Ponds Agency
6 representatives to respond to the specifics around that,
7 but it was a dredging of the harbour, and there was some
8 -- I believe some reclamation of the lands around it,
9 including the wharf area and some redirecting -- some
10 redirecting of a waterway. And I'm not so sure how -- to
11 what scope that was, but there was some reclamation of
12 the lands around it, including some technical things that
13 had to be done around the wharf and the construction area
14 around that.

15 MR. CHARLES: Thank you. And just a last
16 note, just a final observation. I noticed you made
17 reference in your presentation to the fact that if
18 incineration got taken off the table and you saved all
19 that money, that some of it should be ploughed back to
20 help in the planning process.

21 And I don't know whether you realize, but
22 I think the proponents have suggested that the latest
23 costing estimate indicates that solidification and
24 stabilization will take all of the remaining three
25 hundred and twenty-seven million dollars (\$327,000,000).

1 Now, they have a contingency fund, and I
2 don't know what they plan to use that for, but maybe they
3 could dip into that for you.

4 MR. HALL: Well, some of that -- I don't
5 know -- I mean, that's not my understanding. My
6 understanding is -- and I'll defer to the Sydney Tar
7 Ponds Agency on this, but my understanding is that if we
8 do this plan without the incineration component, a
9 significant savings will be realized.

10 And then if you look at the models that
11 were used in the United States, I think it's fair and
12 reasonable for this community to suggest that any savings
13 -- through a collaborative effort, any savings be
14 reallocated into a development scheme.

15 But I'd really like to hear the answer to
16 your question from the proponents of the project.

17 MR. CHARLES: Well I may be mistaken, but
18 I think that's what we were told.

19 THE CHAIRPERSON: Mr. Potter, if you wish,
20 a point of clarification here?

21 MR. POTTER: Yes, just on the cost, we
22 handed in that undertaking the other day. We indicated
23 the cost of the project with the incineration removed
24 would come in at around three hundred and twenty-seven
25 point five million (\$327,500,000). That would be the

1 total cost including all of the administrative overhead
2 costs. So there would be, as Councillor Hall indicated,
3 a little over a seventy million dollar (\$70,000,000) cost
4 reduction by having the incineration component removed.

5 The confusing part was that the number
6 just happened to work out to the same number as we had
7 for the previous costs, plus the administrative
8 preventative work. So it's understandable.

9 MR. CHARLES: I guess that's what threw me
10 because you had the four hundred million less a certain
11 amount, and the figure we had before was three hundred
12 and twenty-seven million, and then this new calculation
13 came out to exactly three hundred and twenty-seven
14 million. It's wonderful accounting, as far as I can see
15 it.

16 MR. POTTER: It's all Mr. Shosky's fault.

17 MR. HALL: And Madame Chair, on that, in
18 response to that, too, it's important for me to note that
19 I've been told -- when I first got excited about that
20 notion and started to say it to our government partners,
21 I was told at the beginning that it's the usual practice
22 of the federal government that where they save money on
23 projects such as this, that the money -- the savings are
24 reverted back to the Treasury Board.

25 And that's why it's so important that the

1 Panel hopefully consider what we're saying here today and
2 hopefully conclude that it's a reasonable request, given
3 what this community has suffered for the past number of
4 decades, and now we're at the eve of a cleanup, it's
5 important to us that if you accept that argument and that
6 you think it's reasonable, then that you take that
7 position and you make that known to the government
8 partners, particularly the federal government.

9 THE CHAIRPERSON: Well, thank you,
10 Councillor Hall, for that suggestion, and we'll certainly
11 take it into consideration. We'll obviously have to
12 review whether such a recommendation falls within the
13 Panel mandate.

14 I'm sorry, I said I'd have a few more
15 questions. I do. I'll make them short. Perhaps if you
16 could also help us out -- because I know there'll be a
17 few questions from other people -- if you could make your
18 answers short as well, then we can -- we can move on.

19 The first question is, when the Sobeys
20 development took place, and I believe a bus terminal took
21 place sort of adjacent or fairly close to the Tar Ponds
22 -- and I understand that these were built on ground or on
23 sediments that were -- had some measure of contamination
24 -- what was your experience when that happened? Did
25 there have to be special foundations? Was there added

1 costs? Were there added complications? If you could
2 just tell me a little bit about that.

3 MR. FOSTER: Basically, from the
4 Municipality's point of view, the building on the
5 contaminated site for Sobeys, for example, was handled
6 with Environment, and really the Municipality's role in
7 it was minimal in terms of the building construction. It
8 was Provincial Environment that handled that with the
9 private developer.

10 MAYOR MORGAN: If I could just comment on
11 that as well, Madame Chair, I think that example
12 illustrates almost a jurisdictional hot potato that
13 perhaps has gone on with respect to past developments in
14 and around the site, and illustrates the point with
15 respect to proposed future use, as well the suggestion
16 that this can simply be handed off to the municipal
17 government.

18 We simply don't have the technical ability
19 to do that in terms of managing future site use on our
20 own with our current capacity.

21 THE CHAIRPERSON: Okay. Thank you. My
22 second question is -- I don't know whether you saw this,
23 but the Panel put in an information request before the
24 hearing. It was Information Request 47, and we were
25 asking for more information about future use and about --

1 because it had been indicated by the proponent that it
2 would be important, in order to maintain the integrity of
3 the cap and to protect various other features of the
4 remediation system, that there would need to be various
5 institutional controls applied, and so they provided us,
6 when we asked more questions, with a nice table, which
7 ---

8 I mean, I don't want to get into this in
9 detail, but I don't know, did you see that information.
10 There's a table -- we asked, "Could you tell us what
11 would be the likely restrictions that would be placed on
12 a development in different parts of the two sites as to
13 whether it had a cap or it didn't have a cap and so on?"

14 And so they came back with information
15 with respect to potential deed restrictions, and then
16 potential municipal planning restrictions, land use
17 strategy and zoning bylaw.

18 Now, I presume if land always stays in the
19 ownership of the Province, you don't have a role really.
20 The Province would manage all of this themselves. Is
21 that correct? That's going to be my first question. It
22 would only -- you would only be required to develop
23 appropriate planning land use bylaw restrictions, and
24 also, I suppose, for most of these deed restrictions, you
25 would have to monitor, you'd have to log them in. I

1 don't really know how deed restrictions work, but that
2 would only -- that would only come into effect if some of
3 that land went into private ownership. Is that right?

4 Maybe we're talking about something that
5 isn't going to happen. I don't know.

6 MR. HALL: I'd like to repeat again that
7 the Province made it clear to CBRM through the Sydney Tar
8 Ponds Agency, and specifically Mr. David Darrow, that
9 they will respect the Municipality's jurisdiction around
10 land use, and in fact that they're committed that the
11 cleanup will be in concert with our Regional Planning
12 Strategy and our Land Use Strategy around the port.

13 I mean, now, we have Mr. Potter here
14 today, and let's make sure that we're keeping the line
15 going here, but -- and then I'll go to ---

16 THE CHAIRPERSON: No. No, sorry, I just
17 want to ask that point. I don't think we need to go to
18 Mr. Potter. My question is not about -- my point is that
19 if it stays in provincial ownership in terms of them
20 making sure that certain things don't happen, that you
21 know, basements aren't dug and so on, they can look after
22 all that. They would have the power. It would be their
23 land. That was my point. You wouldn't need to be
24 involved.

25 So perhaps this -- if the land is going to

1 stay in the ownership of the Province, then it becomes
2 their responsibility to manage all of this. But if it
3 did -- if any of that land when over into private
4 ownership, then -- the proponents have said that it wants
5 the Municipality -- you'd play a role in developing some
6 appropriate planning bylaws.

7 MAYOR MORGAN: Yes. Madame Chair, if I
8 ---

9 THE CHAIRPERSON: So is this something
10 that you've -- have you seen this particular information
11 I'm talking about?

12 MAYOR MORGAN: I have seen the discussion
13 of it, Madame Chair, and I guess the comment -- the
14 concern I would have is if it is in fact transferred to
15 private hands, there's an enforcement issue and an
16 ability to enforce if -- for example, if there's capped
17 lands, obviously the integrity of the cap would have to
18 be maintained, and indeed, the complex underground
19 structures as well.

20 And I don't know that you could easily
21 transfer some of those properties to private land owners.
22 The risk that would result from a violation of any
23 restrictions that were put in deeds would be perhaps a
24 failure of the entire cap for the whole area.

25 So I'm not sure that model of transferring

1 with deed restrictions would necessarily maintain the
2 security of the cap that would be necessary.

3 THE CHAIRPERSON: Well, okay, thank you.
4 If you do have any additional concerns -- I don't know if
5 you -- it is the response to IR-47, if you haven't -- it
6 sounds like you've seen it, but if you haven't seen -- if
7 you have any additional concerns when you have a look at
8 it, by all means, you know, if you can get something in
9 in writing in the next day or so.

10 And I've got one last question. Believe
11 it or not, I will stop. And it's -- my question is about
12 the neighbouring communities, because we had -- I think
13 it was last Friday. No, I'm losing track of the days.

14 But we had -- a number of business
15 organizations came forward and told us about their
16 interest in the port-to-port idea and told us about the
17 stakeholder group that was in place to pursue that.

18 And my comment and question at that time
19 was, "That sounds -- you know, that sounds great. That's
20 very interesting." But it doesn't sound like the
21 neighbouring residential communities on either side of
22 these sites -- they're only representative -- only
23 represented on that group through CBRM representatives.

24 And you know, those residential
25 communities have borne the brunt of living in -- right

1 next to this -- to the steel mills and the Coke Ovens
2 over the years, and now the site as it is -- and they'll
3 be living next to the site as it undergoes active
4 remediation.

5 How can I ask the question simply? What's
6 in it for them? That might be my way of putting it
7 because this sounds like the idea is that there's going
8 to be an industrial swath instituted through there.

9 Is there something -- are you taking into
10 consideration the needs of those residential communities
11 and of those residents and neighbourhoods? Do you see
12 doing something with these sites that would be of a real
13 benefit to them?

14 MR. FOSTER: Yes, we do. And I think
15 Council's adoption of the north end plan last night is
16 indicative of the kind of vision that we'd see for the
17 neighbouring areas.

18 One of them, to just focus on that for a
19 minute, in the north end, we have some industrial
20 development. We've got an oil refinery. Or sorry, an
21 oil tank farm at the end of the peninsula.

22 The issue of Tar Pond cleanup was
23 certainly one of the central issues in the north end
24 plan, and what's come out of that, in a nutshell, is a
25 vision to accept some of the existing industrial

1 development that's there, but generally for the future,
2 we'd see that area in the north end moving to residential
3 use towards the Tar Ponds, in that direction, and perhaps
4 some commercial as well.

5 So the vision that is anticipated in this
6 is that there would be a return of the rejuvenation of
7 the whole north end, that the Tar Pond cleanup would be
8 good news to the north end. And that's certainly what's
9 anticipated is residential development in the direction
10 of the Tar Pond.

11 There is quite a bit of rail yard right
12 now, but I don't believe that it's all required, and
13 there's no -- nothing on the horizon that would indicate
14 we'd need that much rail yard either. But it's primarily
15 residential expansion.

16 MAYOR MORGAN: Madam Chair, if I could add
17 to that, the -- just in terms of the general benefit to
18 the broader community is one important element, in that,
19 to the extent the stigma of the unremediated sites
20 impacts CBRM at all, it certainly impacts on the
21 surrounding communities more so than even the broader
22 community.

23 But in terms of specifics, some of the
24 community groups in the area have proposed a trail
25 system.

1 There's been a lot of talk within our
2 community of an active transportation network as a
3 mechanism for getting to the downtown, but also for
4 recreational purposes as well.

5 One, in particular, linking the Whitney
6 Pier community through the SYSCO lands and past the sites
7 that are in question.

8 And one thing, in terms of future uses
9 that I know the groups hope for, is that the process of
10 remediating the Tar Ponds and Coke Ovens site will allow
11 the development of that trail and active transportation
12 network as well.

13 There's perhaps a broader question, as
14 well, in terms of the potential impact on those adjacent
15 communities while the work is going on.

16 And one of the, perhaps, unknowns that I
17 think that you face is what will happen with the process
18 of disturbing the site as the remediation actions are
19 under way.

20 And one thing, I guess, I would ask you to
21 draw your attention to it or comment on, is whether or
22 not there will be fumes or dust or debris that may be put
23 into the air that may impact adjacent communities.

24 And if, in fact, you conclude that that is
25 a significant possibility, that there be some provision

1 to deal with that, in the event that occurs as the
2 cleanup is under way.

3 THE CHAIRPERSON: Okay, thank you very
4 much.

5 MR. GILLIS: I would just like to add two
6 more points, too, as well.

7 The CBRM's planning strategy does advocate
8 that a landscaped buffer separate the industrial corridor
9 from the piers, through the Coke Ovens site, to our
10 capped land fill from the three adjoining neighbourhoods:
11 the north end neighbourhood of Sydney, Whitney Pier, and
12 the neighbourhood of Ashby as well.

13 Again, because of the large geography of
14 the sites, you know, we can drive the roads in the
15 province of Nova Scotia and look to the left and the
16 right of us as we're driving, and we envision this
17 illusion that it's all forest. It's -- from --
18 throughout the entire province.

19 When you actually get up in the air, you
20 realize how much of our forest has been cut.

21 But my point in stating that is that a
22 buffer and a screen -- a landscape buffer and a screen
23 certainly can hide an awful lot.

24 And I'm also not saying -- suggesting that
25 a steel plant complex is envisioned for the CBRM at the

1 former steel plant site.

2 It's -- what industrial and business
3 activity would be occurring here would be a much lighter
4 nature, certainly.

5 So, it certainly wouldn't have the same
6 adverse effect or anywhere near the same adverse effect
7 as the former industrial complex.

8 And one final point, when I talk about the
9 nearly 900 acres from the pier to the Coke Ovens site,
10 I'm not really calculating the Tar Ponds site within
11 that.

12 We -- the Municipality doesn't look at the
13 Tar Ponds as acreage to be -- that is being taken away
14 from potential use for industrial purposes.

15 Right now it is -- however contaminated,
16 it's a body of water. There is no development on it.

17 And the Tar Ponds could be a part of that
18 landscaped buffer, that screen, that separates the north
19 end neighbourhood from the industrial business park that
20 we have as our land use objective for this corridor.

21 THE CHAIRPERSON: Okay. Thank you. I'm
22 glad you added that.

23 But the landscaped buffer would be a
24 managed landscape buffer? Somebody would have to have
25 some budget? Or do you -- are you anticipating some kind

1 of a naturalized landscape that would have very low
2 maintenance requirements?

3 MR. GILLIS: It's more of a naturalized
4 landscape. Because the purpose is not -- its primary
5 purpose isn't to attract people there. Its primary
6 purpose is to separate what we'd consider to be normally
7 incompatible land use.

8 THE CHAIRPERSON: And in the material that
9 you've given us, is there anything with a rough kind of
10 map that indicates where you think this would go?

11 MR. GILLIS: We could be specific in our
12 presentation to you.

13 The planning strategy includes all of the
14 zoning maps, and there is actually a book of maps that
15 are related to the various policy directives in the
16 planning strategy.

17 And there should be a specific reference
18 to a map that would highlight the landscape buffer
19 separating this business industrial corridor from the
20 three surrounding neighbourhoods.

21 THE CHAIRPERSON: Well, maybe afterwards,
22 just to save us the -- all the going through the paper,
23 if you can give the specific reference to the
24 Secretariat, that would be very helpful.

25 All right. Thank you very much.

1 MR. HALL: It's ---

2 THE CHAIRPERSON: I really ---

3 MR. HALL: If I can -- if I could just add
4 -- I hate to be an annoyance here, but your question
5 speaks the importance that the Panel remain mindful of
6 the importance of a long term vision here.

7 And while people right now may have a view
8 of the Tar Ponds and the Coke Ovens site, if we -- and I
9 use we loosely to include the Panel -- if we are
10 successful, and we achieve what I believe can be
11 achieved, then at the end of the day, these people are
12 going to have far more than a view of the Tar Ponds and
13 the Coke Ovens site as we know it.

14 The reason it's important for me to make
15 that point is that one of the things I learned at
16 visiting successful communities is that I asked the
17 question of community groups, you know, "How are people
18 responding to the barges and the dredging that's going on
19 24 hours a day with lights five days a week, the trucking
20 coming in and out and what have you?"

21 And the overwhelming response at every
22 site was that those communities welcomed the cleanups.
23 They worked with the governments. They worked with the
24 stakeholders to get the cleanup achieved.

25 We haven't enjoyed that luxury here at the

1 same level that other communities have.

2 So, it -- to me, the Panel needs to remain
3 mindful of the greater vision here, and not get -- if I
4 can respectfully suggest, not get bogged down into some
5 micro level arguments that have been brought forward.

6 The Municipality, in terms of our planning
7 strategy, and the government's commitments to honour that
8 strategy, I think will get us there if we keep things on
9 track and keep moving forward.

10 THE CHAIRPERSON: Thank you very much,
11 Councillor Hall.

12 I am now -- we are -- because of the
13 volume of questions from the Panel, we are running,
14 obviously, over schedule, and I don't want to go a whole
15 lot later this afternoon.

16 I am sorry about that, but we did have a
17 lot of questions we needed to ask the presenters.

18 So, I am going to provide a brief
19 opportunity for questions from other participants.

20 I will turn first to the Agency. Given
21 that you do speak to CBRM quite a bit, I understand, if
22 you are able to restrict your questions as much as
23 possible, I would really appreciate that.

24 Do you have a couple of questions, Mr.
25 Potter?

1 MR. POTTER: Yes. I'll try to keep it
2 brief.

3 And I guess Councillor Hall asked me to
4 speak a bit in -- very briefly to the U.S. visits and
5 some of the experiences we learned from those sites.

6 As we've stated before in the transcripts,
7 you know, the Agency is very committed to the importance
8 of, you know, future site use as we develop the cleanup
9 plan, and that's why we are contributing funding to this
10 port to port study.

11 Because we need to know what the community
12 would like to have here at the end of the day.

13 We are allowed, within the MOA, to
14 facilitate that, to a certain extent, in terms of
15 providing funding for future -- landscaping compatible
16 future site use.

17 Just to, I guess, respond to Councillor
18 Hall's question.

19 What we did take away from the U.S. visit
20 was that they -- in both Tacoma and New Bedford,
21 Massachusetts, both those sites had a very dominant
22 interest in future site use and how to incorporate the
23 design of the cleanup into the long term plan for that
24 community, not just the cleanup plan.

25 So, we're certainly going to take a look

1 at doing that.

2 The other question that came up that
3 Councillor Hall, I think Mr. Charles did -- was asking
4 was the Thea Foss Waterway.

5 The waterway there, they actually removed
6 the sediment from the waterway and took it to another
7 waterway next door, capped it and contained it, much the
8 same way we're doing here.

9 So, I think that's the main points that
10 were raised.

11 I -- mainly clarifications, not questions.
12 Very brief. Thank you.

13 THE CHAIRPERSON: Thank you very much, Mr.
14 Potter.

15 I am now going to provide opportunities
16 for other participants.

17 I am going to basically ask for one
18 question at this time.

19 Could I -- from the people who are
20 registered participants, because I give priority to
21 those, can I just get a show of hands as to who has a
22 question?

23 So I see Ms. MacLellan, Dr. Ignasiak, Ms.
24 May, Ms. Ouellette, Mr. McMullin.

25 Well, I think I'd better -- yeah. Mr.

1 McMullin, Mr. Marman. Have I got everybody?

2 Gee, when everybody's name begins with M,
3 you can't do the alphabetical route, can you? Anyway --
4 Mr. Marman.

5 --- QUESTIONED BY GRAND LAKE ROAD RESIDENTS (MR. RON
6 MARMAN)

7 MR. MARMAN: Thank you, Madam Chair. Gee,
8 after two and a half weeks, I'm finally first.

9 Anyway, I was really happy to hear our
10 Mayor and Council and staff from the CBRM come out in
11 such strong opposition to the incinerator. And I think
12 they speak on behalf of the majority of the citizens in
13 the CBRM.

14 I was equally happy yesterday when Sydney
15 Tar Ponds put on the table a proposal that the site could
16 be cleaned without incineration.

17 So, I guess the only people now we have to
18 convince are the three people at the head table, and
19 we're all set, but anyway.

20 Just as a comment, when Mayor Morgan was
21 talking about the encapsulation and solidification, I got
22 the feeling that he thought maybe this was just a method
23 of holding things as they are, until perhaps down the
24 road a better method could be found, because we don't
25 have the money right now to do any more with it.

1 And perhaps the Tar Ponds might clarify if
2 this is a permanent or temporary solution?

3 THE CHAIRPERSON: But you don't have a
4 question for the presenter, Mr. Marman?

5 MR. MARMAN: Well, more or less, just --
6 well, maybe if Mr. Mayor might add to ---

7 THE CHAIRPERSON: I'm going to ask you to
8 put the -- place the question to the presenters, please.

9 MR. MARMAN: Okay. Do you feel that this
10 is just a temporary solution, or ---

11 MAYOR MORGAN: I think it's the best
12 solution that's available, given the constraints.

13 I think the community wanted the site
14 cleaned up in the sense of having the materials destroyed
15 using -- the contaminants destroyed using modern
16 technologies to destroy the materials.

17 But that's not going to be available.

18 We may not agree with the position being
19 taken by the Province and Federal Government, but
20 nevertheless, it's a reality.

21 And so, I think this is the best mechanism
22 available.

23 If you ask me am I confident that 25 or 50
24 years subsequent to the -- this so-called remediation,
25 can we walk away from it, or can the Federal Provincial

1 Government walk away from it, my view is no, it can't.

2 I don't think we have the knowledge or
3 information that this is a permanent solution.

4 But I think it has some marginal benefits,
5 in that it does stabilize much of the material, and it's
6 certainly preferable to firing up an incinerator in the
7 middle of the city.

8 MR. MARMAN: Thank you.

9 THE CHAIRPERSON: Thank you, Mr. Marman.

10 Ms. MacLellan?

11 --- QUESTIONED BY CAPE BRETON SAVE OUR HEALTH COMMITTEE

12 (MS. MARY-RUTH MACLELLAN)

13 MS. MACLELLAN: Thank you, Madam Chair. I
14 thank you for your patience, as well.

15 I actually have one question and one
16 comment, both directed to our Mayor, through you. And I
17 wish for our Mayor only to respond, if that's
18 permissible.

19 THE CHAIRPERSON: Well, I -- please place
20 your question, and I don't know that we can specify.
21 They will have to decide who responds.

22 But, please ask your question.

23 MS. MACLELLAN: Oh. Mayor Morgan, given
24 that you have 82 percent of the vote in the last election
25 speaks a lot to the trust that the people put in you.

1 Having said that, what will you do for the
2 people that live around the sites that at present have
3 contamination in their basements, are fearful of what
4 will happen when this remediation takes place?

5 Will you ensure them that there will be
6 some help available for them, and that the precautionary
7 principle will be applied?

8 MAYOR MORGAN: The choice about how this
9 process ultimately proceeds is not ultimately with
10 myself.

11 In terms of impact on the adjacent
12 communities, I think it makes sense to ask Sydney Tar
13 Ponds Agency and the Federal Government to recognize that
14 there is some risk that, as the cleanup unfolds, that
15 there is going to be impacts on the adjacent community,
16 and provide for the community as the cleanup unfolds.

17 One of the challenges, I think, that we
18 deal with, with all this, is that we're dealing with a
19 lot of unknowns.

20 There is -- there are risks with respect
21 to virtually everything that is done, and there has to be
22 some analysis of the risks, and where there are risks,
23 there has to be analysis of who is likely to be impacted.

24 And one of the communities, I'd say, that
25 I agree is at risk is the adjacent community as this

1 cleanup, no matter what form, happens.

2 As it unfolds, I think there's uncertainty
3 as to whether fumes are going to impact some of the
4 adjacent properties, and I think the plan ought to
5 provide some mechanism to protect the adjacent
6 communities.

7 MS. MACLELLAN: Will you stand with --
8 will you meet with the people and stand on their side to
9 see that the precautionary principle is applied and that
10 there is a proper buffer zone put in place?

11 MAYOR MORGAN: Well, yes, certainly. I've
12 advocated that for a long period of time so from my
13 perspective, yes but I'm not sure -- in terms of the
14 Panel, it's something that the Panel, I think, has to
15 analyze.

16 THE CHAIRPERSON: Ms. MacLellan, I think
17 ---

18 MS. MACLELLAN: Just one comment.

19 THE CHAIRPERSON: --- you've had two
20 questions -- well, very briefly.

21 MS. MACLELLAN: You've said it's a take it
22 or leave it proposition. May I remind you that the rest
23 of Canada's watching this and a take it or leave it
24 proposition with their money is not acceptable. Thank
25 you.

1 THE CHAIRPERSON: Thank you, Ms.

2 MacLellan.

3 MAYOR MORGAN: And if I can respond to
4 that, in terms of the take it or leave it, it's -- my
5 comment was that that is what is being put forth by the
6 Province and Federal Government. I don't agree that that
7 should have happened. I think what should happen is the
8 Province and Federal Government ought to have honoured
9 the request of the community to properly remediate the
10 site. They've chosen not to and the practical choices
11 before the community are the proposal of Sydney Tar Ponds
12 Agency or a fully encapsulated site without incineration.
13 I wish that wasn't the request or the demand that's put
14 forward by the Federal and Provincial Government. It is
15 and it's necessary for us to respond to what is
16 unfortunately a take it or leave it proposition.

17 THE CHAIRPERSON: Ms. May.

18 --- QUESTIONED BY THE SIERRA CLUB OF CANADA (MS.

19 ELIZABETH MAY)

20 MS. MAY: Thank you, Madam Chair.

21 Reducing five questions to one, I'd like to direct the
22 question to Your Worship, Mayor Morgan. Also prefacing
23 this with a thank you to all presenters on behalf of CBRM
24 for their strong position against incineration.

25 Recognizing that the Tacoma site and the Bedford Harbour

1 sites were dredged and material removed, it wasn't in
2 situ so it doesn't give a really good example. And given
3 your sense that this is temporary, maybe 25, 50 years
4 down the road stabilization and solidification are not a
5 final solution.

6 I'm wondering if you have a view -- and I
7 don't know if you do -- on the alternative within RAER 3,
8 the soil washing, if that were of a comparable cost and
9 available to the community, would you find that an
10 acceptable option?

11 MR. HALL: I think, you know, let's get
12 right down to it here, I'm not going to rehash council
13 debates here. But the municipal council has gone on
14 record as supporting the JAG process. JAG did their
15 thing, we've had these debates at JAG. This being one.
16 Government partners come up with a plan that they've now
17 put on the table. It's not the position of this council
18 that it was a take it or leave it approach. Mayor Morgan
19 has offered those comments on his behalf. But what
20 council did was responded to what was put on the table,
21 what we believe was in the best interests of the
22 community and the most contentious part of it was the
23 incineration component.

24 Council, none of us are experts in the
25 field of engineering but council, I can say with

1 confidence, overwhelmingly support stabilization and
2 solidification and encapsulation. That is resounding
3 around our council table and we don't know if that's
4 going to last 100 years or 50 years but we're certainly
5 confident in that proposal as it is on the table that
6 it'll certainly have everlasting positive effects on the
7 community.

8 MS. MAY: Madam Chair, I didn't mean to
9 provoke a debate between councillors but I would like an
10 answer to my question. And my question was not whether
11 you like solidification and stabilization. My question
12 was whether or not if it was an available alternative
13 council would like the option that the community chose
14 through the JAG process which you mentioned you
15 supported.

16 MR. HALL: We are not interested ---

17 MAYOR MORGAN: The question was clear and
18 I think ---

19 MR. HALL: --- we're -- this council ---

20 THE CHAIRPERSON: Excuse me. I -- could
21 we -- I'm finding this very confusing. I really don't
22 think that two people at the presenters table should be
23 talking at once. I wonder if you could sort out amongst
24 yourselves who's going to answer that question on behalf
25 of the -- CBRM.

1 MR. HALL: Well, Madam ---

2 MAYOR MORGAN: The question was posed to
3 myself ---

4 THE CHAIRPERSON: And could we have a
5 brief response please.

6 MAYOR MORGAN: The question was posed to
7 myself Madam Chair. So if I could respond, clearly the
8 community went through a six year process to determine
9 what mechanism of cleanup was preferred by the community
10 and the selection was clear and I think soil washing was
11 the mechanism chosen by the community. And the request
12 from the community was, in fact, that the site be
13 completely remediated. The challenge that I think we
14 were presented with is the concept that the total cost
15 may be more than four hundred million dollars
16 (\$400,000,000). And that's why I say it's a take it or
17 leave it. But I think your point is well taken, if it
18 could be facilitated within the financial window I think
19 that is clearly what the community has chosen.

20 MS. MAY: Thank you very much.

21 THE CHAIRPERSON: Thank you, Ms. May.

22 MR. HALL: And Madam Chair, important for
23 the record that I state, don't want to get into debates
24 here but the council did commission us to come here and
25 me to make presentation on behalf of council. The

1 council is not interested in going back, looking in our
2 rearview mirror in debates that took place three years
3 ago about the remedial action evaluation report. We want
4 to move forward.

5 MS. MAY: I'm sorry -- Mr. -- Councillor
6 Hall, the terms of reference of this Panel includes
7 alternatives. I was merely trying to solicit councillors
8 views on alternatives which is part of this mandate.

9 THE CHAIRPERSON: Excuse me, for all
10 parties I would now like to close the discussion on that
11 particular question and I would now like to move to our
12 next questioner, Dr. Ignasiak. Just one question please.
13 --- QUESTIONED BY DR. LES IGNASIAK

14 DR. IGNASIAK: Well, in order to make it
15 quick and fast I just wanted to make an assumption.
16 Let's say that the Tar Ponds are located in the United
17 States, not in Sydney. I just wonder whether the
18 presenters are aware that if the Tar Ponds were to be
19 stabilized in the United States this simply would not go
20 through.

21 THE CHAIRPERSON: Well, that was raised as
22 a question so if somebody would like to ---

23 DR. IGNASIAK: I asked if whether they are
24 aware of that.

25 THE CHAIRPERSON: Well, I didn't hear

1 that. That wasn't on the record. Do you wish to make a
2 comment.

3 MR. HALL: I don't have any knowledge
4 about what the American regulatory environment contains.

5 THE CHAIRPERSON: All right. Thank you.
6 Ms. Ouellette. And then after that it'll be Mr.
7 MacMullin and then I will open questions to any other
8 participants.

9 --- QUESTIONED BY MS. DEBBIE OUELLETTE

10 MS. OUELLETE: I just have one question
11 for Vince. Vince did you have any help with this
12 presentation by the Provincial officials?

13 MR. HALL: I'd hate to dignify that with a
14 response but the answer is absolutely no.

15 MS. OUELLETTE: Thank you.

16 THE CHAIRPERSON: Thank you, Ms.
17 Ouellette. Mr. MacMullin.

18 --- QUESTIONED BY MR. DAN MCMULLIN

19 MR. MCMULLIN: Good afternoon. Question
20 for Mr. Hall. Mr. Hall, during the presentation this
21 afternoon, I'm given the impression that the American
22 tour and the Canadian tour met with a great deal of
23 pleasure on the part of the people on the tour. I'm
24 wondering whether you met with any environmental groups
25 that posed opposition to any of the remediation. I'm

1 given the impression that things were rosy in these
2 communities and that indeed we should look forward to an
3 expeditious cleanup here if we follow some of these
4 examples.

5 MR. HALL: Through you, Madam Chair, the
6 answer to that is yes, we've met with groups in the
7 States and I alluded to it earlier that some of these
8 groups took a somewhat different approach than what some
9 of our parties in Sydney have chosen but the answer is
10 yes, met with them, heard their views and how they
11 approached the challenges that were presented to their
12 communities.

13 MR. MCMULLIN: As an example, on the day,
14 I believe a Wednesday, I called through to a group in
15 Wisconsin, Fox River Watch by name, asked whether they
16 were familiar with the visit from people from our area.
17 I was told no. When I checked their site, I find indeed
18 there's been 30 years of progress made here with a great
19 deal of conflict in these areas. I also want to point
20 out that the folks in Belledune, New Brunswick, had they
21 known that representatives from Cape Breton Tar Ponds
22 were going to visit on the day they did visit, that
23 indeed, there would have been many, many people out to
24 protest the potential for Tar Ponds sludge moving to
25 Belledune, New Brunswick. So ---

1 THE CHAIRPERSON: Thank you, Mr. McMullin.
2 I think -- thank you for your question and your
3 subsequent comment.

4 MR. MCMULLIN: Thank you.

5 MR. HALL: And Madam Chair, I took it upon
6 myself to actually go out of my way to speak to residents
7 in the Fox River area because I was intrigued by the
8 activity that was going on so close to residential homes.
9 People were part of the cleanup whether they lived within
10 500 metres of it or 5000 metres of it. I talked to
11 numerous politicians from every level of government at
12 different sites including the reference with respect to
13 Belledune.

14 I had a meeting specifically myself and
15 Councillor Long with a municipal representative from that
16 specific area and we felt pretty good about that meeting
17 and that that person represented the interests of his
18 community.

19 THE CHAIRPERSON: Thank you, Councillor
20 Hall. I would just ask are there any other people in the
21 room who are not registered participants who have a
22 question for the presenter? Yes, I see Mr. Ells but Mr.
23 Abbass, is it, if you'd like to -- if you have a question
24 for CBRM.

25 --- QUESTIONED BY MR. JOHN ABBASS

1 MR. ABBASS: The name is John Abbass. I
2 have a question to you for Mr. Hall. The site that he
3 visited and he showed on the screen there, who cleaned up
4 that site?

5 MR. HALL: I understand from my
6 recollection that it was a venture that included all
7 levels of government which ironically is something that I
8 think CBRM should remain mindful. That was a cleanup
9 that had monies from Federal, Provincial and Municipal
10 parties and then a future development involved all three
11 including private sector.

12 MR. ABBASS: No, I want the name of a
13 corporation or -- that cleaned up the site. Like ---

14 MR. HALL: I wouldn't know that offhand
15 but we did have the opportunity to meet with the actual
16 construction firms and the environmental firms that were
17 around every site that we went to so off the top of my
18 head I -- I mean, I'd be guessing if I started throwing
19 names out right now on that one Mr. Abbass.

20 MR. ABBASS: Can you remember any names?

21 THE CHAIRPERSON: Excuse me, Mr. Abbass,
22 could you just keep our tone down here please for the
23 question. There's no need to shout.

24 MR. HALL: I know Mr. Abbass quite well
25 but I mean firms like Earth Tec, CH2M Hill, AMEC and a

1 number of subsidiary firms affiliated with those
2 companies far reaching.

3 MR. ABBASS: Okay. Can I ask him how much
4 it cost to clean up that site?

5 MR. HALL: My recollection around the Thea
6 foss waterway, there's like five or six or seven
7 channels. I'm sure Sydney Tar Ponds Agency may have
8 something on record there but some of those were like
9 seventy million, eighty million, ninety million, in those
10 ranges there. So they were comparable in terms of the
11 challenges that they presented.

12 MR. ABBASS: Well, I would like to have a
13 total figure for the cleanup of that site.

14 MR. HALL: Yeah, well I'd have that in my
15 little file home and I'd be happy to make sure that I
16 share with Mr. Abbass what I'd have on file. No problem
17 at all.

18 MR. ABBASS: No, I ---

19 THE CHAIRPERSON: Thank you for you
20 question, Mr. Abbass.

21 MR. ABBASS: Please, can I just ask
22 another question.

23 THE CHAIRPERSON: Well, yes please ask it
24 but we do need to move on. Can you tell me the relevance
25 to the Panel of your line of questioning?

1 MR. ABBASS: The figure for cleaning up
2 that site must have been an astronomical figure. So if
3 he can't remember that figure, it's a mystery to me.
4 Thank you very much.

5 THE CHAIRPERSON: Well, thank you Mr.
6 Abbass. Mr. Ells, you have a question. I think this is
7 the last question.

8 --- QUESTIONED BY MR. CAMERON ELLS

9 MR. ELLS: Thank you, Madam Chair. My
10 background is civil engineering and regularly in projects
11 performance goals dictate how a project works out. In
12 this case, for CBRM if the performance goal for the Tar
13 Ponds cleanup was that the land could be used -- there
14 was a healthy mixture of land uses as either a buffer,
15 pedestrian walkway, bike paths or the capacity to put a
16 single storey building on, irregardless of what it's used
17 for, would that provide enough flexibility for their
18 future land use preferences? And the relevance of that
19 is if the projects are working with the idea of a single
20 storey building that provides a bearing capacity goal on
21 the engineering side which influences strength and other
22 things.

23 MR. FOSTER: I think the answer to that
24 would be yes that would provide -- some types of industry
25 might involve a need for greater bearing capacity than

1 others, would be the only ---

2 THE CHAIRPERSON: Okay, thank you very
3 much Mr. Ells. So that brings us to the end of -- Ms.
4 Kane. Well, all right. One question and then absolutely
5 that's it. We are breaking.

6 --- QUESTIONED BY MS. MARLENE KANE

7 MS. KANE: Thank you very much but I was
8 at work again. That's always my excuse. Earlier on in
9 the presentation, the first part that I was here for, I
10 heard it said that solidifying and stabilizing all of the
11 Tar Ponds including the PCBs were technically feasible.
12 You said yes on your chart. Environmentally sound, yes
13 on your chart. Publicly acceptable, you said medium and
14 growing. I'd like to know how you arrived at those
15 conclusions, please.

16 MR. HALL: Well, thank you, Marlene
17 through the Chair. I did qualify that this was my own
18 little study that I did myself based on my eight or nine
19 years on this file and all those meetings you and I sat
20 together at the Joint Action Group but I mean I'm a
21 politician. I'm one that has the fine challenge of part
22 of the proposal of incineration being in my constituency.
23 So I can assure you and as you know from mine and your
24 conversations I'm hearing from people right across the
25 municipality giving their opinion and certainly the

1 opinions of my municipal colleagues, all municipal
2 colleagues that have an opinion on this matter and Mayor
3 Morgan as well. And that's my own summation and in fact,
4 you know, that was done a few months ago so I'd even
5 update my public acceptability to a lot higher than
6 medium and growing.

7 MS. KANE: Is that for taking incineration
8 out of the picture though or for solidifying and
9 stabilizing all of the ponds including the PCBs?

10 MR. HALL: Yeah, when I go by my
11 conversation with the person on the street and in the
12 coffee shop, and the overwhelming opinions of our
13 municipal council, it's yes this community wants to move
14 forward. They don't want to run the risk of another 20
15 years of endless debate. They want to stabilize,
16 solidify, encapsulate and let's move forward and start
17 growing this economy.

18 MS. KANE: So Madam Chair, I mean that was
19 the answer to the third question but as far as
20 technically feasible and environmentally sound, I'd like
21 to know how you came to that conclusion. Like as far as
22 the EIS, did you review all the EIS and ---

23 MR. HALL: Well, I'm a social worker by
24 profession. I'm not an engineer but I'm confident in
25 relying upon the expert opinions that have been brought

1 forward by our government partners and I'm confident with
2 CBRM's working relationship with our government partners.
3 I've been involved for a number of years and I have no
4 problems in accepting what they bring forward on behalf
5 of this community.

6 MS. KANE: But did you and council members
7 before voting on this ---

8 MR. HALL: Yes.

9 MS. KANE: --- did you review the EIS?

10 MR. HALL: Yes, the council was briefed
11 and are aware and within the parameters of our expertise
12 that's what you're getting in terms of response.

13 MS. KANE: Thank you.

14 THE CHAIRPERSON: Thank you, Ms. Kane.
15 That does end this afternoon's session. I would like to
16 thank all the presenters from CBRM for coming and making
17 a presentation and for answering our questions and
18 questions from other participants. Thank you very much
19 indeed. We will be resuming at 5:45 this evening and we
20 have two presentations. Thank you.

21

22 --- RECESS: 3:25 P.M.

23 --- RESUME: 5:47 P.M.

24 THE CHAIRPERSON: Good evening, ladies and
25 gentlemen. I would like to get this evening's session

1 underway. In a moment we will move directly to our first
2 presenter, Bennett Environmental Inc.

3 I have a couple of things that I need to
4 address. We are going to ask the Tar Ponds Agency --
5 they have some undertakings to deliver, they will require
6 the use of a screen and the equipment, and since that is
7 now all set up for Bennett's use, we will wait until
8 Bennett have completed their presentation and we've
9 completed the questioning and then we will do that before
10 we take our break.

11 Our second presentation this evening will
12 be New Waterford & Area Fish and Game Association. So,
13 before we begin with our first presentation of the
14 evening, two things.

15 One is that tomorrow, the final day of
16 these public hearings, is devoted to closing remarks, as
17 you know. We are going to start the day at 8:30 a.m.
18 rather than 9:00 a.m. I will mention this a little later
19 in the evening when we have more people here, but please
20 make a note of that.

21 Closing remarks are limited to those who
22 have already previously presented, so registered
23 presenters only can make closing remarks. If you are a
24 registered presenter and you wish to be registered to
25 make closing remarks, please contact Ms. Hendrickson to

1 register.

2 Just a couple of points about the closing
3 remarks. It's a 15-minute time limit. We only want the
4 spoken word, please, no use of AV equipment, and there
5 will be no questioning, not even questioning by the
6 Panel, believe it or not. We will sit and listen
7 quietly.

8 My second item that I need to put on the
9 record, Mr. Potter, the Sydney Tar Ponds Agency recently
10 submitted the response to Undertakings U-23A and B. In
11 reviewing these responses, the Panel notes that the costs
12 associated with the preventative works projects were
13 factored into the total cost for the on-site incineration
14 of all contaminated sediments in the Tar Cell and for the
15 full encapsulation of all contaminants.

16 Could you please provide the Panel with
17 revised cost estimates without the preventative works
18 costs?

19 MR. POTTER: Yes, we can do that. I think
20 Undertaking No. 9, I think, was also the same table, if I
21 have that -- it is, No. 9 is the same table. We'll pull
22 out the preventative works from that one as well.

23 THE CHAIRPERSON: Thank you very much.
24 So, now we will move to our first presentation. So, I'd
25 like to welcome Bennett Environmental Inc. to the

1 hearings. As you know, you have a 40-minute time limit
2 for your presentation and I will be indicating when
3 you're five minutes before the end.

4 So, we look forward to hearing your
5 presentation.

6 --- PRESENTATION BY BENNETT ENVIRONMENTAL INC.

7 (MR. MICHAEL MCSWEENEY)

8 MR. MCSWEENEY: Thank you, Panel Members,
9 good evening. My name is Mike McSweeney, I'm vice-
10 president environmental affairs with Bennett
11 Environmental. I have with me, on my right, Tom
12 Wesolowski, our VP engineering and technology, Steve
13 Flannery, our manager of engineering, and behind me
14 Flavio Campagnaro, our senior process engineer.

15 I'm here tonight for a couple of purposes.
16 The first is to express our strong support for the Sydney
17 Tar Ponds Agency and the proposal to use a temporarily-
18 located incinerator to destroy most of the hazardous
19 contaminants of the PCBs and PAHs from the Tar Ponds
20 and Coke Ovens Sites.

21 It's as Frank Potter said, "a home-grown
22 solution whose time has come," and we praise the Agency
23 in its commitment to find a safe and effective solution
24 to this long-standing problem.

25 We also praise the work and the passion of

1 so many others who spoke before us, like Donnie DeLeskie,
2 members of the Save Our Healthcare Committee, the Sierra
3 Club representatives and the countless other
4 representatives and residents of Sydney.

5 While we may not always agree on the
6 solutions put forward, we respect their opinions and
7 their right to voice it. After all, this is what
8 democracy is all about.

9 The other reason I'm here tonight is to
10 share with the Panel the decade of experience that
11 Bennett Environmental has in the high-temperature thermal
12 oxidation arena and how our experience might assist Panel
13 Members to better understand the need for developing very
14 tight specifications and very tight regulations for the
15 safe use of such a proposed technology in Sydney.

16 High-temperature thermal oxidation, now I
17 know most people don't like that term but that's exactly
18 what we do. We use heat to remove contaminants from the
19 material we treat, then we destroy those contaminants in
20 a subsequent thermal reaction.

21 The term "incineration" conjures up images
22 of fire and brimstone, but I'm sure we've all seen forest
23 fires in person or on TV and we all know in a forest fire
24 all that burns is the structures on the ground, trees and
25 grasses. Soil and sediments do not burn.

1 So, when we treat soil we don't incinerate
2 it, we heat the soil to very high temperatures to break
3 down and oxidize contaminants. Make no mistake, we don't
4 burn soil.

5 Bennett Environmental is a publicly-traded
6 company on the TSX and the AMEX and has expertise in
7 dealing safely with the remediation of hazardous soil and
8 debris, and it's because of this experience that we can
9 unequivocally say that the Tar Ponds Agency was
10 absolutely right to choose this technology in treating
11 PCB-contaminated soils.

12 Our technology has been described by the
13 EPA as the best available demonstrated technology in use
14 today for safely dealing with hazardous material such as
15 PCBs, dioxins and furans.

16 We're darn proud of our accomplishments
17 and the small role we play in the life cycle of
18 remediating hazardous soils and rendering them safe again
19 for reuse in residential or commercial applications or
20 for disposal in an engineered or secured landfill.

21 Bennett Environmental can treat some of
22 the most dangerous substances known and render them
23 almost harmless or prepare them for safe disposal in
24 secure landfills.

25 We believe the Agency's proposal presently

1 provides a workable solution to the unfair stigma that
2 Sydney has been labelled with, and as the Agency
3 mentioned in its presentation earlier in April,
4 incineration is a tried and true technology that works,
5 and our experience shows that it does so with very little
6 impact on the environment.

7 I can assure Panel Members that the
8 provincial and federal regulations that have been imposed
9 upon us by regulators are very strict and that firms like
10 ours must abide by those regulations, and we continually
11 strive to improve them.

12 We know this, as I've mentioned before,
13 because we have a decade of experience in safely removing
14 and remediating contaminants from soil. During this time
15 we have successfully processed hundreds of thousands of
16 tonnes of contaminated soil and restored acres and acres
17 of land back to public use throughout North America.

18 In fact, we have North America's largest
19 capacity in accepting and treating soils contaminated
20 with dioxins, furans, PCBs and PAHs. We have a well-
21 seasoned board of directors that represents where our
22 plants are currently located and where we hope to do
23 business, and which has experience -- broad experience in
24 corporate governance, environment and finance.

25 Our management team has the breadth and

1 depth of knowledge that should give comfort to
2 communities in which we do business. We work tirelessly
3 to ensure that Bennett is a leader in the environmental
4 solutions business -- the environmental solutions
5 business -- and we see ourselves as active
6 environmentalists.

7 We operate two plants dedicated to
8 cleaning up contaminated soil, debris, construction
9 materials and metals, and very soon we hope to increase
10 that to three with the opening of our plant in Belledune,
11 New Brunswick.

12 Our Cornwall plant which we've owned and
13 operated since 2002 focuses on remediating and recycling
14 PCB-contaminated metals and construction material. The
15 Cornwall plant employs 20 people and also uses high-
16 temperature thermal incineration.

17 It has achieved a destruction removal
18 efficiency of 99.9999 percent, known in the industry as
19 "six nines," which is a standard that many strive for
20 when it comes to destruction and removal of contaminants.

21 Our Quebec plant, Recupere Sol, is our
22 primary soil remediation facility and we've been
23 accredited to ISO 14000 and are very proud of that
24 accreditation.

25 RSI currently holds about 15 Certificates

1 of Authorization issued by the Quebec Ministry of
2 Sustainable Development, Environment and Parks. Prior to
3 issuing a Certificate of Authorization to treat specific
4 contaminants, the Ministry will require that the company
5 pass rigorous compliance tests.

6 Our Certificates of Authorization allow
7 RSI to remediate and clean soil that contains a wide
8 variety of contaminants. The remediation of these
9 contaminants is done through the use of very expensive
10 and sophisticated equipment and is based on our decade of
11 experience using science and technology. And I say
12 "science and technology" and I don't use that term
13 lightly, because it is at the root of all of our
14 facilities.

15 And before I get any further into our
16 remarks, I'd like to share a glimpse of that science and
17 technology with you so that you can better understand the
18 process of high-temperature incineration. Our experience
19 shows that building a successful environmental solutions
20 company rests on four key areas; operator training,
21 emergency procedures, monitoring, and annual compliance
22 testing. I'd like to take a moment to address each area.

23 Our employees are thoroughly trained in
24 the latest technology, processes and safety guidelines
25 involving high-temperature incineration. Health and

1 safety is fundamental to our company. We take it
2 seriously. After all, all our employees live and work in
3 the community where we locate our facilities.

4 To ensure our employees' health is not
5 jeopardized by treating PCB-contaminated soil, we require
6 mandatory annual blood testing, even though regulators
7 only require it every two years. Our results have
8 demonstrated no concern.

9 Our safety systems are among the most
10 stringent in the world when it comes to high-temperature
11 incineration. For example, our facilities in Cornwall
12 and Belledune use a thermal relief vent which is designed
13 to protect the surrounding community in the event of a
14 failure such as a power outage.

15 At Bennett Environmental all our plants
16 are equipped with an uninterruptible power supply and
17 backup generator so that in the event of a power outage
18 the system can be easily shut down without adversely
19 impacting the environment.

20 Our safety systems minimize the release of
21 particulates, any dust, and ensure that organic
22 contaminants are destroyed or captured.

23 RSI in Belledune conducts several
24 comprehensive monitoring programs. At RSI, for example,
25 our soil monitoring program has set a precedent in Quebec

1 and has been cited by the Minister of Environment as a
2 leading standard across the Province.

3 We monitor the soil at 12 stations located
4 within three kilometres of the plant. Further, we
5 monitor the soil at two other locations within 10 to 15
6 kilometres of the plant. We also conduct ongoing ambient
7 air monitoring at three stations around the plant and in
8 the town of St. Ambroise located two and a half
9 kilometres away.

10 Finally, we monitor five wells around the
11 plant to ensure we are not polluting the water table.
12 These monitoring programs provide us and, more
13 importantly, provide the citizens of the community and
14 the regulators with the information they need to ensure
15 that we operate well below the requirements set by
16 Government and that RSI, for example, poses no increased
17 health risk within the community.

18 Our Certificates of Authorization require
19 that RSI undergo annual Government compliance tests under
20 the watchful eyes of ministry officials. As you can see
21 from the attached slide, we consistently met or fell well
22 below the various regulatory standards.

23 For example, when it comes to dioxins and
24 furans -- the emissions of most concern to everyone -- we
25 fall well below the permissible regulatory limits by as

1 much as eight times better than the Canada-Wide Standard
2 of 80 picograms per reference cubic metre.

3 This slide also illustrates where RSI
4 stands in relation to the ambient air quality objectives
5 of the Federal Government and the Governments of Ontario
6 and Nova Scotia. As you can see, when you have further
7 time to read especially, the Bennett technology deployed
8 at RSI does demonstrably better than the regulations
9 currently in place in any of those provinces.

10 To the untrained eye these standards can
11 seem very cryptic, so let me reduce it to something we
12 can easily understand. If the dioxin and furan emissions
13 were compared to a grain of salt, the Canada-Wide
14 Standard would permit stack emissions of dioxins and
15 furans of less than six grains of salt per week, or 280
16 grains of salt a year.

17 So, if the proposed incinerator were to do
18 its work over the course of three years, that would be
19 820 grains of salt. Panel Members, that's the amount of
20 salt in this salt shaker, barely visible to the naked
21 eye.

22 But the Bennett technology does much, much
23 better than that. Our emissions for dioxins and furans
24 over the same three-year period would be less than one
25 grain of salt per week, in total less than 100 grains of

1 salt over the course of the three-year period.

2 So, when you look closely -- and it's very
3 hard to see these grains of salt but that's our point --
4 despite what you may hear and read from those who
5 desperately oppose the use of incineration, the reality
6 is that if the technology is deployed and regulated, the
7 dioxin and furan stack emissions are negligible. In
8 fact, they are non-detect.

9 As researchers noted in a presentation
10 last week from Cape Breton University, they said that a
11 well-designed, well-built, well-operated and well-
12 maintained rotary kiln incinerator should be able -- or
13 capable of operating within all of the applicable federal
14 and provincial codes and guidelines.

15 That, Panel Members, is why we continually
16 receive our Certificates of Authorization from Quebec's
17 Ministry of the Environment.

18 And I might add, recently the Quebec
19 Government has imposed upon Bennett Environmental and RSI
20 the most stringent emission standards for dioxins and
21 furans in North America, and we were delighted to have
22 that imposed upon us because we can consistently meet
23 them time and time again.

24 At Bennett we do not fear Government
25 regulation. I would encourage the Panel, when examining

1 the standards and regulations that should be applied to
2 the temporarily-located incinerator, to really push for
3 stringent emission regulations.

4 You need to allow for the treatment of
5 hazardous contaminated soils, but at the same time you
6 need to protect the health and safety of the community.
7 The technology is sound, it works, and there is no need
8 for fear.

9 Some presenters have said that property
10 values decline in areas where high-temperature
11 incinerators are located. I would encourage everyone to
12 visit the community of St. Ambroise. The findings show
13 exactly the opposite. Property values are increasing and
14 the demand for single-family homes in that town, some two
15 and a half kilometres away, is increasing.

16 We understand, though, the emotion
17 involved here and how controversial the thought of having
18 an incinerator located in one's community can be, and
19 that's why we work very, very hard with the communities
20 where our plants are located to work with the
21 communities. We want to be part of the fabric of the
22 community and to help the neighbours understand the
23 science and technology.

24 At RSI, for example, we undertake regular
25 public opinion surveys to gauge the community's opinion

1 on how we measure up as corporate citizens. At all our
2 facilities we work hard to build transparent, positive
3 and strong relationships with the provincial and federal
4 regulators.

5 We have great relationships in Quebec,
6 contrary to what you've heard in the past. For example,
7 when there was a misunderstanding about elevated levels
8 of dioxins and furans in St. Ambroise, we were able to
9 work very closely with the Ministry of Environment in
10 Quebec to demonstrate that RSI was not responsible for
11 those elevated levels.

12 The Ministry then decided to take no
13 further action on the pre-order that it had given notice
14 to issue, and, in fact, in January of this year it gave
15 RSI an additional permit to process dioxin and furan
16 contaminated soil primarily from the United States. We
17 are the only company in Canada and the United States that
18 can process dioxin and furan contaminated soil.

19 RSI is not our only asset when it comes to
20 remediation. We have finished construction on a \$32
21 million dollar plant in Belledune, New Brunswick. Of
22 that \$32 million dollars, over \$12 million dollars was
23 spent on emission control and monitoring systems.

24 This plant builds upon our expertise
25 developed over the last 10 years and it has recently

1 undergone compliance testing and we expect an operating
2 permit to be issued later this year.

3 Let me show you the extensive use of
4 technology so that you can better understand the need for
5 very tight specifications and regulations when designing
6 a high-temperature incinerator. We'll be competing,
7 Madam Chair, at next year's Oscars.

8 So I think this video clearly demonstrates
9 that the high temperature incineration proposed is a
10 viable solution and has truly become part of the tool kit
11 in cleaning up manmade environmental problems.

12 What this video can't show, however, is
13 how Bennett stands apart from its competitors. I hope
14 the video will provide you with insight into the high
15 temperature incineration industry, and the levels of
16 service and safeguards that are achievable in the
17 marketplace today.

18 We believe we're the only company in North
19 America that actually provides clients with a Certificate
20 of Destruction confirming the contaminated soil, that
21 they've sent to us for remediation, has actually been
22 treated, and the contaminants have been destroyed. The
23 last thing any community wants is to go through a
24 controversial process, such as this, where there is no
25 guarantee that the problem, once treated, is safe for

1 reuse.

2 Incineration companies need to stand
3 behind their technology and provide assurances to the
4 communities where they operate that they can do what they
5 say. We are one of those companies.

6 As you saw from the video, we don't use
7 small mobile incinerators, we don't plan on coal-burning
8 soil in a cement plant, we don't convert asphalt plants
9 in an attempt to destroy high level PCBs contaminated
10 with high BTU levels.

11 The industry has changed. The public
12 demands much more, and we would ask you, the panel, to
13 ensure that the specs for such an incinerator in Sydney
14 are the tightest specs of this new century. This is the
15 legacy that you can leave Sydney, and help take the
16 negative stigma that Sydney has and turn the Tar Ponds
17 into a shining example of today's science and technology.

18 We would implore the panel to ensure that
19 any incinerator that is located in Sydney will operate
20 under the strictest oversight by provincial and federal
21 regulators.

22 Take our company, for example, our
23 potential annual revenues for one operating plant exceed
24 50 million. We have no long-term debt. We can bond any
25 project of any size. We have expertise in transporting

1 and treating contaminated materials. We have business
2 partnerships with leading Canadian and US environmental
3 contractors. We've designed and built two plants
4 ourselves, so we understand the process thoroughly. We
5 can meet stringent North American and European standards,
6 and we've undergone environmental audits by Canadian and
7 US Federal, Provincial and State organizations.

8 Simply put, we set the standard when it
9 comes to high temperature incineration in Canada and
10 across North America.

11 We've worked on big projects and small
12 ones. Let me show you some of the projects we've worked
13 on, to give you a better sense of why high temperature
14 incineration technology is being used throughout North
15 America.

16 (VIDEO PRESENTATION - NOT TRANSCRIBED)

17 The video shows only a few of the projects
18 we've worked on, but I really think demonstrates the
19 extent of our abilities. Many projects across the
20 country are using incineration and using Bennett to
21 safely treat everything from creosote, PCBs, PAHs and
22 other chlorinated hydrocarbons.

23 The agency's plan, panel members, is well
24 founded and well researched. It clearly advocates the
25 home-grown solution to cleaning up one of Canada's most

1 beautiful and picturesque communities.

2 If I can "toot my own horn" for a moment,
3 we believe we are the best at what we do, but, more
4 importantly, we care about the people in the community
5 where we work.

6 We believe in hiring locally and
7 participating in the community where our plants are
8 located.

9 In Saglek, for example, we hired and
10 trained local Inuit to operate the necessary equipment we
11 needed to remediate a former military site left abandoned
12 years ago.

13 We have the demonstrated experience to
14 work on such jobs, expertise as using ocean-going ships,
15 barges, rail and trucks to move material from one site to
16 another, ensuring that we only use Federal Government
17 regulated transportation vessels and equipment for the
18 movement of the hazardous materials, and the ability to
19 design, contract and build an incinerator in about 12
20 months.

21 Using incineration for this project can be
22 successful and make Sydney the envy of the world once the
23 Tar Ponds have been cleaned up, but panel members must
24 ensure that when incineration is considered, the
25 companies bidding on that project will do more than just

1 follow regulations.

2 Companies like ours must seek to do better
3 than the regulations. They must want to work with the
4 local community to do what it takes to get the job done,
5 and get it done safely.

6 As I understand, your mandate is to review
7 the Environmental Impact Statement. I hope that we have
8 helped you better understand why we support the Sydney
9 Tar Ponds Agency and its recommendation.

10 I hope I've been able to demystify the art
11 of high temperature incineration for you, and have
12 clearly demonstrated why it is a viable and safe method
13 for dealing with PCB contaminated soils.

14 Thank you, again, for this opportunity,
15 and for the attention, and we are now ready to answer any
16 questions you may have.

17 --- QUESTIONED BY THE JOINT REVIEW PANEL:

18 THE CHAIRPERSON: Mr. McSweeney, thank you
19 very much for your presentation, and for those videos.
20 The panel have a few questions, I think.

21 You mentioned in your presentation, you
22 make reference to a Thermal Relief Vent. However, you
23 don't say any more about that. Could you explain:

24 "For example, at our facilities in
25 Cornwall and Belledune, our Thermal

1 Relief Vent is a safety system
2 designed to protect the surrounding
3 community in the event of a failure,
4 such as a power outage."

5 Could you please describe what your
6 Thermal Relief Vent does, and how it protects
7 communities?

8 MR. MCSWEENEY: Absolutely. Flavio, would
9 you handle that question, please?

10 MR. CAMPAGNARO: Sure. The Thermal Relief
11 Vent, the way the system is designed, we put in -- the
12 secondary combustion chamber is a vertical chamber. What
13 that allows is it takes advantage of natural draft. Hot
14 air rises, so we can safely -- if the power goes out and
15 we can't operate some of the equipment normally until the
16 emergency generator can restore power, what happens is,
17 because the chamber is vertical, the gases will vent
18 safely vertically while still going through the entire
19 length of the chamber. And by this means -- we have a
20 UPS on the burner in that chamber so the temperature is
21 maintained, and therefore we destroy the contaminants
22 even in the event of an electrical failure during this
23 time.

24 MR. MCSWEENEY: Madam Chair, the UPS is
25 the Uninterruptible Power Supply. So what happens is the

1 contaminants will come up the secondary combustion
2 chamber and be destroyed, because it is still operating.

3 What may come through the Thermal Relief
4 Vent is some dust and particulate, but no contaminants.
5 Because the secondary combustion chamber is still
6 operating at 1000 degrees Celsius, it is destroying the
7 harmful contaminants.

8 THE CHAIRPERSON: Is there any monitoring
9 if there are releases through the Thermal Relief Vent?

10 MR. MCSWEENEY: Flavio.

11 MR. CAMPAGNARO: In Belledune, we have an
12 oxygen monitor and a total organic carbon monitor at the
13 top of the SCC. We're operating at 1000 degrees so
14 there's not a lot of monitors that can operate in that
15 condition, but if we're watching the oxygen level and the
16 total carbon level, we'll know whether we're doing proper
17 destruction or not.

18 MR. MCSWEENEY: Those are very good
19 indicators. I might add, Madam Chair, for example, that
20 our facility in Saint Ambroise, Quebec, RSI, in 2005
21 there were zero incidents, zero incidents where the
22 Thermal Relief Vent was open. In 2004, there were four
23 incidents with a total of 39 minutes. In 2003, there
24 were eight incidents, and of those eight incidents the
25 Ministry of the Environment asked us to open the Thermal

1 Relief Vent on three occasions, so that they could
2 voluntarily have us measure the level of contaminants
3 that were coming out of the stack. And in 2002, there
4 were seven incidents of 58 minutes.

5 So, contrary to what you've heard in the
6 past, it's not a monthly occurrence, it's not a daily
7 occurrence, it's not a weekly occurrence. In fact, at
8 RSI, it was zero in 2005 and four in 2004.

9 THE CHAIRPERSON: Just a follow up to
10 that. Were you, in fact, contacted by the Sydney Tar
11 Ponds Agency to provide information on upset conditions?
12 They've indicated to us that they did speak with
13 operators of incinerators when they were developing their
14 -- what they used in their modelling. Were you one of
15 those ---

16 MR. MCSWEENEY: I don't think I was asked,
17 but I've read most of the transcripts as they were coming
18 out, so that's why I had this information available
19 today.

20 THE CHAIRPERSON: Okay. Thank you.

21 MR. CHARLES: What about your Cornwall
22 plant, have you got any information about incidents where
23 you had to use the relief valve in the Cornwall plant?

24 MR. MCSWEENEY: Mr. Flannery is the -- in
25 addition to being our manager of engineers, he manages

1 that facility, as well. Steve, could you talk about
2 that?

3 MR. FLANNERY: Yes. The Cornwall facility
4 is equipped with a similar system. It is a Thermal
5 Relief Vent that will -- that is backed up on a back-up
6 generator, to ensure that the secondary combustion
7 chamber is maintained at 1000 degrees, in fact, at its
8 operating temperature, and we have had incidences in the
9 past where this vent has been released. I haven't
10 brought that particular detail, but we can certainly
11 undertake to do so.

12 Again, the frequency is in the same order
13 of magnitude that Michael's explained about the other
14 facilities that we have, and it isn't a -- it has not
15 proved to be a problematic situation for us.

16 MR. CHARLES: Could we have that
17 information, just so that we have a complete pictures?[u]

18 MR. FLANNERY: Yeah, we'll get that to you
19 by tomorrow.

20 THE CHAIRPERSON: I'm just going to say
21 that for the record that that is a formal undertaking.
22 Thank you.

23 MR. CHARLES: My second question goes to
24 the emission standards that are imposed in Quebec.

25 You note that the Canada-wide standard is

1 80 picograms per reference cubic meter, and you say that
2 Quebec's emission standards are more stringent. How much
3 more stringent?

4 MR. MCSWEENEY: Flavio.

5 MR. CAMPAGNARO: I can speak to that one.
6 The Quebec emission standard for dioxins follows the
7 Canada-wide standard.

8 What Michael was referring to and the most
9 stringent in Canada is we also have an ambient air
10 quality standard that we're required to meet that's at
11 ground level, and they imposed, I believe it's, a 500
12 centigram per cubic meter limit on the facility, and I'll
13 have to correct that number, I'm pulling from my memory,
14 but I believe it's 10 times lower than the Canadian
15 ambient air standard at present.

16 MR. CHARLES: Okay. I misunderstood your
17 presentation. I thought you were talking about dioxins
18 and furans, but you're following the Canada-wide standard
19 for those.

20 MR. MCSWEENEY: We're eight times below
21 the Canada-wide standard.

22 MR. CHARLES: You're eight times below
23 that.

24 MR. MCSWEENEY: And they have put the most
25 stringent, I guess, on the ambient air monitoring.

1 MR. CAMPAGNARO: Okay. I'll just clarify
2 one issue there. The Canada-wide standard applies to the
3 emissions in the stack, whereas the ambient air quality
4 criteria apply at ground level, so we have to meet both
5 standards. And, in both cases, our standard in the stack
6 is Canada-wide standard, and at ground level we have to
7 meet the new basically one tenth of the Canada ambient
8 air quality standard.

9 And I will follow up with the exact
10 numbers, because I'm pulling them from memory on the
11 ambient air number.

12 MR. CHARLES: All right. My third
13 question really relates to the pollution control
14 equipment, and I'm not sure whether I recall this, but I
15 think for your Belledune operation, you quote something
16 like 32 million as the cost of the facility. But what
17 I'm interested in is the pollution equipment, which you
18 say cost 12 million, and my main question is, in any
19 incinerator what sort of pollution equipment do you think
20 is essential?

21 You've mentioned the baghouse, and you've
22 mentioned some wet scrubbers, and so on.

23 You know, if we're going to impose the
24 most stringent conditions on any incinerator that may or
25 may not get approved here, or recommended, what kind of

1 pollution control would you think ought to be imposed to
2 meet stringent requirements?

3 MR. MCSWEENEY: Flavio will answer that,
4 but I would say, at the outset, every -- what we have in
5 Belledune is truly the -- I hate to use, you know, the
6 old state-of-the art. I mean, I can't think of something
7 off the top of my head, but, I mean, we have really gone
8 overboard and put the gold standard in for emission
9 controls.

10 But Flavio, what would you say are the
11 things that the panel might consider recommending?

12 MR. CAMPAGNARO: Okay. I would hesitate
13 to be prescriptive in what technologies are applied
14 because there's very frequently new technologies, or new
15 options.

16 So I would recommend to the panel that if
17 they go that route, they impose the numerical standards
18 on total emissions from the facility as a whole, taking
19 the whole envelope of the facility, including all the
20 fugitive emissions, and any emissions from material
21 handling, and not just focus on, say, the stack.

22 But to answer directly your question,
23 state-of-the-art and particulate control would be a
24 fabric filter. Electrostatic precipitators may work, but
25 we find that fabric filters work quite well. For acid

1 gases, wet scrubbers. There's a few alternate
2 technologies that have comparable performance, and
3 activated carbon scrubbing for capturing trace metals and
4 mercury.

5 MR. CHARLES: There are basically three
6 levels of pollution control equipment that we would want
7 to see put in place in any incinerator.

8 MR. CAMPAGNARO: Yeah. And then the
9 fourth would be a rapid quench following the secondary
10 combustion chamber to prevent dioxin formation.

11 MR. CHARLES: Okay. I guess my final
12 question is, how do you inform the local community about
13 the results of any monitoring programme that you're
14 carrying out, or emission control monitoring?

15 MR. MCSWEENEY: In Cornwall, for example,
16 we have quarterly meetings of the Citizens Liaison
17 Committee or the Public Liaison Committee. We have a
18 Citizens Liaison Committee, also, in Saint Ambroise,
19 Quebec, and in Belledune, even though it's not operating,
20 the Citizens Liaison Committee has been working with us
21 all along.

22 So we primarily do it through these
23 quarterly meetings, or as required -- on an as-required
24 basis.

25 MR. CHARLES: There's generally some lag

1 time, isn't there, between the time you take the readings
2 and the time that they're sort of made public and
3 publicized?

4 Do you do any real-time reading
5 publication?

6 MR. FLANNERY: I wanted to add, in
7 addition to what Michael was saying with respect to our
8 Cornwall facility, we were -- as part of our C of A we
9 were required to do a 5-year technical review of the
10 facility that was part of the -- and it was conditional
11 that the condition or the RFP for that 5-year review was
12 agreed to by the Public Liaison Committee.

13 So it was -- over the course of about 6 or
14 7 months we formalized a formal RFP that was sent out for
15 bid, and we then brought in a consulting engineering firm
16 that happened to be -- the choice in this instance was
17 Conestoga Rovers, and they completed a complete technical
18 review on the facility that was presented to the Public
19 Liaison Committee just recently last October.

20 So that's one thing I wanted to add to our
21 continuing efforts in Cornwall.

22 But, in terms of the timing of data, in
23 our C of A there's certain very specific timelines that
24 we have to adhere to. By memory I can't recall them, but
25 they occur to me to be a 30-day time interval or a 60-day

1 time interval.

2 Once the tests are done, we have to have
3 the report available to both the Ministry and our Public
4 Liaison Committee. So they're not -- the delay factor
5 here is regulated in practical terms, what we can get
6 tests completed in, and part of our C of A.

7 If you require exact detail, we can ---

8 MR. MCSWEENEY: Well, also we have
9 continuous emission monitoring, so we have that
10 information available for many of the emissions, you
11 know, on a daily basis.

12 So if there was -- you know, we try and be
13 an open and transparent company. If anybody came and
14 asked us, we would give them the information. The
15 Ministry in Ontario and in Quebec, I mean, it's almost an
16 open invitation. They can drop by, and have been
17 dropping by, you know, at their leisure. You know,
18 sometimes they call ahead, sometimes they just drop by,
19 but we try and operate in a very open and transparent
20 fashion.

21 MR. CHARLES: Thank you very much.

22 DR. LAPIERRE: I have two questions. The
23 first one relates to the salt shaker and the drop of the
24 salt. Number one is, is that an 8-hour operation, 24
25 hours, 365 days a year? How much operation to get that

1 ---

2 MR. MCSWEENEY: Yes, it is. I think the
3 1819 grains of salt, which is the Canada-wide standard,
4 would be based on 6,000 hours, which is 3 years of round-
5 the-clock 52 weeks a year.

6 DR. LAPIERRE: Okay. So it's 365 ---

7 MR. MCSWEENEY: Yeah, we just took, say --
8 the plan is to have the temporarily located incinerator
9 operate for a 3-year period. So we just based it on a 3-
10 year period.

11 DR. LAPIERRE: Okay. My second question
12 relates to -- I'm sure you're aware, dioxins and furans
13 are chemicals that most people don't like, and if you
14 release these to the atmosphere, they can -- they don't
15 disappear, they can bio-accumulate.

16 And I guess my question is, prior to your
17 permits being -- you being permitted to operate, are you
18 required to produce a risk assessment modelling for the
19 operational time of your -- I'm sure your plants must be
20 built for 25 years or so.

21 MR. MCSWEENEY: The short answer is yes,
22 we do have to provide a risk assessment, and then we
23 undergo compliance testing or, you know, we do test
24 burns, and we start out with clean soil, and then we
25 start introducing the contaminated soil, and all of that

1 is -- at RSI and Belledune actually it's done before the
2 permit is even issued.

3 So when we -- we have a niche market for
4 treating dioxin and furan contaminated soil. Nobody else
5 in North America can treat dioxin and furan contaminated
6 soil.

7 Before the Ministry of the Environment in
8 Quebec would give us a permit to treat that, we had to
9 run compliance tests using that actual material, and that
10 was monitored by ourselves through an independent
11 environmental consulting engineer, and then the Ministry
12 also took samples, so that we had two samples going out
13 for analysis so they could be cross-verified.

14 DR. LAPIERRE: Were those spike samples?

15 MR. MCSWEENEY: No, they -- those were --
16 no, they were not spike samples. Those were actual soil
17 from -- in the case in RSI, it was soil from a project in
18 Alabama. Track 15?

19 DR. LAPIERRE: So in Quebec, if I
20 understand correctly, and in Belledune, you have produced
21 or developed a risk assessment model of the furans and
22 dioxins that will be produced from the -- from the
23 operations.

24 Now that you've been -- I know in
25 Belledune, you're not operational yet, but in Quebec, you

1 are.

2 Now could you provide us with the data
3 that you modelled and the data that you collected from
4 your ground monitoring, as you've indicated that you have
5 ground monitoring?

6 MR. MCSWEENEY: I could certainly -- I
7 certainly could look into that.

8 DR. LAPIERRE: Okay. [u] And could you
9 provide us the -- what I'd like to see is what your model
10 projected and what is the actual data that you collected
11 on the ground, because you indicated that you have a
12 series of monitors. And that plant has been operating
13 for two years?

14 MR. MCSWEENEY: Which plant?

15 DR. LAPIERRE: St. Ambroise.

16 MR. MCSWEENEY: No, it's been operating
17 for ten.

18 DR. LAPIERRE: Oh, ten. All the better.

19 MR. MCSWEENEY: Yeah. Yeah, I think to
20 our new -- to the newest standards, we've been doing it
21 at least now for 10 months, Flavio?

22 MR. CAMPAGNARO: Something like that.

23 MR. MCSWEENEY: Something like that. So
24 is the deadline Friday for this information?

25 DR. LAPIERRE: The deadline is Friday

1 night at 12:00.

2 MR. MCSWEENEY: Okay. We'll do our best
3 to get it to you.

4 DR. LAPIERRE: Okay.

5 THE CHAIRPERSON: Okay. We'll enter that
6 as a second formal undertaking.

7 DR. LAPIERRE: The next question I have
8 relates to public acceptability of siting incinerators.
9 We've heard a lot of information here over the last three
10 weeks on the public acceptability. We've had medical
11 people come before us and indicate their views on it.
12 We've had local citizens -- some for, some against.

13 Now, in siting your incinerators in Quebec
14 and Belledune, what was the public acceptability that
15 you've experienced? Did people readily accept them?

16 MR. MCSWEENEY: I can't speak for St.
17 Ambroise, Quebec, because none of us were here when that
18 plant was sited. Or Flavio, were you there?

19 MR. CAMPAGNARO: Yeah.

20 MR. MCSWEENEY: And do you recall what it
21 was -- what it was like when that was ---

22 MR. CAMPAGNARO: Okay. On St. Ambroise, I
23 came into the process as they were sort of finishing
24 construction of the facility. So the initial siting, I
25 wasn't there, but it was very similar to this. A lot of

1 fear initially. People thought birds were going to drop
2 from the sky, etc.

3 But as time went on and -- St. Ambroise is
4 a small community. Most of our employees live in the
5 community. And within a year or two, as we operated,
6 beyond a few people that were adamantly opposed, the
7 majority of the population saw the facility, saw how much
8 time and effort we put into making sure that it was a
9 state of the art and good facility and that the people
10 operating the facility lived in the community and grew up
11 in the community. The majority opinion sort of shifted
12 to neutral, to accepting.

13 It's never going to be 100 percent
14 accepted technology, but acceptance in the community has
15 grown dramatically.

16 MR. MCSWEENEY: I think as time goes by
17 and as you work in the community and as you become part
18 of the fabric of the community -- for example, in the
19 last two years, we've given the community over five
20 hundred thousand dollars (\$500,000) for hockey teams,
21 baseball teams, singing festivals, winter carnivals, all
22 sorts of sponsorships, so they really see us as working
23 -- we have a very transparent and open -- you know, we
24 process -- they know the rigour that the provincial
25 government in Quebec has imposed upon us.

1 And it's not just the Ministry of
2 Environment Sustainability and Parks in Quebec. It's
3 also the Ministry of Agriculture, it's the Ministry of
4 Health. We are under very very tight scrutiny there, and
5 we welcome that, and the population knows that, the Mayor
6 of St. Ambroise knows that. And so it's -- you know,
7 it's a good place to do business.

8 You know, up in the Saguenay, you know,
9 Alcan operates a huge melting operation up there. They
10 have a lot of forest products industry up there, so
11 they're used to that kind of environment.

12 In Belledune, I think that there is a
13 small group of people that are still not happy that the
14 plant has been built. As Flavio said, I think that's to
15 be accepted. And I believe that everybody has the right
16 to their opinion. We welcome their comments and
17 criticisms. It forces us to do better.

18 We had a letter from the five Mayors of
19 the Chaleur Region sent to the Premier of New Brunswick
20 just this past March, saying "Get on with it. Get this
21 plant up and running. This is an area that really needs
22 employment." And the five Mayors unanimously passed a
23 resolution or signed a letter imploring the Premier to
24 get on with this.

25 When we had our compliance test there the

1 first week of April, there were, you know, more than a
2 dozen people, you know, coming by and applying for jobs.
3 In fact, some of the relatives of one of the protestors
4 had been in to apply for a job, you know, just ahead of
5 the protestors.

6 So, you know, these are things that
7 happen. We welcome them. We're not afraid of them. We
8 want to work with the community. At the end of the day,
9 though, it's the results that count, and it's the results
10 of showing that we are eight times better than the
11 Canada-wide standard for emissions of dioxins and furans.

12 So it is our operating results and our
13 experience at the end of the day that I think really
14 paves the way for community acceptance.

15 DR. LAPIERRE: I'd just like to have a
16 follow-up question. In St. Ambroise, you've been
17 operating for eight years. And normally have you
18 conducted public poles as a baseline data, to collect --
19 like, it'd be nice to know what people think before you
20 start, so you can get poling. Have you poled before,
21 during and after an operational phase?

22 MR. MCSWEENEY: Yes.

23 DR. LAPIERRE: And would that data be
24 available?

25 MR. MCSWEENEY: Yes, Mr. LaPierre. It's

1 not eight years. It's 10 years.

2 DR. LAPIERRE: Ten, ten, ten.

3 MR. MCSWEENEY: And I'd be happy to take
4 that as the third undertaking. The results are -- the
5 pole was undertaking, of course, in French ---

6 DR. LAPIERRE: That's fine.

7 MR. MCSWEENEY: --- and it is only
8 available in French, but we will -- [u] if the Chair
9 would like, we'll make that our third undertaking and
10 provide you with the last two surveys. And if I have the
11 last three, I'll get you those too. I'll get you
12 whatever we have.

13 DR. LAPIERRE: That's fine. Do you have
14 any in Belledune?

15 MR. MCSWEENEY: No we haven't done any
16 public surveying there as yet.

17 DR. LAPIERRE: Okay. Thank you, Madame
18 Chair.

19 THE CHAIRPERSON: I just have one last
20 question, which is how do you monitor fugitive emissions.

21 MR. MCSWEENEY: Flavio?

22 MR. CAMPAGNARO: I believe, Mike, if you
23 can go back a few slides, we have ambient air monitoring
24 stations all around the plant -- all around the facility
25 at various distances from the facility.

1 We're sampling for PCBs, dioxins,
2 particulate, acid gasses, etc., in a defined pattern. So
3 that's pretty well how we monitor.

4 At Belledune, we've enclosed the entire
5 facility inside a building to basically eliminate
6 fugitive emissions. And most of RSI is enclosed in the
7 same manner.

8 THE CHAIRPERSON: So are there still
9 fugitive emissions within the building but they're --
10 they're ---

11 MR. CAMPAGNARO: Yeah, they're captured by
12 the ---

13 THE CHAIRPERSON: --- are they directed in
14 some ---

15 MR. CAMPAGNARO: Yeah, they're captured by
16 the ventilation system, and then there's a fabric filter
17 and activated carbon system to scrub those gasses or the
18 air so that contaminants aren't released.

19 THE CHAIRPERSON: Thank you. I'd now like
20 to provide an opportunity for other people to ask
21 questions. I'm going to take questions until about 7:30,
22 where we'll then move to housekeeping items before we
23 take our break. So depending on how many people want to
24 ask questions, that will depend how much time you get.

25 But first of all, I am going to go to the

1 Tar Ponds Agency. Mr. Potter, do you have questions for
2 the presenter?

3 --- QUESTIONED BY SYDNEY TAR PONDS AGENCY (MR. FRANK
4 POTTER)

5 MR. POTTER: Yes, thank you, Madame Chair.
6 I have two questions. Did the regulators have input on
7 the design of the facility?

8 MR. MCSWEENEY: Flavio, do you know, and
9 Steve, do you know? Flavio for Quebec, and Steve for
10 Belledune?

11 MR. CAMPAGNARO: I don't know in Quebec.
12 The design was done just before I began at Bennett. And
13 I'll defer to Steve on Belledune.

14 MR. FLANNERY: Belledune, they certainly
15 had direct influence with respect to the emissions that
16 we were supposed to meet. These were defined at the very
17 early stage before equipment was specified and selected.
18 But even as we proceeded, there were a number of meetings
19 to review the design and assess the technical or the
20 theoretical capability of what we were producing or what
21 we were planning to construct against what they were
22 initially expecting us to meet.

23 We had an interface influence in this
24 discussion. Jacques Whitford was involved in this back-
25 and-forth communication. And for example, evaluating the

1 complete integrity of the enclosure of the Belledune
2 facility was a very key focus of the Ministry in New
3 Brunswick.

4 So they did have involvement in it from
5 the standards and emissions that we were supposed to
6 meet, but as well with the methodology that we were going
7 to meet it with.

8 MR. POTTER: Thank you. You talked about
9 dioxins and furans. Have you looked at continuous
10 emission monitoring for that?

11 MR. CAMPAGNARO: Continuous emissions
12 monitoring isn't possible on dioxin at this time, just
13 due to the minute quantities that are there are very
14 difficult to detect.

15 The closest system is there's a couple new
16 systems in Europe that are just beginning to be used
17 where they will take a sample from the stack for a period
18 of roughly two weeks. And then you would send that
19 sample to the lab, and two weeks later you would have
20 your result. So there isn't a continuous monitor at this
21 time.

22 MR. POTTER: Thank you. And I'll just add
23 that we did contact Bennett when we were looking at
24 incinerators around the country and the U.S.

25 Thank you, Madame Chair. That's all.

1 THE CHAIRPERSON: Thank you, Mr. Potter.
2 Can I see how many of the registered presenters first
3 have questions. Mr. Lelandais, Ms. MacLellan, Ms. Kane.
4 And Ms. May, yes, I see you.

5 Well, I'm going to take you in the order
6 that I said there, so five minutes maximum, please. Mr.
7 Lelandais.

8 --- QUESTIONED BY MR. HENRY LELANDAIS

9 MR. LELANDAIS: Thank you, Madame Chair.
10 I was hoping for 20 minutes, but I guess I'll have to ---

11 THE CHAIRPERSON: You can hope.

12 MR. LELANDAIS: I can scrap half of my
13 papers. Mr. McSweeney, is it? My first question is to
14 you. Before I -- no, I only have five minutes.

15 Are you familiar with the benzene rings?

16 MR. MCSWEENEY: What kind of rings?

17 MR. LELANDAIS: Benzene rings, so called,
18 that show the carbon and the chlorine replacement of the
19 carbons at the points.

20 MR. MCSWEENEY: I'm going to have you
21 address Mr. Campagnaro, who is our chemical engineer.

22 MR. LELANDAIS: Okay. Any of you
23 gentlemen on the panel, are you familiar with the
24 formation of dioxin and PCBs from the precursors that
25 contain the chlorine where the chlorine replaces the

1 carbon at different positions on this hexagon here?

2 MR. CAMPAGNARO: Yes, of course I am.

3 MR. LELANDAIS: You're familiar with that.

4 Okay. Now, my question would be are your emission
5 controls with regard to dioxins, particularly dioxins
6 that would form in the latter stages, for instance, by
7 the dunoval (sp) process where you're forming dioxins on
8 the particulate matters from precursors in that
9 temperature window, particularly the 500/600 degree area,
10 and where the dioxins form in different degrees of
11 toxicity depending on where the chlorine replaced the
12 carbon at these six points around the hexagon.

13 Would your monitor -- your control
14 equipment then be able to destroy or prevent the
15 formation of the dioxins of the three major toxicities,
16 the pyras (sp), the tetras (sp), depending on where these
17 are formed -- because each one is a bit more toxic than
18 the others.

19 Are they all covered, all the degrees of
20 toxicity of dioxin, by your emission controls?

21 MR. WESOLOWSKI: If I may answer the
22 question. In order to have dioxins in a chemical
23 reaction, you need time and temperature and precursors.

24 MR. LELANDAIS: Yes.

25 MR. WESOLOWSKI: What we do we avoid the

1 temperature zone that dioxins could be formed by
2 quenching very fast very hot gas, so the chances of
3 dioxin being formed are very small.

4 But first of all, we bring the
5 contaminants to the temperature which will break all the
6 bonds. So we don't have them at the beginning. Then we
7 quench it very fast in a very short period of time. So
8 the time requirements and temperature requirements for
9 formation of dioxins are denied, so they have no chance
10 to be formed.

11 And as additional precautions, we inject
12 activated carbon into the system, which would capture any
13 residue of dioxins that may happen to be there. So we do
14 have controls. It's a quick quench. It's a well-known
15 and well-proven dioxin control technology plus activated
16 carbon capture.

17 MR. LELANDAIS: Thank you, sir. It
18 doesn't completely remove all the dioxins in that
19 respect. However, you're using activated carbon as a
20 removal for any dioxins that might form, and the
21 activated carbon is not known to completely remove all
22 dioxins that might form. Now, my second -- pardon me?

23 MR. WESOLOWSKI: If I may answer this
24 question -- this statement. You're absolutely right, but
25 if you look at our results, it shows that we are removing

1 majority of the dioxins. We are getting to seven-ninths
2 of destruction efficiency or even better.

3 So we have the best technology that you
4 can have. And if you ask me whether we remove every
5 single molecule, the answer is absolutely not. But do we
6 remove every dioxin molecule that could be removed? Yes.

7 MR. LELANDAIS: Okay. Thank you. My
8 other question is how do you explain the fact that in the
9 Recupere Sol in Quebec, you were shut down for quite a
10 few months in 2004, part of 2005, which would explain why
11 you had no Rolla valves for that period probably.

12 But your emissions climbed considerably
13 during that 2003 and 2004 to the point where there was a
14 reprimand from the Department of Environment of Quebec,
15 and more stringent monitoring controls were put on. You
16 ignored some of the orders from the Department of the
17 Enviro. The order was issued as a result of the
18 observation of abnormally elevated concentrations of
19 dioxins and furans in the surrounding area.

20 That was reported by RSI and also by the
21 Ministry of the Environment of Quebec in 2003 and 2004.
22 Yet you claim that your state of the art is the best in
23 the world, and this kind of contradicts that.

24 MR. MCSWEENEY: Thank you for that
25 question. As I mentioned earlier, I think in a response

1 to Mr. LaPierre, St. Ambroise in the Saguenay is home to
2 Alcan and many forest industries, in addition to Recupere
3 Sol.

4 In September of '04, the Ministry gave
5 notice that they -- in a pre-order that we needed to do
6 "A", "B" and "C". Over the course of 10 or 12 months, we
7 demonstrated to the Ministry of the Environment in Quebec
8 that they were wrong and that Recupere Sol was not
9 responsible for the elevated levels of dioxin and furans
10 in St. Ambroise. In fact, the levels of dioxin and
11 furans in the Village of St. Ambroise were higher than
12 they were at Recupere Sol.

13 So the Ministry was wrong, the Minister
14 was wrong, and after 10 months of discussions, we worked
15 with the Ministry to develop more stringent regulations
16 and monitoring, and we were happy to do so. And the pre-
17 order was withdrawn in, I believe, December of 2005.

18 Usually when a Minister gives notice of a
19 pre-order, an order is imminent. The order was taken off
20 the table after the discussions and the evidence that we
21 were not responsible for the elevated levels of dioxins
22 and furans.

23 And then in January of 2006, following our
24 compliance tests with the dioxin and furan contaminated
25 soils in April, the compliance tests in April of 2005, we

1 were given an additional certificate of authorization to
2 treat the contaminated soils with dioxins and furans.

3 So some of the facts -- or some of the
4 allegations that the gentleman makes are correct, in the
5 brief reading, but unless you're thoroughly cognizant of
6 the file, then you -- you know, he -- where he was going
7 is not correct.

8 THE CHAIRPERSON: I'm sorry, Mr.
9 Lelandais, that uses up the five minutes. If there's an
10 opportunity -- if we don't -- I will come back and you
11 can maybe have an additional question if time allows.

12 MR. LELANDAIS: I hope so. Thank you.

13 THE CHAIRPERSON: Can I just ask who was
14 responsible for the elevated levels? Or was it non-point
15 sources, or did you ever determine that?

16 MR. MCSWEENEY: There's -- there are very
17 many other sources in the Saguenay, and it would be
18 unfair for me to comment on that.

19 THE CHAIRPERSON: Okay, thank you.

20 Ms. MacLellan?

21 --- QUESTIONED BY CAPE BRETON SAVE OUR HEALTH COMMITTEE

22 (MS. MARY-RUTH MACLELLAN)

23 MS. MACLELLAN: Thank you, Madam Chair.
24 I'll try not to be too long, and perhaps Mr. Lelandais
25 can take up the rest of my minutes, if I'm quick.

1 My question is regarding the residents and
2 workers around your incinerators.

3 Is ten years the longest that you have
4 operated incinerators, or do you have areas that you have
5 operated them longer?

6 MR. MCSWEENEY: I would say ten years at
7 Recupere Sol.

8 MS. MACLELLAN: You said that you do
9 ongoing monitoring, in that you do blood sampling.

10 Who is that blood testing done on? Is it
11 on the residents or the workers, or both?

12 MR. MCSWEENEY: It's done on the workers
13 in the plants.

14 MS. MACLELLAN: So there is none for the
15 residents?

16 MR. MCSWEENEY: I can't speak for the
17 residents, I can only speak for the employees.

18 MS. MACLELLAN: Has there ever been any
19 health studies to monitor the health of the residents
20 with -- from the effects of the incinerator?

21 MR. MCSWEENEY: Steve, what -- we did a
22 human health assessment for Belledune?

23 MS. MACLELLAN: I'm not talking about a
24 risk assessment, I'm talking about a health study.

25 MR. FLANNERY: I'll speak to that.

1 The -- and it's been a subject of
2 discussion here in reading the transcripts, the
3 distinction between the risk assessment and the health
4 study, and the value of one versus the other.

5 And I understand the issue, and I can say
6 that we haven't done a health study at either location.

7 I understand a health study has been done
8 in Northern New Brunswick by the Ministry, but it was not
9 done by Bennett.

10 What we have done is health risk
11 assessments.

12 MS. MACLELLAN: How close in proximity to
13 people are your incinerators?

14 MR. MCSWEENEY: In St. Ambroise, if you
15 have a look at the map that's on the screen, it's about
16 2-1/2 kilometres to the centre of the town where the
17 monitoring station is. And you can see certain houses
18 along the highway, starting just up a little bit.

19 This is a -- there it is.

20 Okay, this is the plant here. This is a
21 motel restaurant complex, and then the houses start here
22 and here, and then this is the town here.

23 MS. MACLELLAN: So, is there residential
24 areas within 1,500 meters?

25 MR. MCSWEENEY: I wouldn't know the exact,

1 but I would say that these probably would be within 1,500
2 meters. I can't say for certain, though, because I
3 haven't clocked the kilometres.

4 MS. MACLELLAN: You said you haven't seen
5 birds fall from the sky or anything like that happen,
6 that people thought about that, but I would like to
7 remind you that I -- where I lived as a child, I have,
8 indeed, saw birds fall from the sky and deers fall over
9 when the polluter in the area at the time released high
10 concentrations of hydrogen sulphide.

11 However, having said that, I just have one
12 more thing to tell you.

13 And this comes from not me, but from a
14 phone call I had very recently from a young health care
15 worker who just moved back to this area less than a month
16 ago, who resides on the north side, yet works at the
17 Regional Hospital.

18 She wants me to tell you that she does not
19 want incineration, and she wants anybody that wants
20 incineration to go away, because she doesn't -- she has
21 -- all her life, albeit that she lived on the north side,
22 smoked the stacks from the steel plant and the Coke
23 Ovens.

24 Thank you, Madam Chair.

25 THE CHAIRPERSON: Thank you, Ms.

1 MacLellan.

2 Ms. Kane?

3 --- QUESTIONED BY MS. MARLENE KANE

4 MS. KANE: Good afternoon. Good
5 afternoon. I'm Marlene Kane.

6 I'm wondering what parameters that you
7 would continuously monitor for at the stack when burning
8 PCBs greater than 50 parts per million.

9 MR. CAMPAGNARO: Presently, we're
10 monitoring in the stack H₂O; HCL, hydrochloric acid; SO₂,
11 sulphur dioxide; NO₂, and it also has NOX, nitrogen
12 oxides; carbon monoxide, CO; and total hydrocarbons, THC.
13 And I don't remember if I mentioned SO₂, sulphur dioxide.

14 MS. KANE: And particulate? Would that be
15 your ---

16 MR. CAMPAGNARO: We have a -- there's no
17 good technology to 100 percent monitor particulate, but
18 we have a particulate counter, which counts the particles
19 going by.

20 But it's based on the charge of the
21 particle, so depending on what the particle is made of,
22 we can't convert it to a mass emission, but we can count
23 the particles going by, yes, we do.

24 MS. KANE: Okay. You didn't mention
25 oxygen. Do you monitor oxygen?

1 MR. CAMPAGNARO: Yes, we do.

2 MS. KANE: And temperature?

3 MR. CAMPAGNARO: Temperature as well, and
4 flow.

5 MS. KANE: Okay. The other question I
6 would ask, what parameters would you continuously monitor
7 for the thermal relief vent, which is also known as the
8 dump stack?

9 MR. CAMPAGNARO: We don't refer to it as
10 that, but we monitor ---

11 MS. KANE: Have you ---

12 MR. CAMPAGNARO: We monitor total
13 hydrocarbons and oxygen.

14 MS. KANE: So there's no way, in the event
15 of an upset, that you would know dioxin, if there are any
16 emissions, or heavy metals, or PCBs, any of those
17 contaminants?

18 MR. CAMPAGNARO: Not directly.

19 MS. KANE: You mentioned that there were
20 four dump stack incidents at a particular facility, which
21 I can't remember. And the length of time totalled 39
22 minutes, which averages about 10 minutes per release,
23 according to those.

24 How long would you anticipate that the
25 dump stack could remain open while contaminated material

1 in the primary chamber continues to burn?

2 MR. MCSWEENEY: Well, in 2005, there were
3 zero incidents, and in 2004, this is at Recupere Sol,
4 there were four incidents for 39 minutes.

5 Flavio, would you know off the top of your
6 head how long each one -- each -- how many minutes the
7 thermal relief vent was open?

8 MR. CAMPAGNARO: Oh, it will vary,
9 depending on the cause and how quickly they could respond
10 to that. Probably it was one long release and one -- and
11 three or four very short ones.

12 The point to make on this is, this isn't
13 like a municipal waste incinerator where we're burning a
14 high calorific fuel that will keep burning for a long
15 period of time.

16 At any given moment in the kiln, there's
17 only a very small amount of PCB.

18 Because as you feed the kiln, the initial
19 PCB will come off, and in the event of an opening, you
20 stop feeding more.

21 So at any given moment in the system,
22 there's very little PCB, and that will quick -- and what
23 is in there during a TRV event will quickly decline.

24 So the first few moments, you'll have a
25 bit of relief, however, we're keeping the temperature up

1 there, so we're still destroying that. And then the
2 amount that's going into the secondary chamber will
3 rapidly decline.

4 MR. MCSWEENEY: Because we have the
5 uninterruptable power supply, we keep the temperature in
6 the secondary combustion chamber at 1,000 degrees
7 Celsius.

8 So the contaminants that -- as soon as
9 there's an event, the kiln is stopped, the feeding of the
10 soil is stopped, so any of the gases that are in the kiln
11 are then taken into the secondary combustion chamber and
12 destroyed before going to the thermal relief vent.

13 So as I said, there would be some
14 particulate matter that comes out, but the organic
15 compounds should all be destroyed.

16 MS. KANE: But didn't you say earlier that
17 the changeover when you -- when there's a total loss of
18 power, that the changeover time sometimes is not
19 immediate, it takes awhile for the generators to kick in?
20 Is that what you said?

21 MR. CAMPAGNARO: Okay, I was speaking too
22 quickly there.

23 What happens is the burner system is on
24 uninterruptable power supply. If the electrical power
25 supply to the facility fails, the UPS kicks in

1 immediately. In fact, it's always on.

2 The emergency generator takes about a
3 minute to start and become online with the system.

4 So, during that minute, the UPS is
5 powering the burner.

6 Once the emergency generator is online,
7 then the emergency generator takes over from the UPS,
8 which is run off of batteries.

9 MS. KANE: Okay. Would you consider the
10 Tar Ponds sediment a high caloric fuel?

11 MR. CAMPAGNARO: I would -- the small
12 amount of data I've seen, I would say it is, yes.

13 MS. KANE: So, it would probably continue
14 burning when ---

15 MR. CAMPAGNARO: But the amount that's in
16 the system at any given time is very small.

17 MS. KANE: How much is it in the system in
18 the primary chamber? When you say the amount is very
19 small, how much would be in there?

20 MR. CAMPAGNARO: Off the top of my head, I
21 would -- I -- we haven't designed the system for this
22 particular system, so I couldn't say what ---

23 MS. KANE: Typically, maybe.

24 MR. MCSWEENEY: But at RSI, Flavio, could
25 you give an amount, just how many tonnes would be in

1 there at a time?

2 MR. WESOLOWSKI: It would be approximately
3 150 kilos.

4 MS. KANE: Okay, one more question,
5 please.

6 You said early on in your presentation
7 that you don't use mobile incinerators. Is that true?

8 MR. MCSWEENEY: That is correct.

9 I mean, I think that's why we tried to
10 demonstrate in our video that that is not a mobile
11 incinerator.

12 What I think is on the table here for
13 discussion is a temporarily located incinerator.

14 MS. KANE: And the difference would be?

15 MR. MCSWEENEY: I don't think you would
16 see what we have on the back of a truck that would be --
17 come in and put on a site and then operated.

18 I mean, what you -- what we would be
19 trying to do is what you saw here.

20 MS. KANE: Well, the Agency has referred
21 to it as a mobile incinerator. That's why I was
22 wondering.

23 Thank you. Thank you.

24 THE CHAIRPERSON: Thank you, Ms. Kane.

25 Ms. May?

1 --- QUESTIONED BY THE SIERRA CLUB OF CANADA (MS.

2 ELIZABETH MAY)

3 MS. MAY: Thank you, Madam Chair. Hello.
4 Welcome to Sydney. Don't come back. Just kidding.

5 I just wanted to ask you a few quick
6 questions to clarify your relationship with the Sydney
7 Tar Ponds Agency.

8 You obviously have an interest in this
9 project.

10 Have you, in fact, entered into any,
11 through the Chair, any discussions with the Tar Ponds
12 Agency to either build an incinerator here or to
13 transport materials to one of your other facilities, and
14 if so, which one?

15 MR. MCSWEENEY: I've come to Sydney once
16 during the open houses last year and had some discussions
17 with various Agency members. I've met with the executive
18 director of the Tar Ponds Agency, all just in an attempt
19 to have a better understanding of the project.

20 Should there be a tender opportunity, we
21 would be interested in bidding on it.

22 MS. MAY: And that would be for this
23 building and incinerator here, just clarifying?

24 MR. MCSWEENEY: That's correct.

25 MS. MAY: Right. Okay. Thank you.

1 I just want to pursue a little bit the
2 issue of Quebec Ambient Air Standards for dioxins and
3 furan.

4 MR. MCSWEENEY: Sorry, Madam Chair.

5 I mean, I would like to say that it would
6 be our preference to ship the material away from Sydney,
7 to either Belledune or St. Ambroise.

8 That would be our first choice, because we
9 do -- like, as a business, that would be our first
10 choice.

11 But, you know, we -- you know, I'm not
12 sure that that's within the mandate of the Panel.

13 THE CHAIRPERSON: You're quite right that
14 is not within the mandate of the Panel.

15 MR. MCSWEENEY: And, you know ---

16 THE CHAIRPERSON: That is not an
17 alternative, that's -- that we're considering.

18 MR. MCSWEENEY: But I didn't want to
19 mislead Ms. May.

20 THE CHAIRPERSON: Yes. Thank you.

21 MS. MAY: Thank you. Thank you for that.

22 Turning to the issue of the Quebec Ambient
23 Air Standards, just to make sure I have them right, I
24 believe the answer to the question posed by Mr. LaPierre
25 was that the standard is tougher in Quebec, and is 500

1 femtograms per cubic meter? Was that ---

2 MR. MCSWEENEY: We've given an undertaking
3 to the Panel to provide that, and I would be happy to
4 provide it to you at the same time.

5 MS. MAY: Oh. Okay. All right. So we --
6 because I think that that's actually -- that the 500 is
7 the average -- is what should be achieved.

8 The 60 femtograms per cubic meter is over
9 any ---

10 MR. MCSWEENEY: There is a total, you're
11 ---

12 MS. MAY: --- average annual.

13 MR. MCSWEENEY: There is a total, and
14 there is an average. I just don't know off the top of my
15 head, and I'm remiss in not bringing that information.

16 MS. MAY: Well ---

17 MR. MCSWEENEY: But we'd be delighted to
18 provide it for you.

19 MS. MAY: Well, I have it, actually.

20 I just wanted to clarify that it's 60
21 femtograms per cubic meter for an annual average
22 concentration in ambient air for dioxins and furans, and
23 a maximum allowable concentration in a 24 hour period,
24 not to exceed the 500.

25 I've just -- I think that's correct, I'm

1 just ---

2 MR. CAMPAGNARO: I believe that's correct,
3 but we'll confirm, as well.

4 MS. MAY: Okay. And in June and July of
5 2004, can you confirm that the ambient air concentrations
6 for dioxins and furans from your plant in St. Ambroise
7 were approximately 1,677 femtograms per cubic meters?

8 MR. MCSWEENEY: I don't have that
9 information with me.

10 MS. MAY: I got that from a press release
11 and preliminary notice of order from the Minister of the
12 Environment for the Province of Quebec, Thomas Mulcair.

13 MR. MCSWEENEY: Well then if you have it,
14 why are you asking the question?

15 MS. MAY: Well, I just would -- I was
16 interested because you've -- previous information from
17 the Quebec Environment Ministry ---

18 MR. MCSWEENEY: Asked and answered.

19 MS. MAY: You've suggested that the
20 previous information that we had from the Quebec
21 Environment Ministry as to soil contamination with
22 dioxins and furans from your plant was a
23 misunderstanding, so I wondered if you wanted to shed any
24 light on the ambient air standard exceedances.

25 MR. MCSWEENEY: I think I answered the

1 question.

2 MS. MAY: I think you've expressed the
3 desire not to answer the question, so I'll move along.

4 You've expressed it here in your
5 presentation that you have an open and transparent
6 company.

7 I just wonder if that is consistent with
8 bringing a lawsuit against the Conservation Council of
9 New Brunswick and two directors personally, David Coon
10 and Inka Milewski, for their efforts to do exactly what
11 we're doing here, explore the risks of incineration.

12 MR. MCSWEENEY: That was under former
13 management, and, as I've explained to Ms. May before,
14 that is not the current management's philosophy.

15 But when somebody, in writing and
16 verbally, maligns you, I think you have a right to defend
17 yourself.

18 But that is certainly not our current
19 policy, and we have been trying to negotiate with the
20 Conservation Council of New Brunswick for some time, and
21 they don't really show a lot of interest in negotiating.

22 MS. MAY: So ---

23 THE CHAIRPERSON: Ms. May, do you have one
24 more question? That is about 5 minutes.

25 MS. MAY: Yes, I would like to ask one

1 more question, if I may.

2 In terms of understanding the
3 acceptability of your technology, and just correct me if
4 I'm wrong, that you're -- you were not allowed to have a
5 permit in Sumas First Nation, British Columbia, Taylor,
6 British Columbia, nor Kirkland Lake, Ontario.

7 And the two instances of which I am aware
8 in Canada where you did get permits for incinerators, in
9 both cases, the governments in question exempted the
10 incinerator from environmental impact assessment.

11 Would that be a fair statement?

12 MR. MCSWEENEY: I can only comment on New
13 Brunswick, because that's the time that I came on board.

14 I understand that they didn't do a full
15 environmental assessment there.

16 MS. MAY: Okay. Thank you very much.

17 We actually saw each other socially
18 recently, which is why we're having a little repartee.

19 I apologize for that. Thank you.

20 THE CHAIRPERSON: Yes, thank you.

21 I may be a little stricter on having
22 questions asked through the Chair, please -- asked and
23 answered through the Chair.

24 Are there people in the hall who are not
25 registered participants who have a question for the

1 presenter?

2 We've got about 12 minutes on my time
3 limit, so I'm willing to take another brief round of --
4 from registered participants, if anybody has questions.

5 I know Mr. Lelandais has 15 minutes worth,
6 but I could give you -- okay, so I'm going to go through
7 the same list again.

8 Mr. Lelandais, would you like to take
9 about three minutes?

10 --- QUESTIONED BY MR. HENRY LELANDAIS

11 MR. LELANDAIS: Thank you very much, Madam
12 Chair.

13 Gentlemen, you mentioned that the
14 accusation, if I will use that word, that you have
15 exceeded limits and so on in the Quebec area of St.
16 Ambroise was not your fault, and apparently, you say they
17 apologized and countermanded their order.

18 It's pretty well standard practice for
19 most incinerator operators in various remediation
20 projects that are contrary to public opinion to blame
21 somebody else once they're accused, so that doesn't hold
22 a heck of a lot.

23 However, on the original monitoring, how
24 do you explain, then, that before the RISI plant was in
25 operation there, the levels of dioxins and furans

1 measured in the soil in the surrounding area was 0.5
2 parts per trillion.

3 The CCME guidelines set a level not to
4 exceed in the soil of 4 parts per trillion.

5 So, that was well below.

6 But after the operations, they went as
7 high as 3.5 parts per million in 2002 to 29 parts per
8 million 2004 to 35 parts per million later in 2004 and
9 2005.

10 It seems to me that was after the plant
11 was built, from 0.5 to 35 parts per million is one heck
12 of an increase that can't be blamed on forest fires and
13 other things like that, other similar operations. It
1 turns out that that's from the operation of the RSI
2 plant.

3 MR. MCSWEENEY: Thank you, Madam Chairman,
4 I just wanted to clarify I don't think I said that the
5 Government of Quebec apologized.

6 What I said was the Government of Quebec
7 decided not to pursue the preorder that it had issued. I
8 wouldn't ever want to comment on the Government
9 apologizing or not. I believe the gentleman is making
10 the same allegations that Mr. Levesque made from return
11 to sender coalition. And I, rather than get into a
12 heated argument and an adversarial position, we've send

1 the Panel a letter addressing the allegations of return
2 to sender and what this gentleman is making too, so
3 they'll be -- you should have those in your e-mail today.

4 MR. LELANDAIS: Thank you. One question
5 in regard to your, I'll call it a blow-off stack. It's
6 between -- your dumpstack is between your secondary
7 combustion chamber and the other pollution controls,
8 emission controls. Your dump stack is situated between
9 ---

10 MR. MCSWEENEY: The thermal relief bench
11 is that what you're talking about?

12 MR. LELANDAIS: Call it what you will,
13 yes.

14 MR. MCSWEENEY: You want to know where
15 it's located?

16 MR. LELANDAIS: I assume it's located,
17 from listening to you before between your secondary
18 combustion chamber and the balance of your emission
19 control system.

20 MR. CAMPAGNARO: That's correct.

21 MR. LELANDAIS: Okay, there is no dump
22 stack or thermal control stack between the primary
23 combustion chamber and the secondary combustion chamber,
24 then.

25 MR. CAMPAGNARO: No, there's not.

1 MR. LELANDAIS: Okay, thank you very much.
2 So if -- the emission controls, are they connected to the
3 operating system so that if a malfunction occurred, say
4 in your scrubber or your precipitator -- do you have
5 electronic precipitator. If that is the case and a
6 malfunction occurred there would that automatically trip
7 your feed mechanism so that you -- it would control your
8 feed? For instance if it was unknown to you and a
9 malfunction occurred would the feed be cut off
10 automatically before someone visually notices a
11 malfunction?

12 MR. CAMPAGNARO: Yes, there's something
13 called an automatic waste feed cutoff system and it's
14 measuring a large number of parameters in the system and
15 if we fall -- there's a safe operating window and then
16 within that window we add margin to safety on either end
17 and if we fall outside that inner safe operating window,
18 then you will trigger an automatic waste feed cutoff.
19 That's controlled by the computer.

20 MR. LELANDAIS: Okay. And there are
21 several monitoring points of this system, then?

22 MR. CAMPAGNARO: Dozens.

23 MR. LELANDAIS: Very good. And each one
24 would control that? Thank you very much, then. I think
25 I've used up my time, haven't I. Thank you Madam Chair.

1 Thank you gentlemen.

2 THE CHAIRPERSON: Thank you very much.

3 MR. MCSWEENEY: Madam Chairman, I would
4 like to thank the gentlemen for the questions and these
5 are the types of questions and discussions that we
6 routinely have with our community liaison or public
7 liaison committees on -- you know, on developing better
8 emission control systems. And you know, should this plan
9 ever be approved for Sydney these are the types of people
10 that we would like, you know, to have on the committee,
11 you know, who come and bring a very broad knowledge and
12 understanding of the issues.

13 MR. CAMPAGNARO: I would like to make one
14 more point related to the dump stack quote. At RSI we've
15 recently introduced a new system where we have added a
16 second ID fan on UPS power and this system was added last
17 year and this is one of the reasons last year we had zero
18 openings of that emission system and so any new plant we
19 design we will be looking at including this as well.

20 THE CHAIRPERSON: Thank you. Mr.
21 Lelandais, you have one quick follow-up question then I
22 must move on to someone else.

23 MR. LELANDAIS: Thank you immensely.
24 Gentlemen, I heard you mention that there was no such
25 thing as a continuous monitor for dioxins. Contrary to

1 that I have read about two such instruments that are on
2 the market, based on the graph -- metagraph system and
3 they continuously monitor dioxin and feuron emissions. I
4 think I submitted them to the Panel and the gentleman on
5 my left here, the company that puts it out. If you're
6 interested, I imagine it will be made available to you.

7 MR. MCSWEENEY: Absolutely Madam Chair.
8 Anything to improve the system and protect the citizens.

9 THE CHAIRPERSON: Ms. MacLellan do you
10 have a couple of questions?

11 --- QUESTIONED BY CAPE BRETON SAVE OUR HEALTH COMMITTEE

12 (MS. MARY-RUTH MACLELLAN)

13 MS. MACLELLAN: Just a couple of quick
14 questions, Madam Chair. I'd like some clarification
15 please on the issue of the ownership of the land once the
16 incinerator is placed there, if it is placed there.

17 THE CHAIRPERSON: I'm sorry, I don't
18 understand the question. The ownership of what land?

19 MS. MACLELLAN: Of the land where they
20 propose to put the incinerator. Is there any intention
21 of this company to purchase that land?

22 THE CHAIRPERSON: I think it's very clear
23 that the proposal that is before the panel is that the
24 land is currently -- at the VJ site is currently
25 Federally owned and would then be transferred to the

1 Province.

2 MS. MACLELLAN: But after it's transferred
3 to the Province, do they have any interest in acquiring
4 it. I'm a little bit sceptical about a temporary
5 incinerator that takes two years to build. What's to say
6 it's not going to stay here forever?

7 THE CHAIRPERSON: I don't believe that
8 Bennett is currently a vendor in this project. I'm just
9 going to ask Mr. Potter again to clarify the -- what is
10 the intention with respect to the land at the VJ site
11 should there be an incinerator located on it.

12 MR. POTTER: The intention would be we
13 would negotiate with DEVCO to acquire the land. It would
14 be land held and owned by the Province as indicated in
15 the MOU. We are restricted to this facility, this
16 incineration facility being a single use dedicated
17 facility. At the end of it it would have to be removed.

18 THE CHAIRPERSON: Thank you, Mr. Potter.
19 Ms. MacLellan do you have another question?

20 MS. MACLELLAN: Yes. The other one is
21 through you, Madam Chair. I wonder if Bennett Company
22 applies the precautionary principle that has now become
23 international law.

24 MR. CAMPAGNARO: I'm aware of the
25 precautionary principle. What I can to say that is we

1 strive to continuously improve our process, train our
2 operators and have our increasing ways and continuously
3 improve the process and monitor the land, the water, the
4 air all around our facility to ensure that we operate
5 safely.

6 MS. MACLELLAN: Well, thank you. That
7 doesn't answer the question but thank you.

8 THE CHAIRPERSON: Thank you, Ms.
9 MacLellan. Ms. Kane, do you have -- do you wish to ask
10 an additional question? Ms. May, you wish to ask ---
11 --- QUESTIONED BY SIERRA CLUB OF CANADA (MS. ELIZABETH
12 MAY)

13 MS. MAY: Thank you, Madam Chair for
14 another opportunity. I -- just to draw your attention
15 back to this issue of continuous monitoring. Are you
16 aware and I think you may have suggested you're not, so
17 I'm just wanting to clarify that the European
18 certifications of dioxin stack continuous monitoring such
19 as one produced by something called West Tech Instruments
20 has been used in Europe since 1993. Are you -- are they,
21 Madam Chair unaware of the existence of such a monitoring
22 device?

23 MR. CAMPAGNARO: That's not actually a
24 dioxin monitoring. That's a pre-cursor monitoring
25 device. They're monitoring the chlorobenzene I believe.

1 MS. MAY: Is -- would you agree, then,
2 that it is conventionally referred to as dioxin stack
3 continuous monitoring because it measures pre-cursors to
4 dioxin formation and therefore is useful in the same
5 purpose?

6 MR. CAMPAGNARO: It's not necessary
7 because based on our results we find that monitoring the
8 oxygen temperature and carbon monoxide and total
9 hydrocarbons is sufficient for that purpose. But if the
10 Panel were to require that we could use that instrument
11 should this project ever proceed.

12 MS. MAY: So the earlier answer, I gather,
13 was based on a misunderstanding of what was meant by the
14 question of continuous monitoring?

15 MR. CAMPAGNARO: I'm aware of two vendors
16 that submit continuous measuring where they sample the
17 stack continuously through a cartridge and then that
18 cartridge is sent every two weeks or a month to a lab and
19 then that's analyzed but that's not real time data as
20 you're probably referring to.

21 MS. MAY: And do you, in fact, employ
22 those monitoring techniques?

23 MR. CAMPAGNARO: Not at this time because
24 they're not yet approved in North America but we are
25 looking at it, yes.

1 MS. MAY: Do you have in place any blood
2 monitoring protocols for incinerator operators to measure
3 blood dioxin levels?

4 MR. FLANNERY: Yes, we -- the current
5 regulation in Canada is every two years. We monitor it
6 every year.

7 MS. MAY: Thank you. Moving on to some
8 historical issues -- and I would appreciate a
9 clarification about this -- but my understanding is there
10 was a fine for burning PCB contaminated cement blocks in
11 Ste. Ambroise. Were you, in fact, fined and what was the
12 incident in that event?

13 MR. MCSWEENEY: I can't comment on that.
14 All I can say is that RSI is permitted for the treatment
15 of soil only. And anything that comes to the plant has
16 to be over 51 percent soil so -- if it was before my time
17 I can't comment on it.

18 MS. MAY: Does anyone on the Panel know
19 about the incident in which you were fined?

20 MR. CAMPAGNARO: I wasn't involved really.
21 I had just begun at Bennett. In some -- there was some
22 misunderstanding between Bennett and the Ministry in
23 regards to what material could be accepted and we -- for
24 a test burn. And some concrete material showed up and in
25 the written specification from the Ministry there was a

1 size limitation on what size that concrete could be. And
2 I don't recall the exact amount. And some of the pieces
3 that showed up were bigger than that -- the size that was
4 specified because when they demolished the contaminated
5 site, they didn't break up the material to less than
6 whatever size that was. It was an administrative
7 technicality. I don't know what resulted because I
8 wasn't involved in that situation at all.

9 MR. MCSWEENEY: All I can say, Madam
10 Chair, is we have over 15 Certificates of Authorization
11 and we're very heavily monitored and regulated and we
12 undergo compliance tests on an annual basis. If there
13 was any cause for concern I'm sure the Ministry would
14 take immediate action.

15 THE CHAIRPERSON: Ms. May, one more
16 question please.

17 MS. MAY: Thank you. Have your company,
18 in any of its facilities ever burned PCB liquids or PCB
19 contaminated sediments and if so, can you indicate what
20 volume of PCBs have been treated in your incinerators?

21 MR. MCSWEENEY: No.

22 MS. MAY: Thank you. I assume it was no
23 to both. Thank you very much.

24 THE CHAIRPERSON: Thank you, Ms. May.
25 That concludes the questioning to the presenter. I would

1 like to thank Bennett Environmental for your
2 presentation, for answering our questions and answering
3 other participants questions. You have, I think, three
4 undertakings. Someone's kept track of them if I haven't.
5 So -- and I know you know the deadline for getting those
6 in. Thank you very much. We appreciate your appearance
7 at the hearings. I'm now going to turn to the Agency.
8 We delayed the housekeeping, the undertaking items till
9 now. I guess there needs to be some re-wiring is that
10 right? And so that you can ---

11 MR. POTTER: Would it make more sense --
12 are we taking a break shortly. If we took the break and
13 we did the wiring, we'd be ready to go as soon as the
14 break was over, if that's ---

15 THE CHAIRPERSON: All right. We'll take a
16 twenty minute break. It is -- so that we'll come back at
17 ten to eight. Thank you.

18

19 --- RECESS: 7:35 P.M.

20 --- RESUME: 7:54 P.M.

21 THE CHAIRPERSON: Ladies and gentlemen, I
22 would like to resume the session. If you'd like to take
23 your seats.

24 Before we move to our final presenter this
25 evening, there are a couple of things. Before I turn

1 again to the Tar Ponds Agency because they have
2 undertakings to present, Mayor John Morgan, who was part
3 of the presentation from CBRM this afternoon, has
4 requested a very short time at the mike, as he wishes to
5 make a point of clarification.

6 So, Mr. Morgan?

7 MR. MORGAN: Thank you, Madam Chair. I
8 wanted to clarify a point that I meant to bring up
9 earlier today and it was -- I don't know if you'd
10 describe it as a question or a concern that I wanted the
11 Panel to consider, and I understand it may have come up
12 at least in passing earlier in the Panel deliberations.

13 It's the issue of a sea level rise in the
14 next -- in the long-term period. And the question that I
15 wanted to put to the Tar Ponds Agency is, what are the
16 engineering -- what sea level rise is the project
17 engineered for? So, could I put that question to the
18 Panel?

19 THE CHAIRPERSON: Mr. Potter, can you
20 briefly respond to Mr. Morgan?

21 MR. POTTER: We're actually going to be
22 speaking to that with the barrier, the follow-up
23 clarification, because that was part of the questions
24 that have come up in discussion. So, perhaps that's the
25 best point to do that.

1 THE CHAIRPERSON: All right. Thank you
2 very much.

3 MR. MORGAN: It is something that you're
4 going to address, is it?

5 THE CHAIRPERSON: Well, just right now in
6 the undertakings.

7 MR. MORGAN: Oh? Okay. And so if I could
8 bring the point that I wanted, the question was -- there
9 are estimates that the sea level between now and the turn
10 of the century may rise between two feet and 20 feet as a
11 result of global warming.

12 And the question is, is the -- are the
13 barriers to the cap protective in the worst-case scenario
14 in terms of sea level rise in the long term? Will the
15 cap be under water, and, if so, how will it function once
16 under water? Thank you.

17 THE CHAIRPERSON: Thank you very much.
18 Mr. Potter?

19 MR. POTTER: Thank you, Madam Chair. We
20 have just some follow-ups on some undertakings. I'll
21 just sort of quickly go through what they're going to be.

22 There's a very quick clarification on the
23 question regarding PCBs in the area of the Tar Ponds in
24 the slag material. We're going to talk about the Tar
25 Cell and the Battery Point Barrier. Mr. Shosky is going

1 to quickly run through some drawings here just to clarify
2 some questions that had come up before.

3 Mr. Shosky is also going to address the
4 undertaking we had earlier on the operating costs for the
5 waste water treatment plant. We've got those costs now.
6 And we have corrected and changed Undertakings No. 9 and
7 23, and I will just pass those in.

8 Thank you. Mr. -- I think Mr. Kaiser is
9 going to go first.

10 MR. KAISER: Thank you. One thing that we
11 want to clarify, there's been much discussion of the
12 infilling of Muggah Creek with slag over time and the
13 possible existence of PCBs and other materials under the
14 slag.

15 We did speak with SYSCO. They are
16 currently undertaking some of their site assessment work.
17 To date they have found very minimal amounts of PCB
18 material in any of the test pits or boreholes that they
19 are conducting in this area. They have found no
20 detectible PCB levels in groundwater from tests in those
21 areas.

22 As well, the work that we undertook
23 ourselves through our Phase 2/Phase 3 site assessment
24 work, we conducted testing on the eastern shoreline area,
25 which is this area. Out of 13 boreholes and test pits

1 that we have undertaken, we had not found any exceedances
2 to criteria of PCB.

3 We did find two samples that came back
4 with detectible levels of PCB material but they weren't
5 at all high, they were basically just detectible. So, we
6 wanted to raise that from the point of view that there
7 seems to be a misunderstanding that there's a significant
8 amount of PCB under the slag in this area, and certainly
9 the testing to date does not seem to indicate that
10 whatsoever.

11 The next thing that I would like to speak
12 to is the Battery Point Barrier. There also seems to be
13 some confusion there. The barrier in cross-section is
14 now shown on the screen. We have had a fair bit of
15 discussion on this. It seems like the impression is
16 being left that this structure is very porous, and we
17 want to point out that that's not the case.

18 This is the core of the barrier here. The
19 core would be placed on top of a rock mattress. This is
20 the rock mattress. These are actually the sediments from
21 the Tar Ponds here. So, you can see that the rock
22 mattress itself will come above the sediments as they
23 exist currently.

24 The sediments then, of course, are going
25 to be stabilized and solidified in this area. The cap

1 would be installed over top of the sediments and then, of
2 course, the topsoil and grass up here.

3 What's important is that this core, while
4 not being impermeable, will have relatively low
5 permeability, so that there will not be a significant
6 movement of water through this barrier.

7 As well, the core will be protected by a
8 geo-textile layer and then some filter stone here. On
9 top of that there will be armour stone on the face
10 towards the harbour. Here you can see the levels. This
11 is the low-water level and this is the high-water level
12 here, also below the level of the cap materials.

13 The modelling was done to size this armour
14 stone, that was based on one in 50-year storm events, and
15 the point just raised by the previous speaker in terms of
16 storm surge and water level rise or whatnot, that's been
17 modelled on one in 100-year modelling to give us a design
18 height of this structure that we feel will give us
19 adequate protection for a long time into the future.

20 And I hope that that clarified some of the
21 points made.

22 DR. LAPIERRE: Thanks a lot for the
23 information, some of it I wanted. The permeability is --
24 low permeability, what is it, 10 to the minus what?

25 MR. KAISER: The permeability we expect is

1 probably in the range of 10 to the minus 4, 10 to the
2 minus 5. It will be somewhat lower than the slag that
3 surrounds it, which is also relatively low, but it's
4 not -- again, it's not going to be impermeable.

5 Mr. Shosky also wants to add to that.

6 MR. SHOSKY: As a point of clarification,
7 Dr. LaPierre, the impermeableness is related to primarily
8 that geo fabric, geo-textile fabric that is around the
9 core material. That's got the lowest permeability. And
10 then the smaller size rock that's inside the core also
11 attributes to that, but I'm estimating right now
12 someplace around 10 to the minus 4, 10 to the minus 5.

13 DR. LAPIERRE: And the base will sit right
14 on the bottom, there's no piling that's going down, no
15 sheet piling below it?

16 MR. KAISER: That's correct. This rock
17 mattress will be installed first and it'll be installed
18 into the existing sediments that are there. No pilings
19 will be installed.

20 MR. CHARLES: How high above the high-
21 water mark will this barrier protrude?

22 MR. SHOSKY: Maybe the easiest way to look
23 at it is this point right here, if you were standing at
24 that point, between this point and this point is about
25 two, two and a half metres.

1 MR. CHARLES: Two and a half metres. So,
2 for those of us still in the olden times, that's 10 feet?

3 MR. SHOSKY: Yes, sir.

4 MR. CHARLES: So, a 20-foot rise has been
5 predicted ---

6 MR. SHOSKY: I'm sorry, it's not -- it's
7 eight feet. Sorry.

8 MR. CHARLES: Eight feet. I'm just trying
9 to put it in the context of people who have heard
10 something to the effect that, you know, in the next
11 while, next century, the sea levels might rise
12 considerably, and there's different estimates about how
13 high that would be.

14 If this is eight feet above high-tide mark
15 at the moment, you know, will it take care of any sea
16 rise level -- rise in sea level due to global warming or
17 anything else?

18 MR. SHOSKY: Right now, I guess, our
19 current estimate is that it rises -- that we expect that
20 the sea water will rise by 70 centimetres by 2100 or --
21 yes.

22 MR. CHARLES: And converting that for me?

23 MR. SHOSKY: Two and a half feet.

24 MR. CHARLES: Two and a half feet. Not

25 20?

1 MR. SHOSKY: That's correct.

2 MR. CHARLES: Thank you.

3 MR. SHOSKY: But I think there's another
4 aspect to this that's probably important and worth
5 talking about. At the point that we get ready to conduct
6 the additional stabilization of the tar sludges we will
7 be adding a heavier amount of cement down in this area.

8 Now, the farther upstream you go, the
9 thicker the sediments are. So, you can see when we get
10 down to the mouth near the harbour the sediment level is
11 very small. If we go closer to the headwaters of the
12 area that would be stabilized, we would have a thicker
13 layer of sediment in those areas.

14 So, once we start getting towards the
15 mouth we're getting more down onto that natural till
16 layer. From the geotechnical investigations that were
17 done from the barrier wall, that's the information that
18 we have. And we included, actually, the entire design of
19 this last -- yesterday as one of the undertakings.

20 So, this particular section we generated
21 for another purpose and thought it would be good for
22 tonight, but the whole design package was placed on the
23 record yesterday.

24 MR. POTTER: Just on the sea level rise,
25 there is some references in the EIS. If you wanted to

1 take a very brief minute, we could just quote those. And
2 I know we're using a bit of time here, but if there was
3 interest we could just make the direct reference to the
4 EIS report.

5 MR. CHARLES: You don't have to do it for
6 me.

7 DR. LAPIERRE: Just one quick question. I
8 didn't get the high -- is it mean high or high high?

9 MR. SHOSKY: High high.

10 DR. LAPIERRE: High high. Thank you.

11 MR. SHOSKY: The next topic we were going
12 to discuss was the Tar Cell stabilization and how we
13 would -- how our design would change should we go in and
14 perform the Tar Cell stabilization activities.

15 And just so everybody can get this in
16 reference point, the Tar Cell itself is here, the Coke
17 Ovens, of course, is this area here. Through previous
18 discussions we -- I believe everyone's acknowledged that
19 there's a hydraulic connection eventually between this
20 point and the Tar Ponds, because the deepest part of the
21 contamination on the Coke Ovens is also in this Tar Cell
22 area.

23 So, what I'd like to do is go to the next
24 slide that we have which shows the capping as we've
25 currently thought about it without -- with a lot of the

1 other features stripped out. The Tar Cell area is this
2 area here.

3 Last summer we did an investigation of
4 that area to determine how much tar there was in that
5 area and we had discussed that in a bit of detail earlier
6 in the hearings.

7 When we did our investigation out there,
8 we found out that there were pockets of tar and quite a
9 bit of debris in that area, 25 -- estimates were from --
10 anywhere from 25 to 50 percent debris in any type of test
11 pit that we did.

12 So, what we're looking at here, once the
13 recipe has been established, would be as we propose to do
14 the excavation for incineration we would do all this work
15 under a temporary structure with carbon filtration of the
16 air prior to discharge into the atmosphere based on a
17 health analysis that was done by Dr. Magee, and so all
18 that work would be done under cover.

19 But jumping ahead to how the design would
20 change, what we have here -- because we would be removing
21 some material, cleaning it up, the debris would be
22 cleaned and placed in the non-hazardous cell that we
23 talked about earlier.

24 What we would be looking at in this
25 particular area is excavating down to bedrock, which is

1 approximately 4 metres, or 12 feet, and actually probably
2 installing a stone layer down here that would act as an
3 infiltration gallery. On top of that we would put an
4 HDPE liner with our stabilized tar material here.

5 This distance here is going to depend on
6 the amount of debris we find, how much of it comes out
7 and gets cleaned, but the idea would be to place the
8 stabilized tar material a little bit lower in the cell
9 and then on top of that common fill until we got to a
10 grade that would be equivalent to the total grade for the
11 site where we would end up putting on a half a metre of
12 clay and a half a metre of topsoil.

13 Now, these wells that are here serve a
14 couple of different purposes. One of the issues that
15 comes up is this long-term monitoring and maintenance of
16 groundwater issue, and we know that in the Tar Cell area
17 it's one of the areas where there is contamination down
18 to 80 feet with DNAPL.

19 So, our intention would be -- as part of
20 this cover design, would be to do part of the groundwater
21 treatment at this location. Now remembering that we have
22 a series of shallow collection systems around the Coke
23 Ovens Site now, this particular shallower set of points
24 would actually be used to fill the infiltration gallery
25 with oxidizing liquids like potassium permanganate or

1 something of that nature that is known to react with PAH
2 compounds in order to break them down and neutralize
3 them.

4 And then in addition to that, we would be
5 looking at, for the deeper materials, a similar sort of
6 delivery system for the lot deeper materials. We think
7 that by implementing this groundwater treatment at this
8 location along with the ones that we currently have on
9 plan, we were hoping to be able to cut back on the amount
10 of time that groundwater would need to be treated through
11 the whole system.

12 The calculations that I did to respond to
13 the groundwater treatment question, after 25 years the
14 annual cost after -- no, sorry, 33 years, the cost in
15 2039 dollars is two hundred and fifty thousand dollars
16 (\$250,000) a year. I didn't think it was appropriate
17 that we do it in 2004 or 2006 dollars.

18 If we did convert it back to that, it
19 would be something like seventy-five or eighty thousand
20 dollars (\$75,000 or \$80,000), but because of the cost of
21 money with the escalation rates and things like that 33
22 years from now when it would be -- when the Memorandum of
23 Agreement would be done, we're anticipating that that
24 might be what the annual cost would be to run that water
25 treatment system.

1 MR. POTTER: That's it.

2 THE CHAIRPERSON: Thank you, Mr. Potter.

3 I think we'll take just a very brief, five-minute break
4 while our next presenter, the New Waterford and Area Fish
5 & Game Association, comes forward.

6 We'll begin in just five minutes.

7 --- RECESS: 8:14 P.M.

8 --- RESUME: 8:17 P.M.

9 THE CHAIRPERSON: Ladies and gentlemen,
10 I'd like to get started. Our final presenters are the
11 New Waterford and Area Fish & Game Association. I would
12 like to welcome our presenters. Are you now ready to
13 present?

14 Perhaps, while the very last-minute
15 arrangements are being made, I just want to remind
16 everybody while you're still here that tomorrow is our
17 closing remarks session and we will be beginning at 8:30
18 in the morning, not 9 o'clock, and we should be able to
19 send you home round about noon, we hope.

20 So, once again, I welcome the New
21 Waterford and Area Fish & Game Association. We're very
22 pleased to have you here. You're making the final
23 presentation.

24 As you know, you have 40 minutes for your
25 presentation and I will let you know five minutes before

1 you reach the end of the 40 minutes.

2 --- PRESENTATION BY NEW WATERFORD AND AREA FISH & GAME
3 ASSOCIATION (MR. CHUCK MUSIAL)

4 MR. MUSIAL: Thank you very much for
5 having us. Firstly, I want to tell you that I've been
6 involved with the Bridgeport Basin watershed where the VJ
7 Plant is to be -- where it is right at the present time,
8 for the last -- well, since 1965.

9 I was secretary of the Fish & Game for 16
10 years and I was the president for 14 more after that, and
11 I think I know what I'm talking about, and I hope that
12 you will be able to have an open mind as we go along here
13 today, because I have many things to show you.

14 Have you got one of these, each of you?
15 You have them? Thank you. That's about five percent of
16 the material that I have relative to the topic at hand.

17 So, without further ado, I would like to
18 tell you that when the Fish & Game -- when the VJ Plant
19 first was established out there, we protested against it
20 because we knew that it was going to be a very highly
21 polluting operation and we told them so.

22 We said, "Are you sure you're not going to
23 contaminate our brooks and streams with that thing?", but
24 they gave this two-hour talk with consultants and
25 everything else and then when they were all done they

1 said, "Now, what have you got to say about this?"

2 So, I made our presentation there and we
3 told them in no uncertain terms that they should not make
4 that plant there, but they went ahead and did it anyway,
5 and the original plans, which I'm sorry we didn't bring
6 in tonight because they're about 5 feet square on a paper
7 and we couldn't reprint them so I didn't bring them in,
8 but around that plant was supposed to be an impermeable
9 barrier where nothing was going to get into the outside
10 atmosphere or outside environment.

11 So, that was the beginning of our problems
12 with the VJ Plant. So, we have some film to show you and
13 some material here in our -- that you have, and
14 presumably as we go along you'll get the picture of what
15 we're trying to convey to you.

16 So, without any further ado, if you could
17 start that film, please.

18 (VIDEO PRESENTATION - NOT TRANSCRIBED)

19 Track 18 MR. MURIAL: We'll resume this a little
20 later on.

21 As I said in the beginning there, we knew
22 there was going to be a pollutant factor, but they had
23 consultants on top of consultants tell us that this was
24 not going to happen, they had monitoring wells all around
25 this place, and there was going to be no way that the

1 material was going to hurt the outside environment.

2 And that's the way it was for many years
3 until we finally got somebody -- and if you turn to your
4 page here in your book there, that we gave you, I
5 underlined a bit of it on page 2 -- let's see now.

6 That's the Bradshaw Report anyway, and
7 you'll have a chance to read this when you're by
8 yourselves, but there's a couple of bits I've underlined.
9 And since we haven't got much time, I'll read what's
10 underlined, and you'll find it there.

11 And she says in this report that:

12 "Although your September 18th letter
13 to Charles [--] stated that small
14 amounts of volume of drainage leaking
15 through the dyke that Sue Day talked
16 about, was in the order of a gallon a
17 minute. There are several others who
18 noted that, at different times, the
19 flows through the dyke had been much
20 higher."

21 And so it goes on. You can read that,
22 ma'am, and you'll read on the next page, you can read
23 that when you have more time. Mr. Gordon McDougall, he
24 was with the Department of Environment for Nova Scotia at
25 the time:

1 "He stated at our meeting with myself
2 the next day that Mr. Layton and the
3 CBC had discussions about correcting
4 the operating problems with the
5 treatment plant before Mr. Musial's
6 complaints start coming in. Assuming
7 that these are, indeed, the facts, I
8 was assured by Sue Day, in discussing
9 Mr. Musial's concerns with her in
10 early August 1984, that his
11 complaints about poisoning the river
12 must have referred to the known
13 chronic leaks, which were soon to be
14 corrected, and the cause of his
15 concerns was really a non-problem."

16 To use her expression:

17 "I feel that if it were not for Mr.
18 Musial's continuing agitation, the
19 extent of the problems at the VJ
20 plant would have not been brought to
21 the attention of this department, nor
22 would we be aware of the loss of
23 approximately a 5-km stretch of
24 salmon habitat."

25 So I offer that to you so that when you

1 have more time you will pursue the whole report, I hope.
2 I hope you will.

3 Anyway, it was being quoted to high
4 heaven. They told us they were going to have these
5 monitoring wells there, and they were going to be able to
6 handle this sort of thing.

7 And I think in our next film, we can show
8 you some of the problems that we were faced with. This
9 may be a little bit more of an amateur-type film, but I
10 can't help that. We're not all professionals.

11 (VIDEO PRESENTATION - NOT TRANSCRIBED)

12 MR. MUSIAL: That should be pretty good.
13 Given our time restrictions that we have, we'd better not
14 carry that on too much further.

15 As I said, we were told many times,
16 confused by whenever we come to a place -- the portfolio
17 that I showed you there will explain all of this to you,
18 panel, and you'll get a better grasp of it as you go
19 through it, but I'll thumb through a bit of it now, see
20 if I can't come up with something that may -- I sent a
21 letter to George Mooney, he was the Minister of
22 Environment, and you'll find that, I don't know, it's --
23 I can't identify these as well as I should like to be
24 able to. It's just before you get to Tab No. 3 on your
25 -- it would be Tab 2.

1 I'm only pointing that out to show you
2 that this is one of many, many, many letters that I sent
3 regarding this problem.

4 Tab 3, the letter goes:

5 "Madam Sue Blaise Ranier, Minister of
6 Environment for Canada: Enclosed are
7 copies of the correspondence and
8 report from Valerie Bradshaw,
9 Department of Fisheries and Oceans,
10 concerning our pollution problem."

11 And we got the runaround for all this --
12 you see, what's happening here, panel, is this. They
13 have a bunch of bureaucrats, it seems to me, anyway, and
14 they have no end of consultants that they can refer to,
15 and they can confuse and obfuscate the Holy Ghost if they
16 wanted to, with all kinds of material such as the 30 lbs
17 of material that we have presented to you on this
18 particular problem here today.

19 And it's terrible, it's an awful thing. I
20 can't help but -- I can't -- if there's rancour in my
21 voice, it's not against this panel, believe me it's not
22 against the panel. It's just because the thoughts of
23 what I had gone through in years gone by. I have nothing
24 -- I can't say any it any other way. I find it hard to
25 talk, sometimes.

1 So you have these letters here to help you
2 make up your mind on what you're going to do with this
3 thing, as far as the VJ plant is concerned, and on Tab
4 No. 4 there's another letter to John A. Fraser, MP,
5 Vancouver South. He was the Minister of Fisheries and
6 Oceans at that time also.

7 So you'll see that there's a lot of effort
8 made here to try and bring this to the attention of the
9 proper authorities, and the only ones that was any help
10 to us at all was Valerie Bradshaw, and her report is
11 there.

12 The rest of them were all -- every one of
13 them, and God bless her, I made a report to the Fish &
14 Game a few months ago that if she was in the hall I'd
15 kiss her hand for what she did, because I had Fisheries
16 and Oceans people wading in their knees, and all they
17 could tell me was "Well, we have the last word to say
18 about water." "Well, why don't you say something about
19 this?" "Well, there's a co-ordinating unit in the
20 Department of Environment in Ottawa, and we -- our report
21 goes there." So I fouled up again.

22 Yes, that's another point. Where's our
23 next tape.

24 (VIDEO PRESENTATION - NOT TRANSCRIBED)

25 MR. MUSIAL: Now, they said they would

1 have monitoring wells. We told them "You're going to
2 contaminate the Kilkenny Lake if you put that thing
3 there", because we know from coal mining experience that
4 the rock strata pitches to the north. We know that the
5 Kilkenny Lake was spring fed. We know that if there's
6 any fissure in the rock at all, that material in the lake
7 and in that pond was going to get into the Kilkenny Lake.

8 But no, no, they had these consultants
9 come in, you see, and "We're going to have monitoring
10 wells." "Well, what are you going to do if it gets
11 through monitoring." "Well, it's possible that we can
12 anchor the area, force concrete down into the wells, plug
13 the fissures up. We'll protect the lake."

14 And that retaining(?) pond, the only
15 reason why they put that retaining(?) pond there is on
16 account again of the Valerie Bradshaw report, because
17 when -- the thing in the VJ plant proper was that damn
18 bad that they had to move somewhere. They just couldn't
19 help it.

20 Now, the VJ plant, they had the monitoring
21 wells around that, also, and the monitoring wells were
22 maybe 150 feet around the outside of the impermeable
23 barrier.

24 The problems showed up about 2000 feet
25 beyond that, down grade. Now, these consultants don't

1 know the first damn thing about the moving of water.
2 They'll tell you they do, but they don't. I'm sure they
3 don't.

4 Now, this is -- there's more film. I
5 don't know how much -- how much time have I got left,
6 ma'am?

7 THE CHAIRPERSON: You're going to make me
8 do some mental arithmetic here, aren't you, Mr. Musial?
9 You have about 16/17 minutes.

10 MR. MUSIAL: 16 or 17 minutes.

11 THE CHAIRPERSON: 16/17, yeah.

12 MR. MUSIAL: Can we show any more film?
13 If that doesn't come out right, we'll cancel it and start
14 away with the other one.

15 (VIDEO PRESENTATION - NOT TRANSCRIBED)

16 MR. MUSIAL: Okay, while we're doing all
17 this sort of thing, if you can turn in your booklet there
18 to 8, Tab 8, you'll see here a press report "Northwest
19 Brook is not an S." According to Mooney, he was the
20 Minister of Environment for Nova Scotia. Have you got
21 it, Tab 8?

22 THE CHAIRPERSON: I think it's Tab 7 in
23 our book, anyway.

24 MR. MUSIAL: Well, all right, Tab 7 then.
25 Maybe -- yeah, Tab 8 is on the other side of it, that's

1 right. Okay. I'm sorry. Tab 7. You see it.

2 And you see down below there, my report
3 was -- I rebutted that, definitely, with everything I
4 had.

5 And I'll ask you to move over again into
6 the next one. You'll see the Premier of the province,
7 and George Mooney giving the environmental technician, at
8 the time, an award for the good job that they were doing
9 at the VJ plant. My, my, my, my, anybody that could see
10 what -- how the saying goes, 'what a tangled web we weave
11 when first we practise to deceive.' The whole
12 bureaucratic system was all set up that way, and the only
13 one that bucked it or did anything about it was Valerie
14 Bradshaw.

15 Now, we still have some more film to show
16 you. I should say both of these, the award that was
17 given for the good environmental work done was in 1984 in
18 the fall, and, of course, the Bradshaw Report was just
19 around the same time. So okay.

20 (VIDEO PRESENTATION - NOT TRANSCRIBED)

21 MR. MUSIAL: They're still pumping that
22 water, they're still treating that water at the VJ plant
23 at the present time, and they're in the process of
24 capping it there. The place is entirely contaminated
25 with that material, and, in my closing remarks, I'll

1 simply be remarking on that again. Go ahead.

2 (VIDEO PRESENTATION - NOT TRANSCRIBED)

3 THE CHAIRPERSON: You have about 4 minutes
4 left, if you'd like to ---

5 MR. MUSIAL: Four minutes, well I'll wind
6 it up then. I'm sure you must have got something to
7 think about.

8 Everything we said is true. We had many
9 and many a meeting. I had meetings with the -- well,
10 there's a gentleman in the audience here, a Bill Bailey
11 there, he knows about our meetings, and there's
12 discrepancies in the reports that the panel -- not the
13 panel but the proponents of this project has shown there.

14 I've got a bunch of them here that I could
15 talk about, and I'd need another half hour or more to do
16 it. I could refer to that, there are discrepancies
17 there.

18 There's one particularly that bothered me.
19 They said that -- the proponent said that they contacted
20 the stakeholders in the business of putting in a
21 treatment -- putting in the incinerator at the VJ plant.
22 The stakeholders, they didn't contact any stakeholders.
23 The stakeholders are the people that live along that bay
24 for the last 200 years or more, and their families. I
25 know many of them, I lived there all my life. They

1 didn't contact any of them. They picked a few of the
2 people that they knew would be agreeable, and they just
3 said that they were the stakeholders. That's one of my
4 beefs. There's a few other ones, too.

5 They said -- another thing they said in
6 their report there, that Langan Bay was on an average of
7 10 meters deep. 10 meters is about 33 feet, and I have
8 people here right in this hall here tonight that will
9 tell you that they'd have a hard damn job to find 10 feet
10 of water anywhere in that bay. We know it. We were
11 there. We know that bay, we know the brooks, we know the
12 streams, we lived there all our lives, so we know what's
13 going on. But they won't listen to this, see. They're
14 educated. They're educated. They've got everything but
15 common sense.

16 Please, I ask you, you folks -- my counsel
17 here told me at the very beginning you folks were very
18 well educated, very well qualified for what you're doing.
19 I hope that didn't take away your common sense, too. I
20 don't know if there's any more I can say.

21 --- QUESTIONED BY THE JOINT REVIEW PANEL:

22 THE CHAIRPERSON: Mr. Musial, thank you
23 very much for your presentation. Thank you for bringing
24 in the videos, and thank you for putting together this
25 package of information for us, and we'll certainly be

1 looking at it carefully afterwards.

2 Can I ask you -- I'd like to ask you a
3 couple of questions. Track 20 The most obvious question
4 -- I think I know what your answer may be, but you didn't
5 really directly address it -- I'd like to know what you
6 think about the proposal to locate an incinerator at the
7 VJ site.

8 I mean, you've told us a lot about what
9 has happened at that site and the past problems that your
10 association has been working on for many many years, but
11 what do you think of the proponent's proposal?

12 MR. MUSIAL: I think this, ma'am. I think
13 that -- there was a person or a couple of people -- Bob
14 MacDonald, the one I know I read in the press anyway --
15 or he was here last week. He told you that the area
16 there is contaminated, that they're cleaning it up.

17 And before they have it cleaned up, they
18 want to try to put something else out there that would
19 further contaminate it. I certainly don't believe you
20 should do that. The fact is I'm very much against any
21 incinerator or anything else going out there.

22 The place is being remediated. We had a
23 gentleman's agreement with DEVCO for years, and we
24 stomached it as long as we could. But we would keep
25 quiet. We wouldn't say anything unless we had to -- or

1 about anything. So this is why we kept as quiet as we
2 could, as I say, down through the years. But there's no
3 agreement with them any more.

4 Now, Bob MacDonald told you that place was
5 contaminated, and it is contaminated, and it's in the
6 business of being remediated.

7 There's no place there for an incinerator,
8 and you know yourself, and common sense will tell you
9 this, that if the incinerator can be built and made to
10 operate correctly, they don't have to move the sludge one
11 inch. They can do it right in your back yard here. They
12 could burn it there. They don't have to move it out to
13 the -- that's one thing.

14 If they move anything out there of any
15 kind, the place is contaminated already, and you know
16 what'll happen. If we try to complain about it, they
17 will say, "Oh, it was a pre-existing condition. We're
18 not -- had nothing to do with it. It's somebody else's
19 fault. It's not our fault." And they'll have us going
20 around in circles and circles, again and again, and I'll
21 be damned if I'll be able to find another Valerie
22 Bradshaw. I don't think I will. I don't think I will.

23 So ma'am, no. I wouldn't trust the
24 consultants to build a damn around a frog pond. That's a
25 fact.

1 THE CHAIRPERSON: Well, thank you, Mr.
2 Musial. What is your opinion about the current status of
3 the remediation at the VJ sites?

4 MR. MUSIAL: Well, it's going to take
5 another 15 or 20 years before we can be able to really
6 say whether they did it or not.

7 They're capping the material there. We're
8 talking about a cap of -- as far as I understand for the
9 project here in the Tar Ponds. I don't know anything
10 about these caps. I don't see how they can stand up to
11 -- over a period of time to -- I just don't see that.
12 But that's not my department.

13 But I do know that they're doing it over
14 there. I don't know what the hell they're going to use
15 that place for, the VJ plant, unless it's a ski slope or
16 something like that. They're not going to plant any
17 trees on it. They're not going to do anything like that
18 with it. I'm damn sure they're not going to have a golf
19 course there. I don't know what they're going to do with
20 it.

21 But I know one thing. We can't have any
22 more contamination go out there in any form, of any kind.
23 Not just an incinerator alone, but anything, because if
24 they do, they'll claim, if there's anything goes wrong,
25 it was a pre-existing condition that was already done by

1 DEVCO. That's what'll happen. That's the way
2 consultants operate.

3 THE CHAIRPERSON: And is there -- with the
4 current remediation, is there ongoing monitoring taking
5 place to see what improvements, if any, is being observed
6 as yet in the streams and ---

7 MR. MUSIAL: Well, yeah. There's -- yes,
8 yes. I think there has been some improvement. Or there
9 should be. They were piping from wells. They had a well
10 there. They were syphoning the water and getting -- from
11 the base of the pile, or they were a year or so ago.
12 They're still doing it, I understand, even though it's 95
13 percent capped already. And they're treating that water,
14 as you saw in the film there.

15 But how am I -- I can't answer that,
16 ma'am. I gotta wait for 15 years to see what's going to
17 happen there.

18 THE CHAIRPERSON: Okay. Thank you. I'll
19 ask my colleagues if they have questions for you. Dr.
20 LaPierre.

21 DR. LAPIERRE: Is Kilkenney Lake still
22 polluted now, or did it become polluted? I didn't quite
23 understand from your presentation whether it eventually
24 became a polluted lake.

25 MR. MUSIAL: Pollution started to show up,

1 you see, and they stopped before it got beyond the
2 drinking water standards. If they had've kept on going,
3 they -- that cleaning(?) basin that they put out there
4 was supposed to go for 15 years at least. It only went
5 for a year and a half or so and they had to stop because
6 the evidence was showing that it was getting into
7 Kilkenney Lake.

8 And you'll find in this, reference is made
9 to some of that in our -- what you call this ---

10 DR. LAPIERRE: And since that time, the
11 lake has -- once they stopped ---

12 MR. MUSIAL: Well they're still -- they're
13 still using the water.

14 DR. LAPIERRE: Okay.

15 MR. MUSIAL: That's all I can tell you.
16 But they -- I remember one time we -- the person from the
17 Health Department take water out of there. We followed
18 him all the way to the post office where he put it in the
19 post office and sent it off to Halifax to the -- to be
20 analyzed in the VJ -- or not the VJ but the laboratories
21 in the hospital in Halifax. We followed him there.

22 He quit in disgust after that. His name
23 was Sandy Morrison. Bill Bailey, he probably knows about
24 him.

25 DR. LAPIERRE: Okay. Well, thank you.

1 That's my questions.

2 MR. MUSIAL: But I again repeat, don't
3 send any more stuff out to the VJ plant. We can't take
4 it.

5 MR. CHARLES: Mr. Musial, what's the
6 condition of Northwest Brook these days?

7 MR. MUSIAL: It has been improved, but the
8 Fish & Game did that. But it's not what it should be,
9 because, you see, we gotta get the VJ plant -- the
10 pollution stopped altogether, and then the Fish & Game
11 can go in there and maybe -- well, DEVCO should be doing
12 it. They should dredge that brook for about a mile and a
13 half because it's full of muck, you know, through the
14 swamp area there.

15 We had -- that was terrible. Our first
16 Councillor when the VJ plant was first -- supposedly they
17 offered the place -- the Councillor was there. He said,
18 "I don't see," he says, "how anything could hurt that God
19 forsaken land." Well he's dead now, but I hope to
20 heavens he can see what happened to that God forsaken
21 land, because they made an awful mess.

22 MR. CHARLES: Are there fish in the brook
23 at the moment?

24 MR. MUSIAL: Pardon me?

25 MR. CHARLES: Are there fish in the brook

1 at the moment, Northwest Brook?

2 MR. MUSIAL: Oh yeah, there are fish going
3 up, but there's no areas for them to spawn in in the
4 brook. You know, the brook -- the bottom of the brook
5 has gotta be in a certain condition for fish to spawn.
6 There's gotta be a certain amount of gravel in there, and
7 it's all mud and muck and everything.

8 If you wanted to go through that area
9 before you go back to your place, wherever it may be,
10 I'll take you. I'll take the three of you. I'll go if I
11 have to go in a wheelchair. And I'll show you all of
12 these things. I'll show you them all. I'm telling you
13 the truth.

14 MR. CHARLES: Thank you for the offer, Mr.
15 Musial.

16 MR. MUSIAL: Yeah.

17 THE CHAIRPERSON: I'm now going to provide
18 an opportunity for other participants to -- if they have
19 any questions for our presenters. So it is getting late.
20 We're a little bit past our usual ending time, so I'll
21 encourage people to be brief. Mr. Potter, do you have
22 any questions for the presenter?

23 --- QUESTIONED BY SYDNEY TAR PONDS AGENCY (MR. FRANK
24 POTTER)

25 MR. POTTER: Yes, thank you, Madame Chair.

1 Just one quick question.

2 You mentioned your concern about the
3 ground water in the area of the VJ site, and you
4 mentioned -- I think you said that DEVCO put some
5 monitoring wells in to understand what the ground water
6 flow was doing. Do you know how many wells went in at
7 that point in time?

8 MR. MUSIAL: I'm as deaf as a herring. I
9 -- DEVCO -- how many? There was anywhere from
10 eight/nine wells around that place. Oh, yeah. Oh, yeah.
11 Yeah.

12 MR. POTTER: Okay. The reason I ask, we
13 share your concern about the environment, and in the work
14 we're doing on the Coke Oven site, for example, and the
15 Tar Ponds, we've put in over 300 wells in the ground to
16 determine what the ground water flow is and where it
17 moves. So we do understand exactly what is happening.

18 I can't speak to the situation that
19 occurred at the time, but if you put enough effort into
20 the -- you know, in the investigation and looking into
21 it, I think there is a level of comfort.

22 I understand you don't have -- you didn't
23 have that level of comfort with the VJ situation, but you
24 know, we have gone to great lengths to try to understand
25 our site.

1 With the VJ site with the proposed
2 incinerator, there wouldn't be much in the way of water
3 or handling needs where there'd be a run-off situation,
4 which was the situation when DEVCO was operating there.
5 So I just wanted to reassure you that all the de-watering
6 activities would happen at our site where we do
7 understand the ground water flow. We wouldn't be taking
8 wet sludgy material such as you saw or we saw on the
9 video there. So ---

10 MR. MUSIAL: Well, ma'am, or sir, whatever
11 I saw from the ground water flow is that no matter what
12 they said they were going to do to handle it, it never
13 worked. It never worked. And you may have five wells,
14 you may have 25, you may have a 125. If there's a place
15 there for the water to get around those wells, they're
16 gonna go around them. Believe me, they'll go around it.

17 MR. POTTER: Thank you, Madame Chair.

18 THE CHAIRPERSON: Thank you, Mr. Potter.
19 Can I just see by a show of hands how many people in the
20 hall have a question for -- just a moment, please. I'll
21 take that down. Ms. May, Ms. MacLellan, Mr. Lelandais,
22 Mr. Morgan. I've got everybody who put their hand up?
23 I'll take questions in that order. So Ms. May, please.

24 MR. BRODERICK: Madame Chairman, I wonder
25 -- Mr. Musial just mentioned something to me, and there

1 was a little bit of difficulty in hearing.

2 I think the VJ plant presentation, as well
3 as what has been said this evening, was not so much to
4 show that somebody did something wrong in 1984 or 1980.
5 I think it was to show that at that time, the people who
6 did the work did what they thought was the best to do at
7 that time. I don't think anybody walked into the VJ
8 plant and said, "Let's mess these guys up and hurt the
9 environment."

10 In those days, those experts did what they
11 thought in their knowledge was the best way to contain a
12 difficult problem. It did not work. Today we have
13 experts who are suggesting in their knowledge the best
14 way to contain a difficult problem.

15 We're saying that experts can be wrong.
16 We're saying that experts can only deal with the
17 knowledge that they have now. This is a unique
18 situation. And what Mr. Musial was stating is that,
19 judging by what happened to the experts, who were award-
20 winning experts at that time, what percentage of mistake
21 is acceptable when you compare the problem that can be
22 created by that mistake.

23 So we look at the VJ plant, we look at
24 what was done in light of all the precautions, and it is
25 really a terrifying situation, because we're dealing with

1 five years back then. I heard this evening 100 years.
2 And I don't know anybody that that's -- that is that
3 perfect.

4 So the concern is tremendous, especially
5 in light of what the experts did earlier. I think that
6 was what Mr. Musial just suggested that we inform the
7 Panel.

8 THE CHAIRPERSON: Well thank you very much
9 for that clarification. Ms. May, two questions? One
10 question.

11 MS. MAY: One.

12 THE CHAIRPERSON: Great.

13 --- QUESTIONED BY THE SIERRA CLUB OF CANADA (MS.
14 ELIZABETH MAY)

15 MS. MAY: I've had the great honour,
16 Madame Chair, of working with Charlie Musial for the last
17 30 years. I worked with him in 1976 on the issue of bud
18 worm spraying, and he's one of the -- as you can tell,
19 one of the most knowledgeable and dedicated
20 environmentalists and conservationists on Cape Breton
21 Island. And I just have one question for Mr. Musial
22 through the Chair.

23 I have at home a snapshot of the signing
24 of the 1986 Federal/Provincial Agreement for cleanup of
25 the Sydney Tar Ponds, and in that picture, if I recall it

1 correctly, Charlie Musial is seated between another dear
2 friend, who is now departed, Theresa Boyd, and another
3 friend, who's departed, Bruno Marcocchio's wife, Roberta
4 Bruce.

5 I just wonder, Charlie, having seen Tar
6 Ponds cleanups promised and not take place, have you got
7 a sense of what you'd like to see done? I know how you
8 feel about Bridgeport Basin and the mess they made at the
9 VJ site. Do you have a view you want to share on the Tar
10 Ponds and Coke Ovens cleanup?

11 MR. MUSIAL: The only thing I can suggest
12 -- and it is a suggestion -- if the proponents hadn't put
13 their nose into the VJ plant, I probably wouldn't be here
14 tonight.

15 But I would suggest if there's any way of
16 remediating this stuff, running it behind or whatever --
17 I understand that there's processes that can be done to
18 do that -- I think that's what you should do. I don't
19 think that there's any way that you can contain this
20 material and know it's going to be contained by using
21 hard set concrete or something of that nature.

22 I was awful proud of my young fellow -- if
23 you don't mind me making this -- you know, we're not all
24 stupid, eh? I think he thinks I am.

25 But he graduated out of Saint F.X. College

1 with an Honours Degree in Science. He was with Fisheries
2 and Oceans when they condemned the lobsters in Sydney
3 Harbour for being contaminated. He also found problems
4 with mothers' human milk throughout Nova Scotia. He
5 worked with Fisheries and Oceans for a while. He's in
6 the U.S. now.

7 I was proud of him. I don't think he's
8 too proud of me. I think he thinks I'm kind of stupid.
9 Maybe he's right, but I don't think so. But anyway, I
10 just offer that.

11 There's no way I can see them doing
12 anything properly with the Tar Ponds situation here. If
13 there's a way of rendering it benign, render it benign.
14 If not, then God bless ya. It's on your shoulders.

15 THE CHAIRPERSON: Thank you. Thank you,
16 Ms. May. Ms. MacLellan.

17 --- QUESTIONED BY CAPE BRETON SAVE OUR HEALTH COMMITTEE

18 (MS. MARY-RUTH MACLELLAN)

19 MS. MACLELLAN: Through the Chair to Mr.
20 Musial, thank you very much, Mr. Musial, for your
21 presentation. I don't think you're stupid. I think
22 you're a walking history book, and I hope you live to be
23 300 or more.

24 I have to say first that I'm glad that you
25 did your presentation the way you did. It backs up a lot

1 of the things I told the Panel prior to your presentation
2 here.

3 I had a call one day from a Grand Lake
4 resident a number of years ago who was concerned about
5 them taking that water in the trucks that you talked
6 about, and he wanted to know if I would follow the truck,
7 so I did, and I did watch them dump that in the abandoned
8 mine site, so you've just confirmed that that did happen.
9 Thank you.

10 And I have residents from New Waterford
11 that are on our committee that are really concerned about
12 their drinking water, and they follow Kilkenney Lake and
13 Waterford Lake on an ongoing basis, and one of the things
14 -- actually, one of them did arrive at my door about four
15 years ago, maybe a little bit longer, with dead frogs.
16 Do you remember that incident? It was around the time
17 that DEVCO was remediating and flattening a road that was
18 old stone?

19 MR. MUSIAL: Ma'am, there's so many
20 incidents happen, I don't know if I can remember that one
21 or not, but I'll take your word for it. If that
22 happened, I'd say it did. I can believe it.

23 MS. MACLELLAN: Yeah. Thank you. Knowing
24 that you're with the Fish & Game, could you tell me about
25 the wetlands, since all that area is considered wetlands

1 -- what the laws are for putting incinerators -- you
2 know, that wetlands are supposed to be kept wetlands and
3 not for industrial use?

4 MR. MUSIAL: With wetlands, the powers
5 that be have no respect for wetlands, and I'm afraid they
6 have no respect for environment. And no matter what I
7 can tell you about them -- we had a case here a few years
8 back, and I think my Councillor here knows about it
9 because he gave me some advice at the time.

10 Somebody wanted to build -- get permission
11 to build a trailer and -- live-in trailers, you know --
12 by a wetland adjacent to the brook that runs out of
13 Kehoe's Lake. And of course, we bucked that. And I made
14 my first presentation to the Mayor at the time -- Mayor
15 Musial, it was -- and I wasn't allowed to make a second
16 one, and I didn't make a very good job of the first one
17 because you know, I'm not a college man. But I did the
18 best I could.

19 But when I wanted to go there again a
20 second time, I wasn't permitted to make a second -- I had
21 one chance and that was it. But my Councillor here gave
22 me good advice. He told me what I got to do is "Make up
23 parcels of your material and pass it out to each
24 Councillor. They're going to have to vote on this thing.
25 They can't stop you from doing that."

1 So I made up 19 of those things following
2 the gentleman's advice, passed them off to the
3 Councillors, and the Councillors voted in our favour, and
4 our wetland on that particular occasion was protected.
5 But they wouldn't protect it for all time, you know.
6 They'd only protect it as long as they were in power.
7 And they said that if the Minister of Environment changes
8 -- wants to change it, then it will be changed.

9 Another case too. You know, that County
10 Council has a lot of power if they want to use it. It
11 really has.

12 Years ago, before the amalgamation of the
13 towns around here, there was a -- I had a call from the
14 wildlife organization over in North Sydney. They were
15 going to build -- Irving Oil wanted to fill in three
16 acres of the Bras d'Or Lake in order to put a service
17 station on it, and the Minister in charge in Halifax gave
18 them the okay to do it, and the Wildlife Organization
19 over in North -- in Bras d'Or, it was -- asked for my
20 help, would I get at it and help get after the Mayor.

21 It was a warden at that time, Warden Kyte.
22 And I did and they stopped it, eh, despite the fact that
23 Halifax tried to make it work. The mayor or the warden
24 at that time stopped that.

25 But do you think I could get Mr. Burgess

1 in Halifax at that time to rescind that whole thing. He
2 would not do it so as far as the Nova Scotia Department
3 of Environment is concerned, Irving can still fill in
4 three acres of the lake.

5 So I don't know about your wetlands,
6 Ma'am. I just know whenever there's a threat on then, if
7 there's not somebody there to try and stop it, then
8 they're going to -- as far as the government and as far
9 as the authorities are concerned, it doesn't make a
10 tinkers damn. They don't care.

11 MS. MACLELLAN: Thank you, Madam Chair.
12 I'd just like to ask you to consider what Mr. Musial has
13 said. He may not have a degree, a university degree but
14 he does, indeed have a degree in the university of life.
15 Thank you.

16 THE CHAIRPERSON: Thank you very much, Ms.
17 MacLellan. Mr. Lelandais.

18 --- QUESTIONED BY MR. HENRY LELANDAIS

19 MR. LELANDAIS: Thank you, Madam Chair.
20 It's partly a question but mostly I just want to say
21 thank you Charlie. I haven't seen you for a few years
22 since we worked on the strip mine thing together. We won
23 that one. We didn't get the strip mine yet. Hopefully
24 we'll do the same again. The other part that is a
25 question, Charlie, in our own submission to the Panel a

1 few days ago we cited the fact that the Bridgeport Basin
2 contained numerous wetlands and was part of the watershed
3 for the water supply, Kilkenny Lake and so on and New
4 Waterford Basin.

5 And the answer we received, I think, from
6 the Proponents there was that it was not a protected
7 water supply. The Basin was not a protected watershed,
8 therefore it didn't come under the CCME regulations. Our
9 contention was that it did come under regulations and
10 that the VJ site should not have been chosen for that
11 very reason, that it was a watershed. My question is do
12 you agree with our own proposal that it definitely is a
13 watershed listed under the Nova Scotia listings of
14 watersheds. It has a number and should be protected in
15 that category?

16 MR. MUSIAL: All watersheds should be
17 protected. All watersheds should be protected. Anybody
18 living outside of a watershed no matter what
19 qualifications he may have or what corporations he may
20 belong to he does not have the ethical, moral or
21 conventional right to enter in an -- people's watershed
22 -- residence watershed where they depend on it. It
23 doesn't matter who they are. It simply doesn't matter.

24 It's the same with the, as I said before,
25 the Proponents of this said that they went to the

1 stakeholders. They didn't go to any stakeholders in the
2 Bridgeport Basin there. They went to everybody else but
3 the stakeholders. The stakeholders are the people that
4 live in that area. The people that live there that said
5 before 200 years and that. It's the same with any
6 watershed area. They -- I'm telling you ladies and
7 gentlemen, there's no respect for the environment. There
8 really is not. And there's no respect for the life of
9 the land. There's no respect for the people that's
10 living in the land. And that's it.

11 MR. LELANDAIS: Thank you, Charlie. It's a
12 pleasure to see you again. Thank you Madam Chair.

13 THE CHAIRPERSON: Thank you very much, Mr.
14 Lelandais. Mayor Morgan, you have the final question of
15 the evening.

16 MAYOR MORGAN: Thank you, Madam Chair.
17 Charlie, again, thank you for your presentation and I
18 just want to note that the CBRM gave an award for
19 volunteer organization of the year to New Waterford Fish
20 & Game Association some time ago in recognition of your
21 service. One point that you made with respect to the
22 lakes, Waterford Lake and Kilkenny Lake. And I just
23 wanted to clarify because the question came up about
24 those lakes and their current status.

25 Waterford Lake is the principal water

1 supply for the town of New Waterford. Kilkenny Lake is
2 the backup water supply and it's used frequently when the
3 water level gets low in Waterford Lake. So it's a
4 significant waterway and I think the point's been very
5 well put forward that it's very close to the site of the
6 proposed incinerator and I thank Mr. Musial and the group
7 for pointing out the issue to the Panel. Thank you.

8 MR. MUSIAL: Thank you, Mr. Morgan.

9 THE CHAIRPERSON: Thank you very much.

10 MR. BRODERICK: Perhaps -- and again I
11 just spoke to Mr. Musial for a moment, but it's ironic
12 that some time ago the Town of New Waterford expropriated
13 a great deal of property from a landowner around Kilkenny
14 Lake because it was a watershed. And they've stopped all
15 building. There were communities out there that have
16 been shut down and completely moved at that particular
17 time.

18 And I don't have a good feeling, as Mr.
19 Musial and I had discussed this awhile back that how can
20 it be a watershed for a convenience to move people and
21 keep people away but yet be dismissed as a watershed when
22 it meets the needs of people who are trying to put
23 something there and if in fact, games like that are being
24 played now then that casts some serious doubt on
25 credibility, I would suggest of the people making those

1 decisions. That's right isn't it Charlie.

2 MR. MUSIAL: Yeah, thank you.

3 THE CHAIRPERSON: Thank you very much.

4 That does bring us to the end of this evening's session.
5 So again, I'd like to thank you, Mr. Musial, very much
6 for your presentation, for answering our questions and
7 the questions of other participants and thank you, too,
8 to your associates who came with you this evening. And
9 for their participation. We really appreciate you being
10 involved. So we've now ended this evening's session.

11 We have one more day as you know, and then
12 you can all resume your other lives. So tomorrow morning
13 can I remind you that we start at 8:30 not at 9:00 which
14 is our usual starting time. We will have closing
15 remarks. Closing remarks will be 15 minutes allotted to
16 each registered person who is registered to make closing
17 remarks. We will not be having questioning. Anyway we
18 look forward to seeing you tomorrow for the final day of
19 the hearings. Thank you very much. Good night.

20

21 (ADJOURNED TO THURSDAY, MAY 18, 2006 AT 8:30 P.M.)

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF COURT REPORTERS

We, Lorrie Boylen, Ruth Bigio, Sandy Adam, Janine Seymour and Gwen Smith-Dockrill, Court Reporters, hereby certify that we have transcribed the foregoing and that it is a true and accurate transcript of the evidence given in this Public Hearing, SYDNEY TAR PONDS AND COKE OVENS SITES REMEDIATION PROJECT, taken by way of digital recording pursuant to Section 15 of the Court Reporters Act.

Lorrie Boylen, CCR
Sandy Adam, CCR
Ruth Bigio, CCR
Gwen Smith-Dockrill, CCR
Janine Seymour, CCR

Thursday, May 18, 2006 at Halifax, Nova Scotia