

PUBLIC HEARING  
SYDNEY TAR PONDS AND COKE OVENS SITES  
REMEDICATION PROJECT

JOINT REVIEW PANEL

---

V O L U M E 2

---

HELD BEFORE: Ms. Lesley Griffiths, MCIP (Chair)  
Mr. William H.R. Charles, QC (Member)  
Dr. Louis LaPierre, Ph.D (Member)

PLACE HEARD: Sydney, Nova Scotia

DATE HEARD: Monday, May 1, 2006

APPEARANCES: STPA (PANEL):  
Mr. Frank Potter  
Mr. Gregory Gillis  
Mr. Shawn Duncan  
Dr. Brian Magee  
Mr. Donald Shosky  
Mr. Wilfred Kaiser  
Dr. John Walker  
Dr. Malcolm Stephenson

---

Recorded by:  
Drake Recording Services Limited  
1592 Oxford Street  
Halifax, NS B3H 3Z4  
Per: Mark L. Aurini, Commissioner of Oaths

I N D E X   O F   P R O C E E D I N G S

PAGE NO.

THE CHAIRPERSON - OPENING REMARKS . . . . . 221

STPA PANEL - MR. FRANK POTTER, MR. GREGORY  
GILLIS, MR. SHAWN DUNCAN, DR. BRIAN MAGEE,  
MR. DONALD SHOSKY, MR. WILFRED KAISER,  
DR. JOHN WALKER AND DR. MALCOLM STEPHENSON

    Questioned by Joint Review Panel . . . . . 223

1 --- Upon commencing at 1:04 p.m.

2 THE CHAIRPERSON: Well, good afternoon,  
3 ladies and gentlemen.

4 I'd like to wish you a happy May day.  
5 It's a beautiful day out there, and thank you for coming  
6 in out of the sunshine to participate in this hearing.

7 My name is Lesley Griffiths, and I am the  
8 Chair of this Environmental Assessment Review Panel.

9 On my right is Dr. Louis LaPierre. On my  
10 left is Mr. William Charles.

11 I'm going to say very little. You will be  
12 relieved to hear, at the beginning. I do want to let you  
13 know that the panel did prepare a detailed hearing's  
14 procedures, which will guide proceedings during the next  
15 -- until May 19th, and if you do not have a set of those,  
16 or you wish to have some, please speak to Ms. Debbie  
17 Hendricksen, who is just over on my left and she will be  
18 able to provide you with copies of the proceedings.

19 There's nothing much about the proceedings  
20 that I need to tell you today, because today, just as  
21 Saturday, is a day that the panel has reserved for our  
22 questioning to the proponent. So, we will be continuing  
23 with that process.

24 Tomorrow, as you probably all know, we are  
25 then going to move on to questions from the public to the

1           proponent.

2                               So, we'll -- when we begin tomorrow's  
3           session, I will have a little bit to say about the  
4           procedures we're going to follow with respect to  
5           questioning.

6                               I just want to say one other thing though  
7           about process, in case we have new people in the room who  
8           didn't hear me say this on Saturday, and that is that --  
9           as I'm sure you're all well aware -- we need as a panel  
10          to be totally impartial and we need to -- anything that  
11          we hear and receive from anybody, anything that anybody  
12          says to us during this review process, needs to be said  
13          publically, it needs to be recorded, it needs to come  
14          through microphones.

15                              And this means that, I'm afraid, we can't  
16          engage in any private discussions with anybody during the  
17          hearing.

18                              So, I would ask your patience and ask you  
19          not to try and come up and speak to us. It's not that  
20          we're unfriendly. We'd be very happy to talk to you  
21          under other circumstances, but we can't during this  
22          particular process.

23                              Before we begin our questions from the  
24          panel to the proponent, I would like to ask the  
25          proponent, if we can deal with some housecleaning issues.

1                   And so, I believe, on Saturday you made  
2                   some undertakings to provide us with information, and I  
3                   believe that you have a number of those that you're ready  
4                   to present, that's item number one. If you have any  
5                   points of clarification that you would like to make with  
6                   respect to answers that you gave on Saturday, we'll allow  
7                   some time for that.

8                   And finally, I believe we had two  
9                   questions that were deferred because Malcolm Stephenson  
10                  was not with you on Saturday.

11                  So, if you're prepared for those, we can  
12                  also pursue those, or we can do those later.

13                  SYDNEY TAR PONDS AGENCY

14                  --- QUESTIONED BY THE JOINT REVIEW AGENCY

15                  MR. GILLIS: Thank you very much, Madam  
16                  Chair.

17                  First of all, Dr. Stephenson is with us.  
18                  I'm not sure the panel can see him. He's behind the  
19                  screen there on my left and to your right. So, he'll be  
20                  available to respond ---

21                  THE CHAIRPERSON: Well, I will take your  
22                  word for it.

23                  MR. GILLIS: There are a number of  
24                  understanding as you mentioned.

25                  The first one related to -- I guess it

1 didn't make the list of understandings, but it was a  
2 question that was posed that we wanted to make sure that  
3 we had a response to.

4 It related to a question from Dr. LaPierre  
5 regarding the calculation of destruction removal  
6 efficiency.

7 And I would ask Dr. John Walker to provide  
8 an answer to that question, please.

9 DR. WALKER: What we undertook to provide  
10 you was a reference on documentation of the definition of  
11 DRE, and I have that with me, and we'll bring it to you.

12 It's taken from Chapter 40 of the US Code  
13 of Federal Regulations, and it is Section 264.343.

14 And, essentially, what it says is that the  
15 destruction removal efficiency is that amount of material  
16 that goes into a process that is not emitted to the air,  
17 and it doesn't appear in formal Canadian legislation;  
18 however, on a couple of project bases the Nova Scotia  
19 Department of Environment as well as Environmental Canada  
20 has accepted the same definition as used in the U.S.

21 So, shall I bring that ---

22 THE CHAIRPERSON: If you are presenting  
23 something to the panel, I would appreciate receiving one  
24 copy for the panel, one copy to go to the Secretariat,  
25 and we can formally put that in, if that's possible.

1 DR. WALKER: Thank you, Madam Chair.

2 Now, we have also -- we would be quite  
3 prepared at this time to discuss how the DRE is actually  
4 measured in the context of test burn, which I'm sure we  
5 will be doing at some point in these proceedings.

6 We could do it now, or at your wish defer  
7 it.

8 DR. LAPIERRE: I think it would be best to  
9 wait, because -- we certainly want to get back at it, but  
10 I would like to read this first.

11 THE CHAIRPERSON: Thank you, Dr. Walker.

12 I just want to make a little check here.  
13 I'm sure you will let me know in the back, if you can't  
14 hear.

15 So, do that.

16 UNKNOWN VOICE: I can't hear you very  
17 well.

18 THE CHAIRPERSON: You can't hear me now?

19 All right. I would just like to remind  
20 everybody that I think you need to be fairly close to  
21 your mike when you speak.

22 MR. GILLIS: Thank you.

23 The second point of clarification was a  
24 calculation that Dr. Brian Magee did with respect to PAH  
25 concentrations.

1                   And Dr. Magee has gone over his  
2                   calculations with the aid of a larger calculator, I  
3                   guess, and he now has some additional information.

4                   DR. MAGEE:    Yes, I'm afraid I was a bit  
5                   hasty when the question was asked on Saturday about what  
6                   the average PAH concentration was -- that's polycyclic  
7                   aromatic hydrocarbons -- and I glanced at a table from  
8                   Volume 5 of the EIS, Table 4.11 -- that is the correct  
9                   table -- and I was a bit hasty.

10                  When we went back and actually calculated  
11                  -- remember we have four areas. We have the excavation  
12                  and the stabilization in the north, and the same in the  
13                  south. So, there are four areas.

14                  If we take just the three ring and higher  
15                  compounds as a definition of PAH, the range for these  
16                  four areas for the upper 95th confidence interval is 3900  
17                  megs per kilogram, which is the same as parts per million  
18                  to 8300 megs per kg, some people consider that  
19                  naphthalene should be thrown in and called NPAH. I'm  
20                  neutral on that topic. But I just will give you the  
21                  number as when we include naphthalene in as well, and  
22                  that would be 6200 milligrams per kilogram to 1300  
23                  milligrams per kilogram.

24                  The data are all in that Table 411. It's  
25                  just that we merely added them up with a calculator,

1 rather than me eyeballing it on Saturday.

2 So, I apologize to the Chair, but these  
3 are the correct numbers.

4 THE CHAIRPERSON: Thank you.

5 DR. MAGEE: Sorry, I believe I've made a  
6 mistake again.

7 Sixty-two hundred to 13,000, one three  
8 comma zero zero zero.

9 MR. GILLIS: Thank you, Dr. Magee.

10 The next undertaking related to providing  
11 more detail regarding the extent of bedrock and aquifer  
12 information.

13 The information in this project and the  
14 project that we've been given focused on human health and  
15 ecological risks associated with shallow water aquifer  
16 information.

17 But what I'll do is, I'll turn the  
18 question over to Don Shosky to explain some of the  
19 interplay between -- with a deep aquifer.

20 MR. SHOSKY: Thank you, Mr. Gillis.

21 We'll put on a slide at this point, will  
22 we?

23 I'll take a moment to give some  
24 orientation here. Can you see? If I stand here, can  
25 you see? Okay.

1 I'll give some orientation where the Coke  
2 Ovens Site is, the Tar Ponds. We can supply additional  
3 cross-sections, but with the short duration of time that  
4 we have, I'll verbally go through and explain to you the  
5 hydro geologic conditions, as I understand it. And we  
6 can follow that up with additional information, if you so  
7 desire.

8 Generally speaking, the groundwater flow  
9 goes towards the Tar Ponds, and when we talk about the  
10 deeper groundwater flow areas where there's apparently  
11 contamination, it's in this area here or on the area here  
12 where the tar cell is located.

13 The depth of contamination goes down to  
14 approximately 50 metres. Given that information and the  
15 way that the hydraulic stratigraphy is laid out and the  
16 elevation changes involved, by the time the groundwater  
17 moves from this area here down to the Tar Ponds area,  
18 it's almost at an equal level or a slightly deeper level  
19 than where the Tar Ponds bottom is, after the monolith  
20 has been created.

21 Is this better? Okay. So, I'll just --  
22 briefly again, this is the area where we suspect the  
23 deeper contamination to be, at about 50 meters. The  
24 contaminated water, in general, shallow and deep, moves  
25 towards the Tar Ponds.

1                   By the time you take into a difference of  
2                   -- the differences in elevation changes, the bedrock  
3                   that's fractured that contains the contaminated waters,  
4                   in this area is almost to the bottom of the monolith or  
5                   slightly lower than the bottom of the monolith at the Tar  
6                   Ponds location.

7                   So, the question was, how do these two --  
8                   how does the hydraulic interactions occur and what makes  
9                   this particular containment system safe and how is it  
10                  monitorable.

11                  And, basically, if we go to the other set  
12                  of slides that we have -- bear with us for a moment while  
13                  we get these up -- I believe we want the first one in  
14                  that series, No. 18.

15                  Keeping in mind that the idea is to try  
16                  and isolate and manoeuvre the water around the monolith  
17                  structure, we know that the water is coming down in this  
18                  direction towards the channel at a very deep depth,  
19                  shallow waters would be coming towards the monolith.

20                  You'll see that we have a number of  
21                  interceptor lines with a -- small key sections here for  
22                  intercepting the shallow waters that may be coming onto  
23                  the monolith site, and they interconnect with the deeper  
24                  trench system that we talked extensively about on  
25                  Saturday. And we have a cross-section of that for

1 everyone's reference.

2 The next slide, please. This is the one  
3 within the presentation on Saturday.

4 If we take the orientation of the two  
5 together, this one would be lengthwise, up and down the  
6 Tar Ponds, as oppose to across the Tar Ponds.

7 Again, this would be the single  
8 interceptor lines. If you were looking back towards the  
9 screen into the distance, you would see the "T" area.  
10 That would be constructed in an effort to collect any  
11 other shallow waters that would be coming.

12 As we talked on Saturday, once this area  
13 is stabilized, which is this area here, the blue area,  
14 the question was, how does the water that would come --  
15 potentially come from upgradient that maybe contaminated  
16 in the future, how would that ever enter here? Where  
17 would it show up and how would it be dealt with?

18 Our intention is to use these trenches to  
19 collect and direct that contaminated water, if indeed it  
20 does ever come down to that area, and at the end of each  
21 one of those trenches towards the channel that is being  
22 constructed, there will be monitoring points that will  
23 look for changes in water chemistry that may indicate  
24 that an impact has occurred.

25 So, in detail, here, these trenches are

1 physically isolated from the monolithic material around  
2 it, by virtue of using a high density polyethylene liner  
3 system, which has a very, very low permeability.

4 If you all recall from Saturday's  
5 discussion this material here was roughly a clay type of  
6 material. It has  $10^{-6}$  permeability as a  
7 minimum. That was also underlain by a GC -- what we call  
8 a GCL -- which was the clay sandwiched between two sets  
9 of fabric, which has a permeability of  $10^{-9}$ .  
10 Three orders of magnitude difference.

11 The high density polyethylene liners that  
12 are part of this trench system have a permeability of  $10^{-14}$   
13 centimetres per second. Very, very safe  
14 conditions from an isolation perspective.

15 So, in relationship to the surrounding  
16 hydro geologic conditions, what the conditions were  
17 before the monolith was built, just to give you an idea,  
18 we are changing the monolith to make it a permeability of  
19  $10^{-6}$ , to that minimum, although our testings  
20 show that we were successful in getting  $10^{-8}$   
21 permeability of material here.

22 The sediments left untreated are about  $10^{-3}$   
23 to the minus 3. So, there's almost three orders of  
24 magnitude more able to transmit water before  
25 solidification than after solidification.

1                   The last -- so to answer another part of  
2                   the question from Saturday was that these trenches will  
3                   be used as part of the monitoring system.

4                   And as far as installation of the monolith  
5                   to ensure that we do not have crumbling of the monolith  
6                   and that it is a good solid mass when it is installed,  
7                   there'll be an astringent quality assurance/quality  
8                   control program that will be put in place, in order to  
9                   ensure that compressive strengths are met and that the  
10                  material is placed properly when it's laid down, so that  
11                  we do not have any problems with fracturing of this  
12                  monolithic material after it's been cured.

13                  Also, could you go back to the previous  
14                  slide.

15                  I'd like to take a moment to explain how  
16                  the interaction occurs along this side of the Tar Ponds  
17                  as well, because it's important to understand that even  
18                  though this is left as an open channel that there are  
19                  protections to the monolith that occur here.

20                  So, as you can see these distinct points  
21                  here would become monitoring points, along this discharge  
22                  pattern, along the monolith, but that the monolith,  
23                  itself, is protected on this side of the construction as  
24                  well.

25                  So how is it protected? It's protected,

1 initially, by steel sheet piling that is put in there.  
2 And the steel sheet piling is backed up, and the channel  
3 once it's clean -- once the sediments that are impacted  
4 are cleaned from this channel -- it will be lined with an  
5 HDPE liner and that will be adhered to the steel sheet  
6 piling.

7 So, when we're done here, this will be a  
8 clean area that would be restored with an impervious  
9 liner, as well as some rocks and stones and things like  
10 that to create more of a better environment for fish and  
11 biota and things of that nature.

12 Beyond the steel sheet piling, we will be  
13 putting in rip-wrap another HDPE liner. Well, why are we  
14 doing that? Because we expect that that sheet piling, in  
15 and of itself, may only last between -- sometime between  
16 30 and 50 years.

17 By coming in behind that with the rip-wrap  
18 and HDPE liner material, it extends the life of that  
19 particular interface between open water -- or not open  
20 water conditions, but the channel water conditions which  
21 will have water in them all the time, and the material  
22 that's behind the HDPE liner, which is the monolithic  
23 material.

24 From that standpoint, that's how that area  
25 is protected and the whole capping sequence is then tied

1 together, both the top and the sides, creating these  
2 isolated conditions.

3 So, hydraulically isolation here,  
4 monitoring. If we were to go to the other slide from  
5 behind -- you don't need to switch it -- and then  
6 monitoring points and protection as well along these  
7 other faces.

8 So, that's how the system all fits  
9 together to minimize leeching of potential contaminants.

10 DR. LAPIERRE: A question.

11 MR. SHOSKY: Yes.

12 DR. LAPIERRE: I just want to make sure I  
13 understood correctly.

14 Now, if groundwater was to seep in under  
15 the monolith, as you've indicated it would move up  
16 through the drainage system, and then through that  
17 drainage system, it would move towards the ditch, and  
18 once it gets to the ditch you have monitoring points, but  
19 that ditch is open to the ocean.

20 Now, if contaminated water gets in the  
21 ditch, and it was contaminated, how can you stop it from  
22 going to the ocean?

23 MR. SHOSKY: That's a very good question.

24 How would we stop -- and I believe we're  
25 all talking -- so that we all are on the same page as far

1 as talking points -- we're talking about at each one of  
2 these lateral locations, how would we stop water from  
3 just being discharged?

4 Our current thought on that, right now, is  
5 that these areas will be valved, and that we will have a  
6 -- and water will not be released to free flow without  
7 being trapped first and tested to determine whether or  
8 not it's clean, or dirty, and would require monitoring  
9 along these lines during the life of the project. That's  
10 our current thought on that right now.

11 So, there would be mechanisms to stop it.  
12 One of the earlier things we contemplated was a larger  
13 interceptor trench along this entire area here, but we  
14 felt that if we found contamination at that point, we  
15 would not be able to isolate it and treat it.

16 In this case, if we find the problem here,  
17 we can isolate it and treat it. If we find it here, we  
18 can isolate it and treat it.

19 So, we felt we had more control over  
20 isolation and treating, focusing our resources on a  
21 smaller source problem than a larger potential problem if  
22 not controlled properly.

23 DR. LAPIERRE: So, isolation and treatment  
24 would be pumping it and bringing it to your treatment  
25 plant?

1 MR. SHOSKY: Basically, yes. Or -- yes,  
2 that would be the treatment process.

3 MR. CHARLES: Mr. Shosky, can I ask you a  
4 question?

5 It's not about the water so much. Well, I  
6 guess, it is. It's about the channel.

7 This is a channel that has one side on the  
8 pond side with sheet piling and so on, and on the land  
9 side -- if I can refer it that way -- it's -- I walked  
10 the ponds yesterday, so I could get a look at this -- and  
11 on the land side, you're going to have some kind of rock  
12 against the side -- sort of a form on the other side of  
13 channel.

14 MR. SHOSKY: Yes, that's correct.

15 MR. CHARLES: Do you expect very much  
16 contamination to come from the landside into the channel?  
17 And I assume if you do, you expect it will be picked up  
18 further down with your monitoring, is that the ---

19 MR. SHOSKY: Let me make sure I understand  
20 -- let me make sure I can explain what you've just asked  
21 me to respond to.

22 What we're talking about is this side, on  
23 this side right now, correct?

24 MR. CHARLES: We're talking -- as I  
25 referred to the land side, rather than the pond side.

1                   MR. SHOSKY: Right. Which for everybody,  
2 this is this side of the -- right now, we don't  
3 contemplate having a contamination problem coming from  
4 that part of the site into that channel.

5                   I believe that there still is some -- I'm  
6 sorry, go ahead, Mr. Gillis.

7                   MR. GILLIS: I'd just like to ask Mr.  
8 Potter to explain a little bit about what's going on on  
9 that side of the channel right now, from an historical  
10 perspective.

11                  MR. POTTER: We do understand fairly well  
12 what is on that shoreline side.

13                  The only area of concern would be at, what  
14 we would call, the former CN rail yards, up at the north  
15 -- right there, correct.

16                  They do have on site contamination  
17 problems, but they are currently being addressed through  
18 remediation of their own project there. We would expect  
19 that that would continue to be monitored, and -- the only  
20 potential would be that there could be some hydrocarbons  
21 that could move into our ditch -- constructed ditch area,  
22 but we don't expect that's a problem, because it's a  
23 managed site already, and they would be ensuring that  
24 that didn't occur.

25                  MR. CHARLES: So, when you say you know

1 what's going on, you understand what contaminants are  
2 there or potentially may be there.

3 MR. POTTER: We can firmly say that we  
4 know what is there.

5 We would have to prepare like any  
6 situation anywhere. There could be an occurrence that  
7 happened somewhere, a tank starts leaking and starts  
8 seeping into the brook, that can happen at any point in  
9 time from any location.

10 You know, there's appropriate procedures  
11 to respond to that, but for current conditions we  
12 understand what's along that shoreline and the only point  
13 of concern would be the CN property, which is managed,  
14 and we don't expect that to be a problem for us.

15 MR. CHARLES: But in any event you are  
16 going to monitor what's going down the channel anyhow.

17 MR. POTTER: That's correct.

18 MR. CHARLES: Thanks.

19 MR. SHOSKY: I believe that that concludes  
20 this portion unless the panel has any other questions at  
21 this point on that.

22 DR. LAPIERRE: I guess just for  
23 confirmation the deep aquifer groundwater is not a  
24 concern of yours, as you see it as not part of the  
25 project.

1 MR. SHOSKY: Let's go back to the previous  
2 slide.

3 In my professional opinion, I think we  
4 have monitoring capabilities here. The question of  
5 whether or not material will go from the Coke Ovens  
6 Sites, within any reasonable amount of time, to be --  
7 travel down to this area could potentially be a very,  
8 very long time.

9 So, monitoring is available. Technically  
10 it's in the right place to catch a problem. If the  
11 problem ever gets that far within our lifetime that may  
12 be a bigger issue.

13 THE CHAIRPERSON: I just have two  
14 questions. One is clarification for me. It's the "T"  
15 part of the drainage system. At what level is that?

16 So, it intercepts as a "T", and it  
17 intercepts with the vertical, but not at the bottom.  
18 Somewhere closer to the top it intercepts. At what depth  
19 will that be?

20 MR. SHOSKY: It's more designed to capture  
21 shallow waters that would be coming from this portion of  
22 the adjacent properties.

23 THE CHAIRPERSON: Does it show up in your  
24 other diagram?

25 MR. SHOSKY: Not in the one that I got

1 presented now.

2 There's other diagrams that we have that  
3 we could show later if you desire to see that.

4 THE CHAIRPERSON: Well, if you would yes,  
5 or provide them. My second question is a possible  
6 request.

7 It's always great to see the real thing,  
8 and when Earth Tech did their solidification testing,  
9 have you still got that stuff? Is it hanging around in a  
10 bucket? And, if so, would it be possible to bring in  
11 some of those solidified samples, so that we could  
12 actually see the results?

13 MR. SHOSKY: Well, I don't ---

14 THE CHAIRPERSON: I mean, I don't want you  
15 to have to bring in, you know, a 10 x 10 x 10 ---

16 MR. SHOSKY: I'm not opposed to doing  
17 that. I'm -- if it's the sort of thing that you'd feel  
18 more comfortable with people touching and feeling and  
19 things like that. I can create new samples out of clean  
20 material and do that, if you'd like. I'm not sure if  
21 there's any of the moulds left, currently, since this was  
22 done last summer, that are still available.

23 Although, I could bring in some other  
24 samples of solidified material.

25 THE CHAIRPERSON: Well, I guess, the issue

1 is there's been a fair amount of description and a fair  
2 amount of questioning about the consistency of the  
3 monolith, and anything that you could, you know, being  
4 able to sit in front of you is worth a thousand words,  
5 and if there's anything that you could bring in that  
6 would give us a better sense of exactly what that  
7 consistency is, I think would be very helpful.

8 MR. SHOSKY: I'll check and see what the  
9 status of the samples were that we took during the  
10 summer, and see what I can do.

11 Or, as I said, if you'd like we could  
12 create some clean ones, so that people could actually  
13 touch it, but ---

14 THE CHAIRPERSON: Okay. Thank you very  
15 much.

16 MR. GILLIS: Just so that I am clear. So,  
17 we are undertaking to provide either the samples that  
18 were assessed or some pretty good facsimile of what would  
19 be there. Is that correct?

20 THE CHAIRPERSON: Well, I think they're  
21 undertaking to investigate the feasibility of either of  
22 those, or meeting my request in some manner and then come  
23 back.[u]

24 MR. GILLIS: Thank you.

25 MR. SHOSKY: Thank you.

1                   MR. GILLIS: The next undertaking that we  
2 took was to provide an example of a similar project that  
3 involved containment waste in the saltwater environment  
4 in the same way of solidification and stabilization.

5                   And, again, I'll ask Don Shosky to give a  
6 little bit of an explanation of some of the work that  
7 he's done in the past.

8                   MR. SHOSKY: We have a couple of different  
9 items that we'd like to discuss with that right now.

10                   And I think we'll start out with  
11 solidification in marine or saltwater -- saltwater type  
12 of environments, and there was really two components to  
13 that question.

14                   One was, does salt/chlorine have an effect  
15 on the stability of cement matrix once it's been made.

16                   And I got a study which was done by the  
17 U.S. Department of Energy, the Oakridge National  
18 Laboratories for cementitious stabilization of mixed  
19 waste with high salt loadings.

20                   The purpose of that study and it was done  
21 in April of 1999, and I'll give you full reference on it  
22 once -- before the day's over -- the criteria for this  
23 study was is that there would be no free water. The  
24 average compressive strengths of the resulting material  
25 had to be greater than 500 psi, and the resulting

1 leachability test must fall within the U.S. standards for  
2 TCLP requirements.

3 Now, what's important about these high  
4 saline waste streams that come from radioactive materials  
5 is that the idea behind that is to come in a create a  
6 solution, a long-term solution, for a long-term problem.

7 As we know, the radioactivity material has  
8 much longer half life than a lot of the compounds that we  
9 looked at last Saturday with Dr. Magee.

10 So, the criteria was, no free water.  
11 Again, average compressive strengths greater than 500  
12 psi, which we talked about earlier, is extremely strong.  
13 It's close to a quarter of the strength of sidewalk  
14 concrete, must fall within TCLP limits.

15 The conclusion was is that the  
16 cementitious waste forms can be used for final disposal  
17 with the salt brines at a loading rate of 50 percent by  
18 weight, which means 50 percent of the material that needs  
19 to be stabilized can be salt.

20 Our salt concentrations in this material  
21 that we have is .03 percent. So, we feel comfortable,  
22 based on this document -- and you're welcome to look  
23 through the document. It's an interesting document, and  
24 it leaves us with the conclusion that at .03 percent we  
25 should be well within safety boundaries of salt content,

1 considering the study that was done where the salt  
2 content was 50 percent of the weight of the material.

3 The other question that I'm prepared to  
4 answer today, that I needed to get clearance from one of  
5 my clients on, was that I do have an estuary case example  
6 that I personally worked.

7 It was a designed built project for a  
8 company called NiSource, and it was for a project, the  
9 Tauton Gasworks Site in Tauton, Massachusetts.

10 It's one that has gone through the state  
11 clean-up program, and there's a lot of information on  
12 that project, publically available.

13 The key points to this project were --  
14 and, of course, it's on a lot smaller scale, so I'm in no  
15 way trying to indicate that it's at the same volume,  
16 level of magnitude that the Tar Ponds Project is, but the  
17 processing is the same. The capping material is slightly  
18 different, but the resulting situation was to create an  
19 engineered contained system that would have  
20 sustainability over time.

21 The project, itself, including sediment  
22 excavation of approximately 1300 cubic yards of material.  
23 A small volume compared to what we have at the Tar Ponds.

24 Sediment was stabilized using cement.  
25 That stabilized material then was placed into a tidally

1 influenced area. We did not have a lot of the extra  
2 liner materials that we do for the Tar Ponds Project.

3 We were relying on boundary controls,  
4 which we successfully installed at the project. We had  
5 additional treatment in place of tar pockets with cement.  
6 We put hydraulic controls, both upgradient and  
7 downgradient, using vinyl sheet pilings and slurry walls,  
8 which gave us complete hydraulic control, at the river.

9 We also did wetlands remediation  
10 restoration program as part of that effort, which  
11 required us to go in and remove coal tars out of a  
12 wetland area and go in and replace it with a totally  
13 restored wetland system.

14 We also constructed in this case a -- what  
15 we're calling a permeable cap, which meant that the  
16 capping material was only probably around 10 to the minus  
17 5 centimetres per second, as opposed to 10 to the minus 6  
18 or 7.

19 And the reason we did that was because  
20 that is the -- this is the project last week or Saturday  
21 that I talked about that was the one that was turned into  
22 a soccer field and park.

23 We went with a more permeable cap on it,  
24 because we were relying quite extensively on getting good  
25 vegetative growth there. For the soccer fields we also

1 did mass water calculations evapotranspiration models,  
2 which indicated that we would not have any detrimental  
3 effects by increased infiltration of water into this  
4 system.

5 The site is monitored right now, as part  
6 of the program, and was turned over -- I believe it's  
7 been turned over to the City of Tauton for long-term  
8 management, as a park and recreation facility for soccer,  
9 and that indeed is what the final usage was for that  
10 facility.

11 I'm happy to -- the only request my client  
12 made is that they didn't want a lot of extra calls, but  
13 certainly if a panel member would like to call them for a  
14 reference that would be fine. But they prefer not to  
15 have names and phone numbers given off in this type of  
16 forum and a lot of questions called to individuals.

17 DR. LAPIERRE: Thank you very much for the  
18 information.

19 I would like to ask a question on the  
20 salinity.

21 You indicated that your salinity was .03

22 ---

23 MR. SHOSKY: Yes.

24 DR. LAPIERRE: --- at the present time.

25 MR. SHOSKY: That's ---

1 DR. LAPIERRE: That's present time.

2 MR. SHOSKY: Yes.

3 DR. LAPIERRE: That includes the  
4 freshwater, saltwater mixing.

5 MR. SHOSKY: That's correct.

6 DR. LAPIERRE: Now, once you put the  
7 monolith in place and you control the flow of freshwater  
8 from the monolith, you may have some coming from other  
9 sources, but it should be diminished.

10 The primary source of water under the  
11 monolith could be saltwater.

12 Is that correct?

13 MR. SHOSKY: That's correct.

14 DR. LAPIERRE: Now, would that have the  
15 same salinity of .03 when you exclude the freshwater from  
16 it?

17 MR. SHOSKY: Just one moment. I'm sorry,  
18 we expect that the salt content would still be somewhere  
19 in the range between 3 and 5 percent, and that the  
20 monolith would still withhold those types of salinity  
21 changes.

22 DR. LAPIERRE: So then you expect a  
23 significant quantity of fresh water to still penetrate  
24 below the monolith, because salt water should be higher  
25 than 3 or 5 percent if it was only salt water.

1 MR. SHOSKY: If it was only salt water, it  
2 would be whatever the concentration of the salt water  
3 would be, and I'm not sure what that is off the top of my  
4 head, I'm sorry. But I think it still would be below the  
5 50 percent criteria that was set forth in that DOE study.

6 MR. CHARLES: Mr. Shosky, I'm just not  
7 quite clear about the type of cement that you were using.  
8 You mentioned the Oakridge cement with the 500 psi  
9 strength, but in your client's situation were they using  
10 cement that strong, or was it a specially adapted cement  
11 to deal with salt water, and would it be the same as  
12 you'd be using here?

13 MR. SHOSKY: It was normal Portland  
14 cement. It was not an add-mix mixture of any specialty  
15 products.

16 MR. CHARLES: And it would be somewhat  
17 similar to what you're going to be using, I take it.

18 MR. SHOSKY: That is correct. And off the  
19 top of my head I don't remember what our compressive  
20 strengths were there but they were -- should have been in  
21 the same order of magnitude as what we're proposing for  
22 the Tar Ponds.

23 MR. CHARLES: Okay. I just wanted to be  
24 sure that it wasn't a special cement that had been, you  
25 know, treated in some way to deal particularly with salt

1 water.

2 MR. SHOSKY: No, there was no special  
3 additives added to it.

4 MR. CHARLES: Thank you very much.

5 MR. GILLIS: The final undertaking that  
6 we're going to talk about relates to providing a report  
7 indicating or providing information regarding the most  
8 efficient rail method to transport the waste to the  
9 incinerator, and again I'll ask Don Shosky to talk about  
10 that.

11 MR. SHOSKY: This was in response to the  
12 question that was asked on Saturday about the use of flat  
13 cars, and, as I said on Saturday, we've been in the  
14 process of re-evaluating this for the last couple of  
15 weeks. We had a number of comments from the independent  
16 engineer on that, as well, and basically I thought I'd go  
17 through the process so that everybody understands the  
18 issue over rail traffic, and then I'll give the short  
19 response.

20 Basically, sediments will be excavated.  
21 They'll be transported to a staging area. That staging  
22 area they'll be further de-watered, and that would be  
23 primarily with clean treated soil. We will use a couple  
24 hundred tonnes of fly ash at the very beginning of the  
25 process to dry out the soils. Those will be taken up

1 from the staging area to the thermal treatment area, and  
2 the process that we were going to use on that originally  
3 looked like we were going to use sealed individual  
4 containers, of very small volume, which would have had to  
5 have been put on a rail car and placed up there.

6 We've been looking at this for, like I  
7 said, the last few weeks, in particular, and have decided  
8 that more direct loading into more traditional type of  
9 rail cars is much more beneficial, not only from a  
10 material handling standpoint but also from the number of  
11 rail cars that need to go up and down the tracks. Now,  
12 we suspect that the number of rail cars that would go up  
13 and down will be dropped significantly once this change  
14 is implemented into the process. So the evaluation that  
15 was done earlier would be more conservative than -- one  
16 that was presented in the EIS, than possibly what will  
17 happen during the implementation programme.

18 Once the rail cars -- of course, they'll  
19 be sealed and watertight both on top and in the bottom,  
20 they would be taken up to the offloading area for the  
21 incinerator and be placed in a covered area. And the  
22 reason that it's being placed in a covered area is not  
23 necessarily because it has odours, but because we want to  
24 keep the material as dry as possible at this point as  
25 it's being prepared as a feed stock for the incinerator.

1                   Once the materials are treated, they would  
2                   be tested after treatment every 1000 tonnes of material,  
3                   and then they would be shipped back down the -- back down  
4                   to the Tar Ponds site where they would be stabilized  
5                   again in order to maintain the consistency of the  
6                   monolith and placed back into the Tar Ponds cell under  
7                   the protective cover and in the contained system that I  
8                   described earlier.

9                   We intend to do rail shipping primarily  
10                  during the warmer months, probably five or six months out  
11                  of the year, and the storage facility that we have up  
12                  near the incinerator is designed to accommodate burning  
13                  for the additional six months that the rail traffic will  
14                  not go up there, and that's to prohibit the issue of the  
15                  freezing of materials in the rail car, because that can  
16                  be quite a bit of a problem unloading frozen rail car  
17                  material.

18                 So there will be stockpiling of material  
19                 and all of the excavation and dredging activities and de-  
20                 watering activities will come through a particular point  
21                 in time of the year. It will not go all the time, all  
22                 seasons, but the thermal treatment will go all year 24-  
23                 hours a day, 7 days a week.

24                 MR. CHARLES: Before you get on to your  
25                 short answer, how many cars would you be thinking about?

1 In the original EIS it was 38 to 40 cars once a day, as I  
2 recall. Are you going to be able to reduce the number of  
3 cars drastically, cut it in half?

4 MR. SHOSKY: Yes, it will be drastically  
5 reduced. Because the volume of material we can hold in  
6 these rail cars is so much more, it should be less than  
7 -- probably about a third of that amount of traffic.

8 MR. CHARLES: And I guess we'll get to  
9 this at some later point, but obviously if you have heavy  
10 cars, you know, loaded with material, the rail bed that  
11 you're using has to be adequate to the task, and I assume  
12 that that's something that will be looked at, as well.

13 MR. SHOSKY: We are currently in the  
14 process of looking into that. As part of the pre-design  
15 effort it wasn't specifically laid out as an item, but it  
16 will be something that will have to be looked at in the  
17 detailed design, you're correct.

18 MR. CHARLES: Thank you.

19 THE CHAIRPERSON: Could I just ask a point  
20 of clarification. So are you saying that the de-watering  
21 will now be carried out mainly by adding in dry soil so  
22 the -- will there be other methods of de-watering used?

23 MR. SHOSKY: The methods that we're  
24 looking at for de-watering right now are primarily  
25 gravity draining and addition of clean soils. There may

1 be -- we're not planning any other mechanical processes  
2 at this point in time.

3 THE CHAIRPERSON: And how long will the  
4 sediments drain, how long will they be sitting there on  
5 average with the gravity drainage taking place?

6 MR. SHOSKY: I would suspect that it would  
7 be only for a day or two, and primarily in the area of  
8 the Tar Pond cell itself.

9 THE CHAIRPERSON: And the addition of the  
10 clean treated soil, that's the same as -- you've always  
11 been saying you were going to do that, that basically you  
12 were going to add the same volume or same weight. That  
13 is that process and it will be happening at the Tar Ponds  
14 site before you ship it.

15 MR. SHOSKY: The short answer is yes. The  
16 longer answer is is that a feed stock criteria has been  
17 set that dictates moisture content, BTU value and a few  
18 other items that are critical to ensuring the success of  
19 the operation of the incinerator. So sometimes we may,  
20 in order to reach that requirement, add a little bit more  
21 or a little bit less of the clean soil in order to meet  
22 that feed stock requirement.

23 THE CHAIRPERSON: Okay. Thank you. That  
24 was the last of your four undertakings, is that right?

25 MR. GILLIS: That's correct, yes.

1 THE CHAIRPERSON: And did you have any  
2 points -- you've done your points of clarification, and  
3 that leaves on our side two questions that were deferred  
4 on Saturday.

5 I'm going to ask Dr. LaPierre to maybe  
6 just run over those two questions again, all right?

7 DR. LAPIERRE: Thank you.

8 One of the questions referred to the  
9 succession at -- the ecological succession comments in  
10 the EIS and I had asked a question on the ecological  
11 succession that resulted from our discussions on the  
12 integrity of the cap and its ability to support. I mean,  
13 the comment indicated ecological succession. My limited  
14 knowledge of ecological succession in this area would be  
15 that you wouldn't have gas forever, and I guess I was  
16 kind of anxious to understand that comment.

17 MR. GILLIS: Yeah, I'm first of all going  
18 to ask Shawn Duncan to clarify that, and then we can ---

19 MR. DUNCAN: Thanks, Mr. Gillis.

20 Yes, in reference to the response we were  
21 talking about on Saturday, we were talking about the site  
22 and maintenance of the site, and long-term management of,  
23 I guess, vegetation in the overall site. There were also  
24 areas that are going to be designated as habitat  
25 requirements for, you know, specific areas during the

1 remediation.

2 Overall, the site wouldn't have to be  
3 managed from a vegetation perspective until final end use  
4 is designated for it that contemplates those long-term  
5 vegetation management practices, but for the purposes of  
6 successional species and re-establishment of those  
7 species in the long term, perhaps I could have Dr.  
8 Stephenson speak to the timeframe associated if the site  
9 was allowed to just regenerate over time without any sort  
10 of management of that site.

11 DR. LAPIERRE: I guess my question was  
12 more that -- to the statement that in 15 to 20 years this  
13 would revert to a natural succession.

14 MR. DUNCAN: Again just maybe I'm not  
15 being clear in my response, obviously I'm not, but what  
16 we'd like to do is we can comment on that.

17 The site itself will have, I guess,  
18 vegetation management associated to ensure that those  
19 type of integrity questions or issues that we talked  
20 about on Saturday are managed in the long-term management  
21 of the site. If the site was allowed to, I guess,  
22 proceed in an unmanaged fashion or an uncontrolled  
23 fashion you would get that type of revegetation and re-  
24 establishment of those types of species that would  
25 establish over the long term.

1 DR. LAPIERRE: So it would be more a  
2 managed succession than a natural succession.

3 MR. DUNCAN: That's correct, unless it was  
4 deemed as a final end use to be allowed to go back to a  
5 natural state, in which case we would have to -- similar  
6 as you would with other final end uses, you'd have to  
7 design the final features of the site to accommodate  
8 those types of end uses.

9 If there was a natural vegetative site  
10 similar to a park or a golf course, as Mr. Potter  
11 described on Saturday, you'd have to account for those in  
12 the final -- the design of the final site itself.

13 Dr. Stephenson is available if there are  
14 specific questions about the successional nature of  
15 certain species or revegetation if you'd like a response  
16 to that.

17 DR. LAPIERRE: No, I don't have any  
18 specific, I was just surprised by the comment, that's  
19 all.

20 MR. DUNCAN: Hopefully that -- did that  
21 clarify?

22 DR. LAPIERRE: It does, but I wouldn't  
23 call it natural succession.

24 The other question, I guess, related to  
25 the fishway and I guess the answer was that -- and I just

1 want to be certain -- the fishway design had not  
2 calculated the bio-energetics of -- that bio-energetics  
3 of fish had not been calculated in the flow rates  
4 associated with the channel.

5 MR. GILLIS: I don't think -- first of  
6 all, I'm not aware that the thing's been finalized. I  
7 don't think the design has been finalized, but there's no  
8 question that you'd have to understand the energetics of  
9 the fish, the size of the fish, and the burst swim speed  
10 and various other components that go into any design of a  
11 channel.

12 I believe the concern that you mentioned  
13 the other day was with respect to the combination of  
14 flood conveyance as well as the ability of fish habitat  
15 to maintain itself in the middle.

16 If you go back to kind of the natural  
17 stream cross sections we have in this temperate climate,  
18 where you have the very high rates in the spring and much  
19 lower rates in the fall, you tend to get an inverted  
20 trapezoidal cross section of your stream with a habitat  
21 flow over a stream section in the middle which basically  
22 flows through, and I would suspect that this is the kind  
23 of design we'll end up with here, so that you will have a  
24 low-flow condition capable of carrying fish as well as  
25 the trapezoidal situation capable of conveying higher

1 flows of water, very much similar to the natural thing  
2 you have in streams in this area.

3 THE CHAIRPERSON: I've got two questions.  
4 I'm going to ask something about the second question  
5 first just so that you can get prepared, if you need to,  
6 because we have a question which it would be very helpful  
7 if you could put up one of the -- find and put up on the  
8 screen one of the figures that you sent us, and it was as  
9 part of IR-53, and it was the -- the title of the figure  
10 is "Tar Ponds Layout of Soil Treatment Cells." So I'm  
11 just -- perhaps somebody could find that and get ready  
12 and I'll go ahead and ask my first question, and then we  
13 can come back to that.

14 The first question is really yet another  
15 follow-up to a question that we originally asked in IR-12  
16 regarding the mass of PCBs. So we've been interested and  
17 are still interested in getting the very clear and  
18 simple, if possible, please, sense of what is the total  
19 mass of PCBs in the north and south ponds. When you came  
20 back with your information, or we asked this question  
21 very specifically in our follow-up request, and you  
22 provided us with lots of information, but your  
23 information was drawn from a table that you provided in  
24 which you provided the mass of PCBs in different sections  
25 of the north and south ponds that had been delineated as

1 having concentrations of over 50 ppm.

2 So this isn't quite the -- it was very  
3 helpful to have that, but it isn't -- we also  
4 additionally would like to know the total mass of PCBs in  
5 the north pond and the total mass of the PCBs in the  
6 south pond, as best you can estimate that from your  
7 sampling, and then, just so that we -- you provided us  
8 with a removal percentage of the PCBs in those areas that  
9 are over 50 ppm, and you've indicated that the project  
10 will remove 89 percent of those PCBs leaving 11 percent.

11 We would just like to know what the  
12 overall figure is that the project will remove, what  
13 percentage of the total mass of PCBs in the whole of the  
14 north and south ponds. Is that something that you have  
15 to take as an undertaking or are you able to answer it  
16 directly?

17 MR. GILLIS: If you could just give us a  
18 moment again to turn up the IR.

19 THE CHAIRPERSON: Would it help if I --  
20 the original IR was IR-12. I guess it was IR -- no, it  
21 was a follow-up to IR-12, sorry. I got myself confused.

22 MR. GILLIS: My understanding of the  
23 response to IR-12, we have an answer here:

24 "The mass of PCBs to remove from the  
25 north and south ponds is 3286 kgs or

1 approximately 89 percent total of the  
2 PCBs that are present there."

3 I may have misunderstood, but I -- I guess  
4 I did misunderstand.

5 THE CHAIRPERSON: Well, maybe we've  
6 misunderstood but let's see if we can come to a mutual  
7 understanding here.

8 Your table, Table IR-12, the title of that  
9 is -- maybe we misunderstood this, but the title is "The  
10 Mass Volume..." -- you've given us both information --  
11 "... of PCB Contaminated Sediments Greater than 50 ppm  
12 Within Each Unit." Is that the same -- that's not the  
13 same as the total mass of PCBs. And the figures that you  
14 provided that told us that you're going to remove -- well  
15 I presume that doesn't change, the amount you're going to  
16 remove, and I guess what we're asking is once you've  
17 taken out the 3695 kgs of PCBs from the north and south  
18 ponds, what will be left, in total, in the north and  
19 south ponds, whether or not it's residing in an area  
20 that's over 50 ppm or an area that's under 50 ppm?

21 MR. GILLIS: You are quite correct, we  
22 gave you a number related to the percentage of PCBs with  
23 a concentration greater than 50 ppm, and we will take an  
24 undertaking, if you wouldn't mind, to provide you with  
25 the total number.[u]

1 THE CHAIRPERSON: Thank you very much.

2 MR. GILLIS: You're welcome.

3 THE CHAIRPERSON: And then the second  
4 question which relates to that figure, if you've been  
5 able to find it and put it up, really in a general sense  
6 it would be very helpful if you could walk us through the  
7 excavation process.

8 Now, in the EIS in Volume 1 you have a  
9 fairly simple description, and it's talking about sheet  
10 piling and cells. So then this appeared in reply to IR-  
11 53 and we're not quite sure if we know what's going on.  
12 So perhaps you could walk us through this diagram and  
13 walk us through the process. Are you still using  
14 containment cells within those areas? What do those  
15 areas really represent? And so on.

16 MR. GILLIS: So, just so that I'm clear on  
17 your question, you'd like to understand how we're going  
18 to get at this material, how we're going to remove it,  
19 what size of the cells we're going to use, those kinds of  
20 questions, is that about right?

21 THE CHAIRPERSON: Yes, that is, and I  
22 think we would have asked for extra information anyway  
23 but when we saw this diagram it was kind of "Hmm, right,  
24 this is..." -- we found this a little hard to interpret.

25 MR. GILLIS: First of all, I should

1 preface this by the detailed design is not yet going  
2 forward but we've got a pretty good handle on the design  
3 concept so we're going to be applying.

4 So what I'll do is I'll ask Don Shosky to  
5 get up and perhaps he can refer to this figure and then  
6 refer to the subsequent figures that may give a more,  
7 perhaps, accurate depiction of where our thinking is  
8 right now.

9 THE CHAIRPERSON: And if you can read the  
10 legend out because I can't read the legend from here and  
11 nobody would stand a chance out there.

12 MR. SHOSKY: Thank you.

13 I'll walk though what our process is that  
14 we're discussing currently as far as the progress of pre-  
15 design. A little bit of definition of areas, the brown  
16 coloured areas here and here are the PCB areas to be  
17 removed. The green areas are -- and the blue areas --  
18 are areas to be stabilized. The white area here, open  
19 channel conditions. And I'll explain sequentially what  
20 we anticipate happening.

21 Once the channel's been constructed, what  
22 we're looking at now is you'll remember that we talked  
23 about having sheet piling along this location here which  
24 would be the Tar Ponds side of the area to be stabilized.

25 The first problem you encounter with these

1           sorts of situations is being able to create a large area,  
2           or a large enough area, that's capable of conducting the  
3           stabilization activities.

4                         So assuming that we start down here in the  
5           southern arm, and work our way towards the ocean, what we  
6           would do is basically install two series of sheet pile  
7           walls which is the blue area here. On either side of  
8           that blue line are sheet pile walls. Why are we doing  
9           that? We're doing that so that we minimize the amount of  
10          water that's infiltrated into this area that we're  
11          getting ready to stabilize.

12                        So the concept is right now to first de-  
13          water the water that's in this area by pumping the water  
14          over into the next adjacent cell that's been created, and  
15          once it's dry begin the excavation process of taking  
16          those sediments out, letting them gravity drain, adding  
17          this -- and placing the cement into that material in  
18          situ. So as we move the material to start stabilizing it  
19          in place, which we'll use hydraulic excavation equipment  
20          or traditional civil construction equipment, it will  
21          gravity drain those areas to get the excess water out,  
22          and then the cement would be added as necessary to create  
23          the monolith.

24                        THE CHAIRPERSON: I'm sorry, I'm confused  
25          here. You're in an area with no PCB sediments, you don't

1 have to excavate anything.

2 MR. SHOSKY: When I talk about excavation,  
3 what I mean is that you have to move the material a  
4 little bit in order to get it to dry out a bit before you  
5 go ahead and put your cement into it.

6 THE CHAIRPERSON: So it isn't a situation  
7 where you have the sediments, you're de-watering, they're  
8 just sitting there, you're coming in with your auger and  
9 -- you're actually moving that within the area, okay.

10 MR. SHOSKY: We're not proposing an auger  
11 system at this point. There has been a lot more  
12 stabilization done with these shallow systems using  
13 traditional civil construction equipment than the use of  
14 the auger systems.

15 THE CHAIRPERSON: Yes, I'm sorry, I did  
16 know that, I'd forgotten.

17 MR. SHOSKY: Go ahead, Greg.

18 MR. GILLIS: Two things that helped make  
19 the penny drop for me, was to understand, number one,  
20 it's in the dry as much as possible, we're de-watering a  
21 whole lot. And the second thing is working in areas  
22 about the size of a soccer field, as I used in the  
23 presentation yesterday. So if that helps.

24 MR. SHOSKY: The other item that is  
25 important to note here is that all the mitigation

1 controls that we talked about yesterday, not yesterday  
2 but Saturday, the air monitoring, the dust control, the  
3 odour control, all those control mechanisms will be in  
4 place during the stabilization process.

5 So once this cell has been completed, then  
6 we would continue to move in a similar fashion  
7 throughout.

8 DR. LAPIERRE: Can we ask a question?

9 MR. SHOSKY: Yes.

10 DR. LAPIERRE: Can we get the -- once  
11 you've finished a cell, are you going to remove that  
12 sheet pile? Or are you going to leave it there? If not,  
13 you're not going to have one solid monolith, you're going  
14 to have a monolith and various sizes of monolith.

15 MR. SHOSKY: Well, the idea is is as we  
16 move we can do one of two things. We can either leave  
17 the sheet piling in place or remove it, and tie the next  
18 adjacent stabilization piece in with it. For example,  
19 when we got to this point here, we may decide to take the  
20 sheet piling out and mix our monolith right next to the  
21 stabilized material in blue that's right next to it.

22 So the idea would be to come up with a  
23 sequencing plan, and this will be part of the detailed  
24 design, where the two are married together so that there  
25 are no issues of a void space crumbling, things of that

1 nature.

2 DR. LAPIERRE: So the sheet piling  
3 wouldn't stay, because couldn't it be a source of  
4 corrosion?

5 MR. GILLIS: It could be a source of  
6 corrosion, but in -- the area of concern for the  
7 corrosion would be this area here, except that we have  
8 safeguarded that area with the armouring system that I  
9 described earlier this afternoon with the HTPE liner, the  
10 rock riprap material and the liner material that ties  
11 into that sheet piling.

12 Now, if it's okay with the panel, I'll go  
13 ahead.

14 The PCB areas in the darker colour, the  
15 brown, would be handled a little bit differently. That  
16 material, again, would be removed, and stockpiled and run  
17 through the conditioning process, the de-watering and  
18 conditioning process that I discussed during the rail car  
19 discussion that we had. So that material would be again  
20 the water pumped off the top. In this case, the water,  
21 once it gets pumped down to a certain level would be put  
22 through a treatment plant to ensure that there were no  
23 PCBs or other contaminants going into an adjacent clean  
24 cell. So the water would be treated using carbon  
25 filtration -- oil/water separation and carbon filtration.

1                   Now, the one thing I did explain when we  
2                   talked about the rail car movement was is this material,  
3                   once it gets dried and prepared as a feed stock and sent  
4                   up to the incinerator, it's going to come back down  
5                   again. In order to maintain the integrity of the  
6                   monolith, this material will then again be treated with  
7                   cement prior to putting back into the cell. The reason  
8                   that we decided to do that was because we wanted a  
9                   continuous monolith, the type of material there, we did  
10                  not want to return clean soil that was of a different  
11                  hydraulic conductivity that could provide a pathway for  
12                  materials to come in contact with our monolith. So we  
13                  strategically decided to go ahead and stabilize all  
14                  materials coming back from the incinerator in order to  
15                  make up the remainder of this monolithic fill.

16                 Where that becomes more critical and more  
17                 important is up in this area here, so that it, in turn,  
18                 makes the entire area a consistent monolithic fill at the  
19                 end. And that's the brief version of the diagram.

20                 THE CHAIRPERSON: Thank you.

21                 And then you put your vertical drains in  
22                 by what method?

23                 MR. SHOSKY: We would use traditional  
24                 excavation equipment. Some of it may be sequenced as the  
25                 cell itself is being built. That aspect of it has not

1           been fully developed yet through the pre-design phase.  
2           That's a detailed design item.

3                       THE CHAIRPERSON:   So you would be removing  
4           solidified material.

5                       MR. SHOSKY:   Potentially.

6                       THE CHAIRPERSON:   And then that would be  
7           ---

8                       MR. SHOSKY:   We would have some additional  
9           water added to it, and then we would then put it as part  
10          of the final grading plan, so that our final grading  
11          plan, at the end of the day we have a grading plan --  
12          you'll remember Saturday we talked a little bit about why  
13          we had different thicknesses of clay fill material as  
14          part of our cap.  Once we create the monolith, we'll see  
15          that we have less than 1 percent slope going back towards  
16          the channel in these locations, so that land will  
17          actually tie in nicely with the adjacent properties.  
18          And, in order to compensate for the fill differentials,  
19          that we discussed on Saturday, this is kind of what the  
20          final grading plan will look like.  Of course, more  
21          detail in the detailed design will have to be  
22          accomplished before that's done, but this gives you a  
23          sense of what we expect it to look like at the end.

24                       DR. LAPIERRE:   One question.  I was -- I  
25          don't know if I understood correctly but whence you put

1           these one-meter bore holes that you're going to put into  
2           that monolith, did you just say that you could just take  
3           the cement that you're going to excavate or bore and add  
4           water to it and then reapply it?

5                       MR. SHOSKY:   Some of it can be rehydrated  
6           in some places for your final grading application.  We  
7           have to remember that this material acts more like a clay  
8           product as opposed to any type of dry crumbly type of  
9           material, so it's got a lot of plasticity to it typically  
10          so that it can be rehydrated often, re-compacted and re-  
11          compressed.  We have -- I've done this a number of times  
12          at a number of different capping situations.  You have to  
13          have very stringent quality control mechanisms in place  
14          and a very diligent sampling programme and compaction  
15          testing programme to ensure that materials are placed  
16          properly at the end of the project before capping.

17                      DR. LAPIERRE:   Okay.  So I guess the  
18          problem I have, if this floats on water, the water  
19          table's right there, what would stop it from slurring in  
20          at the base, if you can re-slurry it on top?

21                      MR. SHOSKY:   It will have set up to a  
22          point where it won't do that.  Based on my experience,  
23          that's typically what happens, we'll have a good curing  
24          time so that the materials set up.  It will be very  
25          difficult to remove out of there and, as I said earlier,

1           some of these details have not been fully developed yet  
2           because we're in the pre-design stage. It is -- you are  
3           capable of doing it in sections as well, and basically  
4           shoring up that trench situation with forming of the  
5           sediments with concrete for the interceptor trenches,  
6           which would allow them to stay open and alleviate the  
7           concern that you've raised.

8                         So there's a number of different  
9           construction techniques that can be used. The real issue  
10          is is that it hasn't been dived into that level of detail  
11          at this point because it's still in the pre-design stage.  
12          However, I feel very confident that there's two or three  
13          different construction techniques that could be used to  
14          install those interceptor trenches.

15                        THE CHAIRPERSON: And just one more  
16          question.

17                        MR. SHOSKY: Okay.

18                        THE CHAIRPERSON: It's just pertaining to  
19          the north pond area of contaminated sediments, absolutely  
20          no way that you could take the cleaner sediments off  
21          separately? You referred to the fact that you're going  
22          to send everything -- from that diagram you're going to  
23          take ---

24                        MR. SHOSKY: That's why I haven't put the  
25          previous diagram up.

1 THE CHAIRPERSON: From that diagram the  
2 plan is to excavate all of the sediments within that top  
3 block.

4 MR. SHOSKY: That is correct.

5 THE CHAIRPERSON: And you've explained in  
6 the EIS that the overlying sediments will be -- will go  
7 to the incinerator, as well.

8 MR. SHOSKY: That is correct.

9 THE CHAIRPERSON: And you've investigated  
10 any possibility of actually separating those, there's  
11 just simply no way to do that cleanly?

12 MR. SHOSKY: Well, there is a way to do  
13 that cleanly. The trade-off is the length of time and  
14 energies expended and the possibility that the project  
15 could even drag on a little bit longer by not going  
16 through and just taking the whole lot of it up and  
17 burning it. But it would be possible to stage and  
18 segregate different materials. There'd be more material  
19 handling, more dust control. There'd be different  
20 evaluation of risk factors that would have a larger open  
21 area that would be more exposed to some other item that  
22 we would need to go in and further investigate from a  
23 risk perspective.

24 THE CHAIRPERSON: Thank you.

25 DR. LAPIERRE: I'd like to ask a question

1 which relates to the sheet piling on the Coke Oven site.  
2 You're going to sheet pile -- I guess the diagram that  
3 you have here shows -- that blue line is sheet pile on  
4 both sides, is that correct?

5 MR. SHOSKY: Yes.

6 DR. LAPIERRE: And the upper part, which  
7 faces the landfill, doesn't have any.

8 MR. SHOSKY: That is correct. There is no  
9 sheet piling here.

10 DR. LAPIERRE: Okay. That sheet piling  
11 goes to a hard till.

12 MR. SHOSKY: That is correct.

13 DR. LAPIERRE: And I guess two questions.  
14 The first one relates to when the water table meets that  
15 sheet piling, and that sheet piling will be normal sheet  
16 piling, metal piling, would it be protected, would it be  
17 coated with clay so the permeability -- you have a  
18 permeability that you'd accept for the sheet piling?

19 MR. SHOSKY: Yes. It would have to have  
20 the interlocking systems that are waterproof.

21 DR. LAPIERRE: Okay. Do you anticipate  
22 any back pressure in the groundwater table, particularly  
23 in spring time, for example, to develop there, against  
24 that sheet piling?

25 MR. SHOSKY: That's a very good question.

1 Our modelling has not gone to that level of detail  
2 through the pre-design phase. My personal opinion is is  
3 that you would potentially have some water that would  
4 back up behind the sheet piling, possibly seasonally, but  
5 would be absorbed within the rest of the aquifer  
6 conditions not causing a problem over the course of the  
7 year. I believe that that mounding that would occur  
8 would recede over a reasonable amount of time.

9 DR. LAPIERRE: I guess, my concern would  
10 be that during that time if you haven't modelled, as you  
11 proceed with your design you may model it, because there  
12 are two streets on both sides where people live. I guess  
13 there's few people who live on Frederick Street but there  
14 are some on the other side.

15 And would -- my second question was  
16 really, if you've modelled it, does the pressure build  
17 back to those levels and could you have hydraulic  
18 conductivity pressures through basements, for example?

19 MR. SHOSKY: Well, I'm not sure that the  
20 mounding would go back into any of the residential  
21 neighbourhoods, just given my knowledge of the area.  
22 And, as I said earlier, there's a number of different  
23 ways that we can approach this, as well. At this point  
24 in time, our current thoughts are with sheet pile walls.  
25 If it looked like any sort of mounding could be a

1 problem, we could use other control mechanisms with walls  
2 and drains or something of that nature in order to  
3 transmit the water faster. But what I've seen so far in  
4 my evaluation of the information is that I don't expect  
5 that we would see mounding occur once those control  
6 structures are in place, certainly not into any of the  
7 residential neighbourhoods.

8 DR. LAPIERRE: A second series of  
9 questions relates to the groundwater. Now you're going  
10 to pump the groundwater from within the coke oven areas.  
11 That's correct. And the question I have, according to  
12 your risk assessment, it seems that there's no risks  
13 other than to the workers from that groundwater. So then  
14 why would you pump it.

15 MR. GILLIS: All right. Dr. Magee, could  
16 you answer that and just verify that workers would be the  
17 only people at risk.

18 DR. MAGEE: Well, yes, but remember that  
19 the risk assessment is evaluating the risks associated  
20 with the remedial activities not the baseline risks so  
21 I'll defer to Mr. Potter concerning the nature of the  
22 project and how it was designed.

23 MR. GILLIS: Could you just give us a  
24 moment please.

25 MR. POTTER: I guess the question, the

1 response to the question relates to the fact that this,  
2 what we're designing is a managed site. Dr. Magee  
3 addressed the risk to the workers but the intention of  
4 collecting the water at the bottom of the coke oven site  
5 was to pump it up and test it and treat it with the  
6 anticipation that there -- we expect because there is  
7 contamination down there that we'll have to treat it and  
8 that's the basis for the engineer containment system is  
9 pump the water up, treat it till we get it to a point  
10 where it's clean and can be discharged.

11 DR. LAPIERRE: Would you have any SSTL's  
12 identified as to what you would quantify as clean water?

13 MR. POTTER: Yeah, we do identify in the  
14 EIS that we would meet appropriate Fisheries discharge  
15 criteria for the streams.

16 DR. LAPIERRE: So you could -- you would  
17 pump and treat till you reach a quality that you could  
18 send directly to a fish habitat?

19 MR. POTTER: Correct. The SSTL's don't  
20 come into play in that. It's simply meet the Fishery  
21 criteria.

22 DR. LAPIERRE: Okay.

23 THE CHAIR: I think that as Mr. Charles  
24 has a series of questions that he wants to ask but rather  
25 than begin those right now, I'm going to suggest that we

1 do take a break. Thank you very much for your answers  
2 and presentations. It is almost 2:30 and we'll resume at  
3 ten minutes to three.

4 --- Upon recessing at 2:28 p.m.

5 --- Upon resuming at 2:55 p.m.

6 THE CHAIRPERSON: I would like to resume  
7 the session please. And we'll start off, Mr. Charles has  
8 some questions.

9 MR. GILLIS: Madame Chair, if I could ask  
10 just one clarification.

11 THE CHAIRPERSON: Yes.

12 MR. GILLIS: Just to clarify in the  
13 previous discussion before the break, there are no off  
14 site risks been identified. All the risks were on site  
15 risks that we were -- we'll be dealing with. There'll be  
16 no risks to any of the neighbouring properties near the  
17 coke oven site. I just wanted to clarify that point.  
18 That was the basis for the MOA that the project is  
19 identified that we're dealing with the project activities  
20 on the site. There's no -- bottom line, no off site  
21 risks because of the groundwater.

22 DR. LAPIERRE: But the question I had  
23 asked previously was, if you've got back pressure built  
24 up against your sheet pile, can it run off your property?  
25 And the answer I got was that you hadn't calculated that

1 back pressure but that you might have some.

2 MR. GILLIS: Yes, I had indicated that we  
3 had not calculated those numbers but it was in my  
4 professional opinion that it wouldn't back up as far as  
5 the neighbourhood, just based on my knowledge of the  
6 hydrogeology but we'd still need to quantify that.

7 DR. LAPIERRE:: So you will quantify it?

8 MR. GILLIS: As part of the detail design  
9 process it would be quantified.

10 DR. LAPIERRE: Thank you.

11 MR. POTTER: And the water being backed up  
12 is clean water from off the site. All the water does  
13 come to the site. The purpose of the barrier is to  
14 prevent -- you know, reduce the water coming onto our  
15 site. The backing up question has to be addressed but  
16 it's backing up of clean off-site water.

17 DR. LAPIERRE: I understand that.

18 MR. POTTER: Great. Thank you.

19 MR. CHARLES: I have some questions about  
20 the incinerator but before we get to that, I'd just like  
21 to explain why I am moving my chair backwards from time  
22 to time. Right directly over my head we have an air  
23 conditioning unit that's pumping very cool air down right  
24 on top of me. And my particular matrix doesn't have a  
25 cap on it so I'm somewhat unprotected and sensitive. So

1 I hope you don't mind if I try to get out of the way of  
2 this thing every now and then.

3 The first questions that I have relate to  
4 the siting choice for the incinerator. I -- from reading  
5 the EIS it was clear that there were two possibilities,  
6 the Phalen Mine site and the Victoria Junction site. And  
7 through an elaborate evaluation system which is included  
8 in Appendix E, I think it is, in the EIS. The results  
9 finally came out that the Victoria Junction site was two  
10 points better than the Phalen site.

11 And I guess what struck me when I read  
12 throughout the detail of the evaluation was that the  
13 Phalen site seemed to score about four points better in  
14 the first two categories, which were public health and  
15 safety and environmental impact, in the VJ or the  
16 Victoria Junction site scored better in socio-economic  
17 and economic and financial categories which included  
18 transportation.

19 And I guess my question is is it fair to  
20 say that the socio-economic factors somehow overcame or  
21 outweighed the public health and health and environmental  
22 impact factors and I guess I was asking myself this  
23 question, because of a response that the Proponents had  
24 given to a public comment, that's PCO 5.2. And I can  
25 read you at least part of your response. And I might

1 just ask for clarification about part of it. You  
2 responded to this public comment about the evaluations by  
3 saying:

4 "In Figure 6.2 of Volume II the  
5 larger air shed of the Victoria  
6 Junction site appears to have more  
7 potential receptors as represented  
8 by built up areas depicted in red  
9 on the map base than does the Phalen  
10 site. From accumulative air quality  
11 effect perspective the VJ site  
12 therefore may seem less suitable than  
13 Phalen. But this larger scale issue  
14 must also take into account that the  
15 transport between the VJ site and the  
16 tar ponds and coke ovens would be  
17 more efficient."

18 And I take it that means it would be  
19 cheaper but I could be wrong on that. This is -- due to  
20 the shorter distance -- this is considered to compensate  
21 for any higher accumulative effects that might be  
22 experienced around the VJ Site. And I'd just like to  
23 have somebody maybe clarify that, particularly that last  
24 statement in terms of exactly what it means in terms of  
25 compensating for higher accumulative effects. Is it

1 saying that the socio-economic factors are somehow  
2 translated or transported and have an effect on the  
3 accumulative effects of the air shed?

4 MR. GILLIS: The siting exercise was just  
5 that, to get a relative ranking of the potential sites.  
6 What we wanted to make sure happened in the conduct of  
7 this exercise is that we had sufficient options available  
8 to us in the event that we ran into something that was  
9 problematic.

10 The important thing to consider here is  
11 that both the Phalen site and the VJ site underwent a  
12 pretty stringent human health risk assessment as well as  
13 -- which included the output from the air modelling  
14 exercise. So the siting criteria got us through a  
15 particular level and got us through a particular decision  
16 point including the economic, socio-economics and all  
17 those evaluations. Then we went into a second level or  
18 if -- to make sure through the detailed human health risk  
19 assessment and the other risk assessments that were  
20 conducted on this -- with respect to this site and the  
21 operational facility at the site. To ensure that it was  
22 health protective and it was well below criteria for any  
23 human health risks. And perhaps I can ask Shawn to  
24 expand on that a bit.

25 MR. DUNCAN: Thanks, Mr. Gillis. Yeah,

1 I'll hopefully provide some clarification here. The  
2 response that you read was in reference to the two sites  
3 and the cumulative effects associated with the on site  
4 activities and the relative distance of those sites to  
5 the on site activities. What is perceived I guess on a  
6 higher level is that the further the site is away from  
7 the on site activities you wouldn't get that overlapping  
8 cumulative effect.

9 But what you would end up with is  
10 additional materials handling and additional  
11 transportation issues associated with taking it further.  
12 So there are offsetting issues associated with the  
13 distance in the sense that you'd get less of those type  
14 of emissions by having a site closer to the on site  
15 activities. So even though intuitively you might think  
16 that they're overlapping and you'd have more potential  
17 for that, and in fact it's probably a bit of a loss  
18 because you've got those other factors that are coming  
19 into play as well.

20 MR. CHARLES: If I can just follow up on  
21 that. The evaluation as one of its points asked the  
22 question, do both sites have access to rail and to road,  
23 trucking purposes. Since the decision has been made to  
24 transport all the material by railroad, does that have  
25 any effect on the impact of this distance and the

1 distance you have to transport your materials because it  
2 seems to me if you have one train load a day with "X"  
3 number of cars going ten miles rather than 20 miles, the  
4 difference is not very great.

5 MR. DUNCAN: You're right. I mean, there  
6 aren't large differences and I think I was speaking more  
7 to the issue of the perception or even intuitively think  
8 of sites -- because the site is closer you would have  
9 potential for overlaps in a cumulative fashion. In  
10 reality what we found is that the sites are far enough  
11 away you don't get those type of overlaps anyway with VJ.  
12 So intuitively you think it's closer it's got to be  
13 worse. But in reality it doesn't really matter from a  
14 cumulative perspective, the overall distance.

15 MR. CHARLES: Well, since the two sites  
16 are so close, just two points apart, was there any one  
17 factor that tipped it, the evaluation in favour of the VJ  
18 site rather than the Phalen site?

19 MR. DUNCAN: I think -- well, we evaluated  
20 both sites. We had -- just to back up a little bit, with  
21 the siting criteria, we did a desktop screening exercise  
22 to look at a number of potential sites and locations. We  
23 ranked those sites accordingly and weighted them and gave  
24 them a scoring system to kind of weight the sites and  
25 rank them according to those scoring. The two top sites,

1 Phalen and VJ were selected by a proponent to carry  
2 forward in the EIS as being economically and technically  
3 feasible from their project. So those two sites we  
4 carried forward in the assessment and performed full  
5 human health and ecological risk assessments for the  
6 operation, construction operation of the incinerator  
7 facilities on both those sites.

8 The preferred site was VJ because I --  
9 probably the major consideration was the shorter  
10 distance. You have easier logistics, there's probably  
11 less site preparation required at VJ over Phalen. So  
12 there are a number of logistics and cost issues  
13 associated with VJ being the preferred site. If -- I'm  
14 not sure if the STPA even wants to respond more to that  
15 but that's my understanding for the selection of that as  
16 being the preferred site.

17 MR. POTTER: Just to add slightly to that,  
18 you made the reference to all material going by rail. It  
19 won't be all by rail. I think we were clearing that on  
20 Saturday that the bulk of the material will go by rail  
21 but there will be trucking as well for some material  
22 coming back, other supplies, services coming in. So  
23 getting to the Phalen site would be much more significant  
24 in terms of, you know, the -- some of the community roads  
25 they'd be travelling through.

1                   MR. CHARLES: Yeah, I agree with that. I  
2                   just -- I meant that all the material going to the  
3                   incinerator coming -- had been treated and dewatered and  
4                   so on would be going by rail. I guess there's one other  
5                   factor at the Phalen site that you have some mine  
6                   subsidence there that was taken into account as a  
7                   negative factor in that site. Is that a big problem? I  
8                   don't know the underground area there but would it pose  
9                   some real problems for the incinerator set up?

10                  MR. DUNCAN: Certainly some of the  
11                  geotechnical requirements to the incinerator would have  
12                  to be accounted for during the construction and set up of  
13                  the incinerator facilities. The -- one of the issues, if  
14                  you go to the siting study is the number of sites that  
15                  were identified were DEVCO properties and associated with  
16                  any of those types of properties is the potential for  
17                  underground workings. And those -- now -- and my  
18                  understanding from speaking to the folks at DEVCO is that  
19                  they've mapped -- gone through extensive efforts to  
20                  identify all those potential underground workings but  
21                  certainly from a geotechnical perspective for siting an  
22                  incinerator you'd have to certainly investigate that much  
23                  more fully before you'd put an incinerator on top of  
24                  those types of underground workings.

25                  MR. CHARLES: Okay, thank you. The next

1 series of questions has to do with a response by the  
2 Proponent to the panel. And I think it's in IR-41 where  
3 we ask for information about other incinerator activities  
4 primarily in Canada but it could be anywhere. And you've  
5 provided us with a list of several sites with information  
6 about each of them. And in the table that you presented  
7 there's the more detailed information but the sites that  
8 you referred to were Swan Hills, Ste. Ambroise, Quebec,  
9 Belledune, New Brunswick, Rose Disposal Pit, Superfund,  
10 Massachusetts and Bridgeport Refinery. I noticed that in  
11 the EIS at page 2-47, there was reference to incinerator  
12 operations at Smith Falls, Ontario and Goose Bay,  
13 Labrador. I'm just wondering why they weren't included  
14 in the list that was given to us.

15 MR. GILLIS: The response primarily is to  
16 do with the timing. The ones that are listed there are  
17 more -- far more current, it's my understanding. Don, if  
18 you'd like to correct me on that.

19 MR. SHOSKY: You're correct, Mr. Gillis.

20 MR. CHARLES: I'm sorry, the explanation  
21 was what. I didn't quite get it?

22 MR. GILLIS: One with respect to how many  
23 years ago they were in operation.

24 MR. CHARLES: Oh, I see.

25 MR. GILLIS: Yes, we wanted the ones that

1           were most current.

2                       MR. CHARLES:   The most current.

3                       MR. GILLIS:   That's correct.

4                       MR. CHARLES:   How long ago were the other  
5 two in operation, do you know?

6                       MR. GILLIS:   The Smith mill was about 25  
7 years ago, 20 to 25 years ago.  And Goose Bay was 15 to  
8 20 years ago.

9                       MR. CHARLES:   So your reasoning I suppose  
10 would be that the technology has advanced since those  
11 times and that the performance statistics from those  
12 incinerators might not be as good as you would get from  
13 modern incinerators.

14                      MR. GILLIS:   We just wanted current  
15 information.  That's about it.  The information that I  
16 have based on the operation of the other two facilities  
17 is pretty solid from the information that I was able to  
18 review or know about but we wanted fairly current  
19 information in here.

20                      MR. CHARLES:   The reason I was wondering  
21 is because it was mentioned earlier in the EIS so I guess  
22 it was current enough to be mentioned there.  The list  
23 that you gave us, am I correct in assuming that there's  
24 really only one site that deals with contaminated lagoon  
25 sediments?  The others are all general waste or dry

1 sediments, primarily.

2 MR. GILLIS: I'll ask Don Shosky to  
3 comment on the nature of the materials that are being  
4 incinerated and brought to the plant.

5 MR. SHOSKY: The Swan Hills facility is a  
6 commercial one. The New Jersey site is one that takes  
7 sludges and sediments. I believe the Rose Disposal Pit  
8 also takes and burns soils.

9 MR. CHARLES: And which one is it that  
10 does the lagoon sediments. Is that the Bridgeport  
11 Refinery?

12 MR. SHOSKY: Yes. The St. Ambroise site  
13 in Quebec also takes solids and soils as well.

14 MR. CHARLES: So it's rather difficult to  
15 find sites that are taking sediments exactly similar to  
16 ours. I know Mr. Shosky mentioned an earlier one when we  
17 were talking about solidification and stabilization in  
18 the States but ---

19 MR. SHOSKY: There's -- it's a bit  
20 misleading sometimes. If you look at just the types of  
21 projects that these thermal incinerators get placed on,  
22 especially the mobile ones because basically even if you  
23 have a contaminated lagoon or a very wet soil, there is a  
24 significant amount of pre-treatment of the feed stock  
25 that needs to be done and moisture content is an

1 extremely important aspect to the thermal treatment  
2 process.

3 I've worked on a couple of projects not  
4 listed here where a drawing of materials is as critical  
5 as the concentration of TPH or hydrocarbons that go in.  
6 All those parameters have to be evaluated and put in  
7 perspective of the particular unit so very wet soil  
8 typically needs to be dried in the process that we are  
9 talking about in order for it to go through an  
10 incinerator.

11 MR. CHARLES: On that point, I notice that  
12 in this table the moisture content for our project is  
13 listed as ranging from 15 percent for the tar cells to  
14 about 50 percent for the north pond and I was harking  
15 back to our conversation yesterday when we talked about  
16 moisture and I think you gave me the figure 20 to 30  
17 percent moisture. I'm just wondering why the difference.

18 MR. SHOSKY: Perhaps I didn't clarify  
19 that on Saturday but we did say it was as high as 40 but  
20 it's still a significant range and would fall between 15  
21 and 50 percent. We can say -- we have data that shows it  
22 as high as 40 right now.

23 MR. CHARLES: Right now but it could go to  
24 50.

25 MR. SHOSKY: Possibly.

1 MR. CHARLES: So when you put -- or  
2 whoever put the 50 in here was just being cautious?

3 MR. SHOSKY: Yes, it was being cautious.  
4 And again, at 50 percent moisture content, that is not a  
5 material that will go directly into the incinerator.  
6 There's -- okay.

7 MR. CHARLES: No, but it means that your  
8 whole process is made more complicated by the time for  
9 dewatering and that sort of thing, right. If you're  
10 going to do natural dewatering.

11 MR. SHOSKY: That's correct.

12 MR. CHARLES: I also noticed that the heat  
13 content listed here for the tar ponds incinerator is four  
14 thousand to ten thousand BTU's. That's pretty high, I  
15 take it, isn't it for feed stock.

16 MR. SHOSKY: And just for the audience BTU  
17 values are British Thermal Units. And when you look at a  
18 range between four thousand and ten thousand, typically a  
19 good black coal is around eight. And this would be too  
20 high for -- at the ten thousand range too high to be  
21 placed directly into the incinerator. So as we discussed  
22 briefly earlier, this whole idea of being able to control  
23 the feed stock that goes into the incinerator so that it  
24 receives only materials that it's capable of burning  
25 efficiently, this is another critical parameter.

1                   MR. CHARLES: The -- controlling the feed  
2 stock in terms of its moisture content and in terms of  
3 its homogeneity is an important factor, I take it in any  
4 incinerator operation.

5                   MR. SHOSKY: That's correct. The particle  
6 size, distribution is very important, contaminant  
7 concentrations are very important. And the BTU values  
8 are very important in order to ensure that the operation  
9 of the incinerator is sufficient.

10                  MR. CHARLES: Knowing what you know about  
11 the sediment that you're going to be dealing with, do you  
12 see this as a big problem or a moderate problem or a  
13 small problem in terms of achieving your homogeneity that  
14 you want?

15                  MR. SHOSKY: If we look through the  
16 process that I discussed earlier, there's several times  
17 and we discussed this a bit on Saturday when we talked  
18 about when the material comes out as -- and some blending  
19 occurs right off the -- right when we start from the  
20 excavation process, there's two or three steps where  
21 material will be -- sediments will be moved, blended,  
22 conditioned so that it's acceptable for the feed stock.  
23 And I would rank it as something -- it's not an  
24 insignificant issue because of the volume but it's not --  
25 it doesn't appear at this point in time to be too

1           terribly complex because we're not estimating a lot of  
2           materials that would be too big to put through the  
3           incinerator.

4                       MR. CHARLES:   And that too big material  
5           will be filtered out ahead of time anyhow, wouldn't it?

6                       MR. SHOSKY:   That's correct.   Typically  
7           anything over about two inches.

8                       MR. CHARLES:   You may not be able to  
9           answer the next question and I apologize for asking it  
10          and we should have asked it before, but with regard to  
11          the incinerator that you have listed, do you have any  
12          experience or history of any exceedences that these  
13          incinerators have experienced?   We didn't ask that  
14          question so I'm not expecting you to have provided us  
15          with an answer but in your own -- on the basis of your  
16          own knowledge, would you have any information about the  
17          experience with ---

18                      MR. SHOSKY:   What I can -- what I'll give  
19          you an answer for is my experience in general with  
20          incinerators and permits is that it varies from location  
21          to location, site to site.   And the permits are extremely  
22          specific.   The more permanent the facility such as Swan  
23          Hills which is a very permanent commercial facility  
24          they're -- they have very strict protocols on feed stock  
25          reporting.   Everything is very well documented.   The

1 further we go back in time with more of the mobile  
2 incinerators it's harder and harder to get that  
3 documentation because the project's either closed or  
4 something has happened.

5 MR. CHARLES: I see. All right. I think  
6 I was reading somewhere in the EIS that your air  
7 dispersion models are being evaluated. You have three  
8 different air dispersion models and I was wondering if  
9 that re-evaluation or evaluation had been completed.

10 MR. GILLIS: I'll ask Dr. John Walker to  
11 comment on that please.

12 DR. WALKER: I'm sorry, I don't recognize  
13 the reference to them being evaluated. I can explain the  
14 three dispersion models if you like.

15 MR. CHARLES: All right. Well, I don't  
16 have it at my fingertips here either so I'll have to dig  
17 that one out. But I -- unless I was imaging it, that's  
18 not beyond speculation, I think I saw it. But in any  
19 event, I'll get you the precise -- but go ahead and  
20 answer the question.

21 DR. WALKER: During the initial part of  
22 the siting study we used CALPUF which is a research grade  
23 state of the art model that was actually developed by a  
24 -- can you hear me now, I wasn't too audible earlier --  
25 it was developed in fact by Earth Tech. CALPUF is quite

1 accurate but very demanding in terms of the data input  
2 requirements and it's very slow computationally.

3 When we came to looking in more detail at the  
4 impact assessment, the incinerator dispersion modelling  
5 exercise was going directly towards the health risk  
6 assessment that Dr. Magee has been talking about. In  
7 order to do that there's a very strict protocol for  
8 conducting a health -- human health risk assessment  
9 that's published by the U.S. Environmental Protection  
10 Agency. We used one that was -- we started off with an  
11 older one and then they published a new version in  
12 December of last year which we adhered to completely and  
13 that one called for air mode to be used.

14 Air mode is -- was or is a relatively new  
15 model and was just promulgated last year by the  
16 U.S.E.P.A. for use in studies such as this. And it was  
17 developed by the American Meteorological Society to  
18 improve and to replace the previous model that was used  
19 in regulatory context. And that in fact, was the third  
20 model we used and that was ISC. ISC stands for  
21 Industrial Source Complex. ISC was used by the team  
22 looking at the emissions of dust and odour from the  
23 landfill or the potential landfill from the  
24 solidification and stabilization part and from the coke  
25 ovens land farming exercise also for truck emissions and

1 various other nuisance emissions.

2 Air mode is a better model than ISC. It's  
3 generally recognized. However, where ISC fails to be  
4 good as air mode it is much more conservative, especially  
5 in this context. And we've done a re-evaluation and I --  
6 maybe that's the one that was referred to. I'm sorry. I  
7 didn't think it was in the IR's. But I'm being corrected  
8 as we speak.

9 MR. CHARLES: My memory's in tact, is it?

10 DR. WALKER: Wonderful, sir. Just  
11 wonderful.

12 MR. CHARLES: Good. Good.

13 DR. WALKER: What we found, we looked at  
14 -- the problem was really, the computational time. This  
15 modelling exercise, we had some sequential data steps in  
16 that we had to generate the human health risk assessment  
17 with a deposition and various other terms to go to Dr.  
18 Stephenson and Dr. Magee. So the pressure was there to  
19 do it very quickly. Air mode, we ran very intensively to  
20 -- in order to produce that. I believe that when ISC was  
21 started originally, we were thinking of going to air mode  
22 as well but there just was not time because of the number  
23 of scenarios that were evaluated. It's a very  
24 comprehensive assessment that was done there.

25 Afterwards we looked at what the impact

1 that was, at the sensitivity of our conclusions. In  
2 fact, I don't know if Dr. Magee wants to speak to the  
3 point but we actually found that the ISC estimations of  
4 the dust and the vapours in the coke oven site and from  
5 the tar ponds site were over estimated by perhaps a  
6 factor of three, simply because the model in the complex  
7 terrain defaults to a very conservative value. It  
8 defaults to another EPA model. I'm sorry about the  
9 acronyms but it's called Complex 2 which takes  
10 essentially a plumed central line for any receptor that  
11 is located higher than the release point and since the  
12 release point in this case was actually sea level  
13 effectively or close to sea level, and the receptors were  
14 up hill in every case. It defaulted to very conservative  
15 calculation mode and produced some higher estimates than  
16 we achieved by running air mode in that same data set.

17 MR. CHARLES: And that was true of both  
18 Victoria Junction and Phalen?

19 DR. WALKER: I don't know how much we have  
20 -- it was air mode only on the Phalen site. And for the  
21 incinerator but you didn't do the groundlevel at Phalen.

22 DR. MAGEE: Shall I just ---

23 DR. WALKER: Yeah, why don't you ---

24 DR. MAGEE: If I might add, the risk  
25 assessment for the on site activities is the one where we

1 used ISC. You'll probably hear more in the coming days  
2 that we did add conservative layer upon conservative  
3 layer when doing the risk assessment for the on site  
4 activities. All of the various things that would go on  
5 for eight or nine years.

6 Because the design has not been completed  
7 yet, the detail design, we as the risk assessors had to  
8 make some decisions about worse case situations that  
9 could occur. They might work here, there and in area A,  
10 B and C all in the same year. They may not but if they  
11 do there would be emissions. So we established a very  
12 complicated series of multiple scenarios where we ran 250  
13 to 300 different combinations of things happening,  
14 various work activities happening in the same year. And  
15 for that, air mode would simply still be calculating  
16 today if we had started that -- the model run in August.

17 So it was simply impossible to use air  
18 mode for so many different scenarios. We knew that ISC  
19 would over predict. We just said that's fine, it'll be  
20 one more layer of conservatism on the model results.  
21 However, recently we did run one of the key constituents,  
22 Naphthalene through the entire model side by side  
23 comparing air mode to ISC and I believe that's the direct  
24 comparison you're referring to in the IR responses. And  
25 we did, indeed find that air mode gives a result about 20

1 percent of the result of ISC so we have in all of the  
2 numbers presented in the risk assessment reports given  
3 you for the on site activities over-estimates by a factor  
4 of three or more.

5 MR. CHARLES: Thank you very much. I'd  
6 like to switch gears just for a moment and talk about  
7 costs. The EIS puts forward some numbers relating to the  
8 cost of incineration off site but I didn't see any  
9 numbers indicating what the cost of incineration on site  
10 or using the mobile incinerator might be. Are such costs  
11 per tonne estimates available?

12 MR. SHOSKY: We're ready. Unfortunately  
13 I'll have to ask you for a little bit of clarification.  
14 And let me explain why. The incineration component of  
15 the work as we've discussed involves a lot of different  
16 aspects and to fairly, if the intent is to use this  
17 number as a cost comparative with other alternatives  
18 would be to include items such as infrastructure  
19 development for the incinerator that's other handling  
20 conditions and things of that nature, obviously the  
21 simple price per tonne, a price of operating and treating  
22 the material as a stand-alone item would be much  
23 different if it doesn't include the rest of the elements  
24 associated with it. And I'm just curious as to how you  
25 would like that number given to you.

1                   MR. CHARLES: Well, I agree that you know,  
2                   the Proponent has commented on the cost estimates that  
3                   came out in the RAER report and said that they weren't  
4                   high enough because they didn't include some of these  
5                   other things. And so I'd like to be in a position as a  
6                   member of the panel to be able to compare apples and  
7                   apples. And so if you're, you know, putting forward  
8                   numbers about the costs of alternative technologies, I'd  
9                   like to be able to compare it with the costs of the  
10                  projected activities that you're proposing for the tar  
11                  ponds. And one of those -- one of the aspects is the  
12                  incineration. And I'm just trying to get a sense of how  
13                  much the incineration's going to cost.

14                 Now I know we've got a ball park figure of  
15                 eighty-one million five hundred thousand for the whole  
16                 works, including decommissioning. But I want to know  
17                 what it's going to cost to actually process the material.  
18                 And you can put in the extra costs if you want as long  
19                 it's the same calculation that we get for the other  
20                 alternative technology.

21                 MR. SHOSKY: Yes and honestly when you do  
22                 an alternative analysis and one of the problems you have  
23                 when you do that type of alternative analysis with  
24                 various vendors is typically they're most interested in  
25                 giving you their "price per tonne" for them doing the

1 work without any of the additional extras that would be  
2 required in to -- in order to have that particular  
3 technology plugged into the work and make sense as part  
4 of the overall project. So what I'm taking as an  
5 indication of what we would do is probably give you a  
6 rough cost per tonne for the burning of the material and  
7 a separate fee which I would consider a handling fee to  
8 -- or a conditioning fee in order to get the material up  
9 to the incinerator.

10 That fee would be intended to apply to the  
11 other technologies that could possibly be evaluated  
12 against the ones that we have selected because in the  
13 alternatives analysis there is -- all of those  
14 technologies should they have been implemented, would  
15 have needed to have those additional fees placed upon  
16 them in order to fit properly in the project as it's laid  
17 out. Does that make sense?

18 MR. CHARLES: Well, it does to the extent  
19 that the proponent I think has suggested what these  
20 alternative technology costs would be if they had added  
21 all these other things, right?

22 MR. SHOSKY: It -- typically those  
23 additional costs did not include the additional handling  
24 fees that would be necessary in order to make it  
25 appropriate for placement in that system.

1 MR. CHARLES: Yeah. When I was trying to  
2 go through this myself, I asked what would you include  
3 when you were trying to come to a cost per tonne  
4 valuation? You know, how -- cost of excavation, cost of  
5 handling, cost of transportation, would you include cost  
6 of monitoring, the cost of disposing of the residue and  
7 so on. And I realize that it's fairly complicated  
8 situation.

9 MR. SHOSKY: It's very complicated.

10 MR. CHARLES: But all I'm interested in  
11 doing is giving the panel some basis upon which to  
12 compare relative costs when we're talking about the costs  
13 of this project and then in any alternative technologies.  
14 Now I realize as you said, the people proposing relative  
15 technology, they are other alternate technologies haven't  
16 explained how they got their costs. Maybe they will when  
17 we hear from them. But at the end of the day we're going  
18 to have to have some standard from which to try and  
19 assess these things.

20 MR. SHOSKY: I agree and we'll -- we would  
21 like to take that as an undertaking. Now that I have  
22 that clarification I believe I understand what you're  
23 looking for. [u]

24 MR. CHARLES: Thank you very much. A  
25 simple question. It relates to the bypass stack and its

1 physical location in the incinerator. Is it before or  
2 after the secondary combustion chamber?

3 MR. GILLIS: I would again ask Don Shosky  
4 to answer that question regarding the location of the  
5 bypass stack.

6 MR. SHOSKY: I believe we have a flow  
7 chart of a typical incineration diagram. Let me take a  
8 moment to find it and we'll put it on the projection  
9 screen.

10 MR. CHARLES: Is it one that's already  
11 been provided in the materials?

12 MR. SHOSKY: No, no. I think we have  
13 another drawing. I believe we have that we'd like to  
14 present that'll make it a little bit clearer where these  
15 components sit.

16 MR. CHARLES: All right. Then I'll ask  
17 the second part of my question. Is it technically and  
18 economically feasible to mitigate the effects of a bypass  
19 release?

20 MR. SHOSKY: The short answer is yes. The  
21 longer answer is not in all circumstances. It depends on  
22 the type of systems that ultimately would get employed  
23 out there onto the site and that's of -- as you know,  
24 we've left it open at this point for a number of  
25 different types of technologies to be put out there. So

1           it really depends on how those additional control  
2           technologies would go with a particular unit that would  
3           be finally selected.

4                       MR. CHARLES:   Okay, but there's been a lot  
5           of concern raised about the effects of bypass problems  
6           and how often they would occur and this sort of thing.  
7           I'm just wondering when the risk assessment was made I  
8           got the impression that it was done on the understanding  
9           or on the assumption that there were no pollution control  
10          facilities in place.  And if that's correct, then of  
11          course, it would seem to take care of any bypass  
12          material.  Go ahead, let's go back to the first and see  
13          if we can locate it first.  Will this diagram be provided  
14          to the panel?

15                      MR. SHOSKY:   Certainly, yes.  I need to  
16          apologize for the quality of this.  If you'll give us a  
17          moment and we'll see if we can blow it up a bit so that  
18          the audience can have a better feel for it.  If you pull  
19          it back just a little.  Again, Mr. Charles could you ---

20                      MR. CHARLES:   You can call me doctor if  
21          you like.

22                      MR. SHOSKY:   Okay.  I was called Dr.  
23          Shosky during the transcripts and I'm not a doctor so I'm  
24          a little sensitive about it.

25                      MR. CHARLES:   Well, I am a doctor.

1 MR. SHOSKY: Okay. Dr. Charles ---

2 MR. CHARLES: But it's Honorary so it  
3 doesn't count.

4 MR. SHOSKY: --- could you restate your  
5 question again, please.

6 MR. CHARLES: Yeah, where is the bypass  
7 stack located. Is it -- in relation to the primary and  
8 the secondary combustion chamber?

9 MR. SHOSKY: In this over-simplified  
10 drawing, we don't have the bypass stack per se put out,  
11 and there's a number of different areas where it could  
12 occur. Basically we have our primary -- let me start  
13 from the beginning of the process and give everybody --  
14 possibly have everybody starting from the same spot.

15 You have stockpiled material and  
16 processing here. It goes into -- to a grizzly screen, so  
17 this material here would be sized to typically one or  
18 two-inch minus. Material then would go into the primary  
19 combustion chamber where it's heated up to the required  
20 temperatures in order to destroy the contaminants that  
21 are withheld in the soil. That soil then drops out,  
22 ultimately gets cooled with water, and turns out as clean  
23 soil.

24 From this point on, everything is --  
25 everything here are air pollution control equipment. And

1 the bypasses -- there are various bypasses depending on  
2 the type of unit that you would have that occur at each  
3 one of these -- in these areas here provided if you have  
4 an upset condition that would occur that would require it  
5 to relieve itself of some gas. Unfortunately, we don't  
6 have it clearly depicted on this particular flow chart  
7 where that would be.

8 But going through the -- so basically the  
9 soil gets treated here, the vapours and whatnot that come  
10 off of the soil come up and go through these additional  
11 thermal chambers which further destruct those airborne  
12 contaminants before they're released.

13 There also are in this drawing -- and  
14 there are other technologies available for it -- there's  
15 alignment carbon silo, which is typically used for the  
16 treatment and destruction of dioxin or acid gas or some  
17 of those things, and we also have a bag house, which also  
18 helps with the fine fine particulate matter that would  
19 come from the soil.

20 So in real simple terms, your clear soil  
21 is here, the soil -- the air emissions are all treated  
22 prior to going out into the atmosphere. What fine  
23 particles are left here get captured in the bag house,  
24 which are very very fine dust particles, and those are  
25 collected separately and analyzed. The volumes of soil

1 that go through here, probably 99 percent of the  
2 materials will end up in this pile here, and less than  
3 one -- typically less than one percent will end in this  
4 location.

5 MR. CHARLES: Is there only one gas  
6 release point, or one stack, or could there be more than  
7 one?

8 MR. SHOSKY: There could be more than one,  
9 depending on what the ultimate -- ultimate detailed  
10 design would be of the incinerator. Part of the reason  
11 that the incinerator technology is left open at this  
12 point is we felt that there were a number of these types  
13 of facilities or technology units on the market today  
14 currently in use that could be utilized for this project,  
15 and we felt that it would be good to go to the market and  
16 get experienced operators to come in and run the  
17 incineration equipment and also provide back-up  
18 information on previous histories.

19 MR. CHARLES: Okay. Thank you.

20 MR. GILLIS: Mr. Charles ---

21 MR. CHARLES: Yes.

22 MR. GILLIS: --- I'll ask Dr. Magee to  
23 address your -- I believe it was your second question  
24 related to the assumptions in the risk assessment itself.  
25 Is that correct?

1 MR. CHARLES: Yes.

2 MR. GILLIS: Okay.

3 DR. MAGEE: Thank you very much, Mr.

4 Gillis. Yes, we were concerned about upset conditions in  
5 the risk assessment. We needed to ensure that the  
6 assessment was very conservative, which is our parlance  
7 means health protective.

8 We did that in two major ways. One is we  
9 vastly over-estimated how long we assumed the incinerator  
10 was going to run just in general. So we know that the  
11 incinerator is designed to operate for three years.  
12 That's all you need to run it for to get rid of all the  
13 material we're talking about.

14 However, we assumed, just as a matter of  
15 course, for health protectiveness, that the machine would  
16 operate all the time for five years in to to. So we've  
17 almost doubled the amount of emissions, routine  
18 emissions, but nonetheless, we've said that twice as much  
19 is going to come out of that stack as really will.

20 But then on top of that, we decided that  
21 it would be best to also directly address the issue of  
22 upsets. We were told from the engineers that upsets,  
23 usually when they happen, happen maybe once or twice a  
24 year for a minute or so. We said, well that's not good  
25 enough. Let us assume, against to be protective, that



1 clause in the specific chapter that talks about upsets in  
2 the guidance. That's the guidance we followed in general  
3 that -- a guidance that came out just a few months before  
4 we started the project.

5 What they're referring to there, they  
6 directly cite a very old document from CAPCOA, which is  
7 the California Air Resources Board. I'm sorry, the CARB,  
8 C-A-R-B. And we looked for that. We went onto the  
9 website and made some phone calls. That document that  
10 EPA refers to just simply does not exist any longer. It  
11 was present in some guidance from the late 1980s, and I  
12 believe EPA does not -- did not do their homework to  
13 check to see whether that document was still valid.  
14 Obviously what I wanted to do was get my hands on it and  
15 look at it and see what it was based on. It simply does  
16 not exist any longer.

17 I'm not the compliance person here, but I  
18 can tell you that if that incinerator operated 20 percent  
19 of the time, i.e., day after day out of compliance, not  
20 in compliance with its permit, I'm sure it would be shut  
21 down after only a day or two or three, not 20 percent of  
22 the time. So we just felt it's unrealistic and  
23 unreasonable.

24 MR. CHARLES: So you're satisfied with the  
25 standard that you've used.

1 DR. MAGEE: Not only am I satisfied, but  
2 the risk results are based on such conservative  
3 assumptions, that even when we take that into account and  
4 say, "Well maybe it's higher. Let's up it by another  
5 factor, another factor, another factor," we are so far  
6 below levels of concern for realistic exposure pathways,  
7 that we have quite a lot of margin of safety. So yes,  
8 I'm quite satisfied.

9 MR. CHARLES: Okay. Thank you very much.  
10 I would like to defer to my colleague, the doctor over  
11 here, because he has some questions about ash, which I'd  
12 like him to ask at this point.

13 DR. LAPIERRE: Thanks a lot, Bill. I'll  
14 give you a break. It's a tag team here. I would just  
15 like to have one question maybe on the model. Could you  
16 give an indication how many assumptions you used in the  
17 air dispersion model versus how many real data points?

18 MR. GILLIS: So just so that I'm clear,  
19 the question is you want to understand where we had real  
20 data to give us numbers, and then base that back to the  
21 kinds of assumptions we made.

22 DR. LAPIERRE: Yes. I just heard some of  
23 the assumptions you used, which was positive.

24 MR. GILLIS: Yeah.

25 DR. LAPIERRE: I'd like to know how many

1           you used, that's all.

2                       MR. GILLIS:   Okay.  It seems to me that  
3           what we should do here is ask Dr. Walker to talk about  
4           the kinds of information he used in his air modelling  
5           exercise and his -- with respect to emissions and the  
6           weather data that was used from a meteorological  
7           viewpoint, both real and assumed, as you say, and then  
8           move to Dr. Magee to see how he took that information and  
9           went further into the risk assessment.  Would that be the  
10          ---

11                     DR. LAPIERRE:  That's fine.  I'd just like  
12          to have some information.

13                     MR. GILLIS:  Okay.  Great.

14                     DR. LAPIERRE:  And you might add some  
15          statistical parameters, too, that you used to address  
16          that.

17                     DR. WALKER:  The largest set of  
18          assumptions that went into the modelling were in fact on  
19          the emission rates from the incinerator.  And I know this  
20          caused some concern in the IR.  And we'd like to clarify  
21          that that what we did was take the limits where limits  
22          were prescribed by regulation or by CCME guideline.  And  
23          these limits are not limits in the same sense of a speed  
24          limit.  When the CCME says 80 picograms per cubic meter,  
25          it's not like saying 100 kilometres an hour and you drive

1 100 kilometres an hour. It means that you must design a  
2 system that's not going to come close to that because you  
3 have to allow for a factor of safety.

4 So the emission limits in every case were  
5 based on regulation or on guidance, save for one, and  
6 that's the mercury, which Dr. Magee will come back to  
7 later.

8 In terms of weather data, we proceeded  
9 with Sydney meteorological surface data, save for upper  
10 air data from Yarmouth. There's a few upper air  
11 stations, one being Yarmouth, another being in  
12 Stephenville. There's one in northern Maine, there's one  
13 on Sable Island, and there's one in Trois Rivieres, I  
14 believe. We used Yarmouth. We have usually done for  
15 Nova Scotia. I've been in Stephenville, and I can -- I  
16 think I just have a gut feeling that the 1,000 and 1,500-  
17 foot cliffs affect the upper air flow there. These  
18 models are most sensitive to surface level, not to upper  
19 air data in any case.

20 Now, we did use precipitation data for  
21 Yarmouth, and that was because we had it in hand and we  
22 had to proceed with the modelling as quickly as we could.  
23 And we recognize that Sydney may have been a better  
24 choice in that regard, but it doesn't make any  
25 appreciable difference to the overall conclusions.

1           The way the dispersion models work is that  
2 they mathematically simulate the rise of gas from a  
3 stack, and it transfers down wind. The down wind  
4 transfer is based on the wind speed, so that at the top  
5 of the stack, there's a dilution that's caused directly  
6 by the speed of the wind across the top of the stack.

7           The vertical position of the plume is  
8 determined by two things. One is the velocity and the  
9 momentum built into the plume from the velocity, and that  
10 governs the upward rise. The other thing is the  
11 temperature of the plume. The warmer air will rise a  
12 little bit farther. When the wind is a little bit  
13 stronger, the wind will tend to knock out the momentum  
14 and bring the plume down to the surface a little sooner.  
15 So that contrary to intuition, sometimes it's the  
16 stronger wind speeds that result in the higher level of  
17 ground level concentration.

18           You can think of the dispersion from one  
19 incinerator or two incinerators, which is another  
20 question that may arise. If you think of it in terms of  
21 perhaps a flashlight beam on the floor, where if you have  
22 two flashlights, they tend to overlap, and in fact, these  
23 -- the incinerator technology is left a little bit open,  
24 so it could be that there are two incinerators running at  
25 half strength, so that the ground -- each flashlight

1 would be half of the power of the other, and the  
2 resulting ground level concentration would in fact be the  
3 same.

4 And while we're at it, if you happen to  
5 have one of those fancy flashlights that turns and the  
6 beam spreads, that's -- that's the same affect as  
7 turbulence in the atmosphere, which is another thing that  
8 we try to measure. That's probably the hardest thing we  
9 try to measure. Air Mod does a much better job of that  
10 than IFC, and generally will result in lower -- Air Mod  
11 has a -- is less conservative than IFC because it's more  
12 accurate.

13 The assumptions -- there are some  
14 assumptions that go into the derivation of the  
15 meteorological data set for running the model. Air Mod  
16 will account for what's called the streamline height so  
17 that the wind field is passing over the hills, and the  
18 size of the hill -- sometimes the air goes over the hill,  
19 sometimes the air goes around the hills. Air Mod will  
20 more or less correctly infer how much of each it does,  
21 whereas IFC doesn't really account for the hills being  
22 there. It just discounts for the fact that maybe a  
23 receptor is up in the air somewhere.

24 In the case of the Coke Oven site, as I  
25 mentioned previously, that's a negative thing because it

1 assumes that despite the temperature and despite the  
2 momentum of the plume, the center line is going straight  
3 at the receptor.

4 I'm losing track of where I've gotten so  
5 far.

6 We've looked at -- when we do the  
7 modelling, we use -- it's all computer based, and we look  
8 at the worst conditions generally. We look at typically  
9 the worst one hour out of a five-year data set, and that  
10 gives us an indication of compliance with the one-hour  
11 standards. We assume that over that one-year -- or five-  
12 year period, that we've accounted for most of the adverse  
13 meteorological conditions that can occur, and that's an  
14 accepted level. The U.S. will accept down to one year,  
15 using CALPUF for that purpose.

16 We also look at 24-hour averages for, for  
17 example, particulate matter where there's a 24-hour  
18 standard, and we produce the long-term of period averages  
19 for the data set, and these are the numbers that are  
20 provided to Dr. Magee and Dr. Stephenson for the risk  
21 analysis.

22 In addition to producing concentration  
23 estimates, we also produce some deposition estimates.  
24 Deposition is driven most directly by the concentration  
25 itself, and these -- where these models have a failing is

1 that they're not terribly good at the deposition  
2 estimates, so they tend to be a bit on the conservative  
3 side.

4 The Human Health Risk Assessment Protocol  
5 that we use specifies that you will use for the various  
6 organic contaminants a suite of parameters that include  
7 the molecular weight, the vapour pressure, and the vapour  
8 pressure tells you something about how the -- for  
9 example, the PCBs or anything that's presumed to be in  
10 this gas will partition between a vapour phase and a  
11 particulate depositional phase. In general, stuff may  
12 come out wet, it may come out dry to the surface, and  
13 it's driven -- it's a direct function of the downwind  
14 concentration.

15 Did I leave anything out for you?

16 DR. LAPIERRE: Well, just two additional  
17 questions, I guess. When you considered using data from  
18 Yarmouth, did you consider using the GEM model to  
19 generate your local data? GEM is the met data  
20 Environment Canada uses for ---

21 DR. WALKER: No, we -- the surface -- the  
22 wind speed and the wind direction were measured directly  
23 at Sydney Airport. We used the 10-metre air data set  
24 from 10 miles -- five miles away, which is ---

25 DR. LAPIERRE: So what did you use from

1 Yarmouth?

2 DR. WALKER: From Yarmouth, we used the  
3 upper air ---

4 DR. LAPIERRE: The higher -- upper air.

5 DR. WALKER: --- the 900 millibar, the 950  
6 millibar, 1,000 millibar. They're used ---

7 DR. LAPIERRE: And I guess the other  
8 question is how did you treat inversions. You talked  
9 about one hour and -- but did you push inversions to,  
10 say, one month of inversion, what would happen, or two  
11 weeks, or did you go beyond your one hours?

12 DR. WALKER: No. The inversions are  
13 accounted for in the mixing height computation.  
14 Inversions are a daily phenomenon that happen at sunrise  
15 and dissipate at sunset. Inversion conditions are what  
16 limits the vertical spreading of the plume.

17 In addition to the vertical -- or I'm  
18 sorry, the lateral spreading of the plume and the  
19 vertical spreading, there is a limit to how high a plume  
20 will tend to go in the urban atmosphere or in any  
21 atmosphere, for that matter. It tends to be in the order  
22 of several hundred metres, at minimum, to a thousand  
23 metres perhaps maximum.

24 The significance here is -- it's  
25 interesting to look at because we have maximum ground

1 level effects that tend to occur within the 500 to 1,000  
2 metres of the stack. That means that that plume hasn't  
3 reached the inversion. The plume -- the effect of an  
4 inversion is a lot like a reflective layer, so that the  
5 plume goes up and reflects downwards. Mathematically  
6 that's how you account for it.

7 So when we're looking at a maximum ground  
8 level effect within that first 500 to 1,000 metres, we're  
9 looking at a plume that hasn't had time to go up and come  
10 down again. So the -- in that sense, the inversion  
11 doesn't enter into play.

12 DR. LAPIERRE: Maybe I didn't explain  
13 myself correctly, but I'm thinking of those few weeks in  
14 the summertime in which you get stale air -- and we get  
15 stale air -- we don't get that much in Atlantic Canada,  
16 but we do get some -- that just stays there. And what  
17 goes up stays very close to where it goes, and it can  
18 stay till the next movement comes along. How did the  
19 model treat that? Did it homogenize all of this into the  
20 process?

21 DR. WALKER: Yeah, the model -- the model  
22 will handle -- even though it's a very quiet atmosphere  
23 at times like that, the situation you're describing is a  
24 high pressure subsidence inversion, and it relates to a  
25 continent's scale phenomenon called the establishment --

1 or the Bermuda ridge, the Bermuda high, which tends to  
2 cause a continental eastern North America flow of  
3 southern air towards -- so that we are -- we are actually  
4 importing at that time the haze that you see at that  
5 time. And we tend -- in the Halifax area, there's --  
6 Kejimikujik area, there's an ozone associated with that  
7 because it is bringing up stuff from the U.S.

8 DR. LAPIERRE: So we do get a pollution  
9 index at that time.

10 DR. WALKER: You do in fact. And these  
11 data -- those -- we have not edited out any data, and I  
12 things the Sydney data set was very very complete, so it  
13 is in there. Air Mod is actually very good at handling  
14 those situations.

15 So the short answer -- and I think I'm  
16 being encouraged to have one -- is that those data are in  
17 the data set, and thus we did account for them.

18 DR. LAPIERRE: So you can assure me that  
19 the -- whatever comes out of your stack is not going to  
20 be accumulated in an area at anytime with -- under any  
21 adverse weather conditions.

22 DR. WALKER: I think that's a safe  
23 assumption from -- to make.

24 MR. GILLIS: So that -- that talks about  
25 the inputs to the Health Risk Assessment. Would you like

1 to have Dr. Magee go through the way that he went through  
2 the analysis for the health risk point of view with the  
3 same inputs?

4 DR. LAPIERRE: I don't know if people want  
5 to hear all of this, but you know, I guess if ---

6 MR. GILLIS: It's an important  
7 consideration, so ---

8 DR. LAPIERRE: If it's relevant, it should  
9 be said.

10 MR. GILLIS: Okay.

11 DR. MAGEE: Well I will try to hit the  
12 high points.

13 Once the air modelling is completed and  
14 the entire set of air concentrations, vapour deposition,  
15 wet depth, dry depth, all of that stuff is provided to  
16 the second team that takes over, which is my team, we  
17 have two things to do. First is the transport. We've  
18 got to get the material to the appropriate places -- the  
19 soil, the water, the farm and so forth -- and then we  
20 have to have the people eat the produce and so forth.

21 In the first step, there's really very  
22 little in the way of assumptions. We have the  
23 topography, we have the maps, we go, we look and see  
24 where the ponds, the lakes are, where's the water supply,  
25 where do people fish, where can people farm. None of

1 that is assumption. That's all site specific data, and  
2 you can see all the maps and all the tables in our  
3 reports.

4 But the second step says, well, find what  
5 do people do. When we look at the results in our report  
6 for the resident, I think there's very little assumption  
7 there, because what we've got the resident doing, we look  
8 at the maps, we find the closest residential location,  
9 and we say, "Well someone can breathe air there, can they  
10 not? Yes, of course. They could have a backyard garden.  
11 Yes, of course. The kids could play in the soil. Of  
12 course. They could drink water from the nearest  
13 reservoir and they could swim in the nearest lake, pond,  
14 or what have you." So the exact assumption of what their  
15 body weight is and how much water they drink, well that's  
16 a standard Health Canada assumption, but certainly there  
17 are no assumptions about where people are and what  
18 they're doing.

19 Where we do add assumptions that now are  
20 very conservative is where we get into the toddler fisher  
21 and the toddler farmer. So, for instance, there is a  
22 lake very close by. Grand Lake. Of course. Are there  
23 fish in there? Of course. We assume the Health Canada  
24 assumptions of a child, a toddler, a toddler consuming so  
25 many grams -- I believe it's 56 grams of fish each and

1 every day that they or their parents catch from Grand  
2 Lake.

3 Now, that is an assumption because I've  
4 done the sustainability calculation, and there is enough  
5 fish in Grand Lake every year for three toddlers, if they  
6 really sent their parents out there every morning to  
7 catch fish, you could supply enough fish for three  
8 toddlers, but you couldn't supply a large amount of fish.  
9 So is that likely that a toddler is never going to eat,  
10 you know, chicken dips from, you know, some fast food  
11 restaurant, or beef or eggs -- all they're eating is  
12 fish? Not likely. But the guidance makes us do that,  
13 and so we do.

14 And ditto in spades for the farm. We go  
15 to the nearest location where a farm could be, and we  
16 say, someone could be a subsistence farmer there. They  
17 don't just have dairy or they don't just raise tomatoes.  
18 They raise all of their produce, all of their beef, all  
19 of their dairy, all of their pork, all of their poultry,  
20 all of their eggs, all in that location, and the entire  
21 family eats all of those food items every day on their  
22 plate. The plates must be huge. I don't know how they  
23 can fit on the table, they have so much food on them.

24 Now, why do we do that? Because we're  
25 following the guidance to the "T". And they say "Maybe

1           it's not likely in the guidance that there really could  
2           be a subsistence family eating everything grown from that  
3           worst case location, but it's possible, so we want you to  
4           assess it and we want you to have your risk assessment  
5           pass."

6                                So at that back end, we really are pulling  
7           out some assumptions, but what it does is make the entire  
8           set of results very health protective.

9                                DR. LAPIERRE: Was the -- is the model  
10          that you use for the lake and the fish, for example -- I  
11          guess a few questions. Is it a three dimensional model?  
12          And do all fish accumulate all toxins at the same rate?  
13          I mean, is it possible that someone would eat a fish that  
14          accumulates the toxin at a higher rate, and therefore  
15          have a capacity to ingest more toxins?

16                               DR. MAGEE: The reality of the situation,  
17          I'm sure, is true. Different fish do accumulate  
18          different substances at different rates. However, the  
19          guidance is very conservative. Again, this is the U.S.  
20          EPA guidance that has been reviewed and validated and  
21          finally went final literally a month before we started  
22          this project.

23                                So what they do is they scour the  
24          literature and they gather all of the bio-accumulation  
25          factors for PCBs, all of the bio-accumulation factors for

1 mercury and for PAHs and what have you, and they take the  
2 worst one and say, "We don't care whether you have that  
3 kind of fish or not. We want you to run the risk  
4 assessment assuming the worst case uptake and so forth."

5 The model is three dimensional. It takes  
6 the material that lands on the lake. It takes the run-  
7 off that comes from the streams. It has the constituent  
8 when it hits the water body. It partitions into a  
9 dissolve phase, into a -- absorbed onto particles, and  
10 then there's also a [--] sediment phase. All of that is  
11 standard EPA fair, all the equations we ran in our  
12 reports, and we did it exactly in accordance to guidance.

13 DR. LAPIERRE: Okay. Thank you.

14 MR. GILLIS: That pretty well sums up the  
15 Risk Assessment.

16 DR. LAPIERRE: I have one yet.

17 MR. GILLIS: Okay.

18 DR. LAPIERRE: I would want to go back to  
19 the second question, which the second question relates to  
20 the bottom ash. The bottom ash, as I understand, that's  
21 the result of the combustion will be monitored for PCBs  
22 because you want to be sure that you're doing what you  
23 say you're going to do.

24 And the other aspect, will it be monitored  
25 for heavy metals? And if so, which one? And if no,

1 well, why not?

2 MR. GILLIS: The goal of the monitoring,  
3 to start off with, as you've correctly indicated, is to  
4 ensure that the material is -- the PCBs are being removed  
5 through the incineration process.

6 With respect to monitoring of additional  
7 compounds, perhaps I'll turn that over to Don Shosky for  
8 right now.

9 MR. SHOSKY: Thanks, Mr. Gillis. Our  
10 monitoring of the bottom ash -- and just so that people  
11 don't get all the ash terms confused in the audience,  
12 bottom ash is what was on my diagram called clean soil.  
13 And the clean soil that -- or bottom ash that would be  
14 tested is tested for, right now, PCBs. We had not  
15 intended on testing for metals for the following reason  
16 is that we felt that metal concentrations probably would  
17 not change much from the time that they were removed and  
18 processed thermally until the time they went back into  
19 the Tar Pond cell. And being re-stabilized would also  
20 bind those additional metals because of the pH and other  
21 stabilizing effects that cement would have on that bottom  
22 ash material.

23 DR. LAPIERRE: But wouldn't concentration  
24 for volume be a bit different?

25 MR. SHOSKY: It's possible that it could

1 be a little bit different because you would be taking --  
2 reducing the overall weight of the soil. So it is  
3 possible that it would be a little different.

4 MR. GILLIS: Perhaps we can get to some of  
5 the discussion that we had -- or not discussion but some  
6 of the information we provided in one of the IRs. We  
7 have a bit of a model there that describes some of the  
8 concentrations. You're right if you remove the material,  
9 you may well increase the concentration, but we are also  
10 using that as a blending agent going back in. So Dr.  
11 Magee has done a little bit of an exercise here which may  
12 help explain, I believe, your question.

13 DR. MAGEE: Thank you, Mr. Gillis. Yes,  
14 this was our response to IR-28. And we do note that when  
15 you add the bottom ash as the conditioning agent to the  
16 feed material, in the first two or three run throughs,  
17 there would be a build-up, but if you look at the  
18 mechanics of how "X" percent is being taken back and "Y"  
19 percent is being fed back in, you do rapidly achieve a  
20 steady-state concentration.

21 So let me just give you a couple of  
22 examples. If you were to look at IR-21 -- 28.1, which is  
23 one of our tables -- let's see -- for instance ---

24 DR. LAPIERRE: 28.1 is that diagram?

25 DR. MAGEE: The diagram is helpful, but

1 right after the diagram, you'll see a table. You do see,  
2 for instance -- it's the follow-up. I'm sorry, it's the  
3 follow-up to IR-28. Should we wait for a moment and let  
4 you all -- should I go on or should you try to find it?  
5 Oh, we're going to get it on the screen. Hold on. Oh,  
6 there we go.

7 We don't have to walk through each of  
8 these steps, but this shows that you're adding in some of  
9 the bottom ash back in as conditioner but you're not  
10 adding it all in. It is -- well, gee, now I have to  
11 orient myself here.

12 So we've got a sediment. We mix it with  
13 some of the bottom ash, so now we've got -- instead of  
14 one kilogram, we've got two kilograms. We incinerate it.  
15 For the purposes of the bottom ash, we assume that  
16 actually none of the metal was going to be removed to fly  
17 ash or to emissions, except for mercury, which of course  
18 is still volatile. And then you've got your bottom ash,  
19 but a lot of it is coming back to the site. So you can't  
20 build up except for going through the cycle several  
21 times, then you do build up, you plateau at a steady  
22 state.

23 And for instance, for arsenic, you start  
24 with 50 parts per million. At steady state, you have 89  
25 parts per million. So yes -- oh, there we go. So just

1 as an example, there is a build-up, but it builds up and  
2 plateaus. In response to the IR request, we did rerun  
3 the worker risk assessment where we said "What is the  
4 risk to the worker if they handle this ash?"

5 Because as you may recall, when we did the  
6 document as presented originally at the end of the year,  
7 we were under the impression at that time that the coal  
8 fly ash might be used as a conditioner. The design team  
9 said, "Well we think it makes more sense to use the  
10 bottom ash." We had to double check and make sure that  
11 it was fine. And in fact, it is.

12 The good news from the point of view of  
13 mercury is that the mercury level actually goes down  
14 because of the assumption that a goodly percent of it  
15 goes into the fly ash where then you do something else  
16 with it.

17 So is that an adequate ---

18 DR. LAPIERRE: So you're going to return  
19 that, once you've conditioned it, back to the pond. And  
20 would the next treatment place it back into the cell  
21 where you took the PCBs?

22 MR. GILLIS: I'll ask Don Shosky to talk  
23 to that. My understanding it's going to be mixed with  
24 the materials that are appropriate for the solidification  
25 stabilization to put in place, yes, but ---

1 MR. SHOSKY: What's going to happen after  
2 the material has been burned is that it would be tested  
3 for the PCBs to verify that it can go back to the Tar  
4 Pond. A portion of that material after that would be  
5 used as an additional drying agent for additional  
6 materials -- sediments that would be brought back up and  
7 burned. And another -- another pathway is to go through  
8 the stabilization process and placed into the monolith.

9 THE CHAIRPERSON: Just as a follow-up to  
10 that one. At those concentrations of the ash that's  
11 being returned, am I right in assuming it doesn't trigger  
12 any regulation as a hazardous waste?

13 MR. SHOSKY: It's our understanding that  
14 that's correct. That's one of the reasons why PCBs are  
15 being monitored, because there is a regulation for the  
16 concentrations of PCBs.

17 THE CHAIRPERSON: Well what would -- what  
18 regulation would -- at what level would concern about  
19 disposal as hazardous waste be for those metals? Or for  
20 the most sensitive one or the one that was closest to the  
21 -- this would be TDGA, would it, or -- Transportation of  
22 dangerous goods, sorry.

23 MR. DUNCAN: Certainly there's -- there is  
24 a number of regulations in place for the management and  
25 handling of those materials. We don't believe that there

1 will be any, I guess, criteria associated with placement  
2 of this material back into the matrix.

3 The concept, I guess, is to think about it  
4 as further treatment. Really, why you're removing the  
5 material is to remove the PCBs. That's the material you  
6 want to remove from those contaminated sediments. The  
7 material you're taking back is in essence what you took  
8 out minus the PCBs. You're taking it back to the Tar  
9 Ponds for further treatment through solidification  
10 stabilization and then containing and capping within that  
11 system.

12 So indeed, you're not -- it's not so much  
13 a disposal. It's you're taking it back down for further  
14 treatment for the remaining contaminants that are still  
15 in the materials.

16 THE CHAIRPERSON: I appreciate the logic  
17 of what you're saying, but regulation is not always  
18 applied by logic. So maybe we could also just clarify  
19 this with the regulators when the present.

20 MR. DUNCAN: Certainly. And as you've  
21 touched on, there will be further discussion with the  
22 regulators as we get into the detailed design and the  
23 permitting and approval stage. That obviously is the  
24 next step in the process. Beyond the environmental  
25 assessment from the planning and the assessment of

1 environmental effects associated with the activities,  
2 there will be a number of permits and approvals required  
3 in order to carry out these activities and to operate  
4 these facilities and to transport the materials, so we  
5 need to have those detailed discussions with the  
6 regulators, and as you can understand, they'll want to  
7 know, "Well, tell me -- we need to have a certain level  
8 of detail before we can provide you with a permit to do  
9 that." And the detailed design will provide that level  
10 of detail.

11 THE CHAIRPERSON: But if in fact for any  
12 reason you weren't allowed to return that bottom ash to  
13 the Tar Ponds, that would have a certain cost implication  
14 for the project.

15 MR. DUNCAN: It certainly would, yes.

16 MR. CHARLES: I think in the EIS, it also  
17 mentioned that if the first burn through doesn't achieve  
18 the desired effect and you still have some residue with  
19 more than 50 parts per million in it, that it would be  
20 sent back through the incinerator again or otherwise  
21 treated. Is that correct?

22 MR. SHOSKY: Yes, that's correct.  
23 Materials that don't meet the 50 parts per million PCB  
24 would be retreated through the thermal treatment plant.  
25 Of course we would also be looking at why that happened -

1 --

2 MR. CHARLES: Yes.

3 MR. SHOSKY: --- but they would be tested.

4 MR. CHARLES: I was going to say, it would  
5 be kind of an unexpected event, wouldn't it? I mean,  
6 you're operating at pretty high temperatures for PCBs.

7 MR. SHOSKY: We suspect it would be highly  
8 unlikely.

9 MR. CHARLES: Okay. The second question  
10 is are you going to have two sets of operating conditions  
11 in the sense that you've got PCBs and you're also  
12 treating PAHs. Are you just going to use the highest  
13 temperature and burn everything with the one set of  
14 operating conditions?

15 MR. SHOSKY: The intention is to have one  
16 set of operating conditions where we are really  
17 evaluating the feed stock for key parameters prior to it  
18 being thermally treated by the incinerator. The whole  
19 homogeneity issue of trying to make a consistent feed  
20 stock which allows the incinerator to most thoroughly and  
21 efficiently treat that material is what our major concern  
22 is.

23 So in the case, for example, of high  
24 concentrations of organics, if they're over a certain  
25 concentration, they'll need to be blended down as well

1 with the BTU value that we talked about earlier so that  
2 it stays within the parameters that the incinerator can  
3 treat.

4 MR. CHARLES: Thank you very much. Those  
5 are all the questions I have.

6 THE CHAIRPERSON: I would like to ask one  
7 that takes us right back to the beginning of one of the  
8 earlier questions that Bill asked. I'm just -- I'm  
9 interested in the -- your -- the examples you brought  
10 forward. You brought forward three permanent and two  
11 mobile, or two transportable, whatever you want to call  
12 them. Is that correct? I better find my table as well.

13 MR. GILLIS: Is it IR-41 -- is that  
14 correct -- with the examples of the operation?

15 THE CHAIRPERSON: Yes. IR-41. So Swan  
16 Hills, the Quebec one, and Belledune are all permanent  
17 commercial facilities? And the other two presumably were  
18 transportable or mobile?

19 MR. SHOSKY: Yes, ma'am.

20 THE CHAIRPERSON: And the dates -- you  
21 indicated that you wanted to give us more current  
22 examples than Goose Bay and Smithville. And the dates --  
23 I'm just looking at the mobile one because it just seems  
24 -- you know, that's what you're proposing here, but -- so  
25 the dates are -- for the Rose disposal pit is '94. Is

1           that right?   And the description doesn't exactly say  
2           when the Bridgeport was -- I may have missed something in  
3           the table.   If so, I'd be happy to have you tell me.

4                        But the Bridgeport one, the record of  
5           decision, the US EPA record of decision was in '84, and  
6           then the only other reference to time that I saw was that  
7           it took 50 months to treat the material.   So, I don't  
8           know whether they started in '84 or '85 or something.

9                        Anyway, I don't want to belabour this but  
10          that's not an awfully recent example, I guess, is my one  
11          point.   And does somebody want to confirm that I'm  
12          correct in what I'm seeing in terms of the dates of these  
13          two operations?

14                      MR. SHOSKY:   Part of the problem with  
15          coming up with examples was being able to fill all the  
16          categories that we needed to fill, and as a result of  
17          that we ended going to a lot of established literature  
18          where sites were closed and finalized and issues like  
19          that had been resolved, and as a result of that exercise  
20          these were the sites we decided upon.

21                      There are other sites that are being  
22          worked on now, there are other sites that are being  
23          worked on in various state programs and provincial  
24          programs.   It is possible, given enough time, that we  
25          could find additional sites to work through with you for

1 examples, but for all of the categories of information  
2 that you wanted these were the best fit that we could  
3 find.

4 THE CHAIRPERSON: Um-hmm. Okay. Now,  
5 would Goose Bay -- or, I'm sorry, when did you say --  
6 Goose Bay 15 years ago, was that your suggestion? It's  
7 not much beyond that. I've -- I take it that ---

8 MR. GILLIS: I believe it's 15 to 20 years  
9 but we can certainly check on that one. That's pretty --  
10 yeah.

11 THE CHAIRPERSON: Yes, if you would. I  
12 mean, I can remember it and it's -- and there's a lot  
13 that don't remember 20 years ago, so I have a feeling it  
14 might have been less than that but -- and I take it -- I  
15 mean, what was the experience at Goose Bay? Was that a  
16 successful operation? You've cited it as such.

17 Mr. Charles made reference to the fact  
18 that you've cited both Smithville and Goose Bay and you  
19 cited them as being two successful examples of an  
20 incineration, so that's just a more curiosity.

21 But more to -- the other thing that I was  
22 interested in, in just practical terms, is are there  
23 spare mobile incinerators in Canada? Are you expecting  
24 to be able to procure this from a Canadian source? And  
25 if there are, what are they doing right now? I mean, are

1 mobile incinerators -- I don't think they're -- perhaps  
2 I'll ask you this. They're not that easy.

3 Have there been many examples of mobile  
4 incinerators in use in the last, say, five years in  
5 Canada? Are these units sitting around? Are they busy?  
6 Are they -- are you going to have plenty to choose from?

7 MR. GILLIS: Typically, on a -- having  
8 gone through this exercise recently in another country  
9 and, well, several other countries and also around North  
10 America, when you go for incineration services, procuring  
11 incineration services from vendors, often now it's an  
12 international tendering.

13 When I received tenders back at the times  
14 I've requested them, there have been Canadian firms that  
15 have offered to put bids in on those sites. So, the  
16 short answer is yes, there's Canadian firms out there.

17 I'm not at liberty right now to give you  
18 names of various Canadian firms but I would certainly  
19 recommend to the Sydney Tar Ponds Agency that we not just  
20 look at Canadian firms but that we look at the best firms  
21 with the best track record for this particular job and to  
22 ensure that the standards that are going to be set for  
23 that thermal treatment activity are the best available  
24 technology by one of the best companies around that can  
25 do it.

1 THE CHAIRPERSON: And if you were to try  
2 and find some examples of mobile incinerators, more  
3 recent examples -- and if, you know, we remove the  
4 requirement to fill in all those blocks on the table --  
5 would that be relatively easy to do, to indicate, you  
6 know, where mobile incineration projects have occurred,  
7 let's say, in Canada, whether they were using Canadian or  
8 international equipment? But are you able to cite those  
9 examples?

10 MR. SHOSKY: We can certainly take that as  
11 an undertaking, and if some of the other requirements are  
12 lifted it would make it easier to find a number of sites.

13 Again, we'll run into the privacy issue  
14 that we had with the commercial sites that we had talked  
15 about earlier and we might have to get some additional  
16 approvals from various vendors or their clients in order  
17 to have that information released, but we can certainly  
18 attempt to do it for you.

19 THE CHAIRPERSON: But how private can you  
20 be with an incinerator? I mean, is that not something  
21 that you can obtain information from government sources?  
22 They all have to be permitted.

23 MR. SHOSKY: Yes.

24 THE CHAIRPERSON: I'm just -- by all  
25 means, yes, you don't have to gather us all this

1 information, but I'd just be interested in where have  
2 mobile incinerators been permitted in Canada in the last  
3 10 years.

4 MR. SHOSKY: No, you're right, obtainment  
5 of the information from public sources isn't that  
6 difficult, but if you get down to possibly cost per tonne  
7 or any of the costing issues and things of that nature it  
8 might be a bigger problem.

9 THE CHAIRPERSON: So, is that now an  
10 undertaking?

11 MR. GILLIS: We'll take it as an  
12 undertaking to look back in the past 10 years to look for  
13 mobile incinerator projects in Canada. [u]

14 THE CHAIRPERSON: Thank you. And one more  
15 question around mobile incinerators that I've just been  
16 reminded of is the question of -- in terms of if you do  
17 site a mobile incinerator at the VJ Site, who will be  
18 permitting that incinerator with reference to the land  
19 ownership?

20 MR. POTTER: The actual obtaining of the  
21 permit will be the responsibility of the vendor, as  
22 that'll be part of the contract conditions.

23 STPA, as the Proponent, will be the one  
24 overseeing that but it'll likely show up in the contract  
25 that the person obtaining the permit will be the actual

1 vendor taking -- undertaking the incineration.

2 MR. SHOSKY: I'd like to add to that for a  
3 moment, if I may.

4 STPA would work with the regulators to  
5 determine what the permit conditions would be, and the  
6 permit conditions would be set forth to the various  
7 vendors who put together the tenders but the actual  
8 permit will be in the name of the vendor.

9 THE CHAIRPERSON: Sorry, I'd better ask my  
10 question again. I was not clear what I wanted to know.

11 It relates to the land ownership and  
12 currently the VJ Site is in federal crown ownership. I  
13 understand there is a somewhat different regulatory  
14 regime for a mobile PCB incinerator depending on what the  
15 -- where it's sited and who has the ownership of the  
16 land. So, are you anticipating that this will --  
17 actually, let me back right up with a question before  
18 that.

19 Are you sure that the owner of the land is  
20 willing to have an incinerator placed on it?

21 MR. POTTER: Good question. It's one that  
22 we've looked at and for that very purpose we've initiated  
23 discussions with the current owner of the land, and the  
24 intention would be that prior to the incinerator going to  
25 that site that we would be taking -- the province would

1 be taking over ownership of the property and would be in  
2 control of the land at that point in time.

3 We would expect that we would be dealing  
4 with the provincial Department of Environment for the  
5 necessary permits on that property.

6 THE CHAIRPERSON: So, in other words, the  
7 federal regulations on mobile PCB incinerators would not  
8 apply?

9 MR. POTTER: That would be correct.

10 DR. LAPIERRE: I would like to ask a  
11 question regarding the Coke Ovens Site.

12 You are contemplating removing a quantity  
13 of material from the coal tank area and you're going to  
14 incinerate that. Are you contemplating any other --  
15 incinerating any other material from the Coke Ovens Site?

16 MR. GILLIS: I believe the reference that  
17 you made was to the removal of material in the Tar Cell?

18 DR. LAPIERRE: Tar -- yeah, Tar Cell.

19 MR. GILLIS: The Tar Cell is about 25,000  
20 ---

21 DR. LAPIERRE: Right. That's correct.

22 MR. GILLIS: I'll ask Don Shosky to speak  
23 about the remainder of material.

24 MR. SHOSKY: Yes, there are some  
25 additional materials. Right now if we look at -- the

1 majority of the material will be moved from this area  
2 here where the Tar Cell is located and then there'll be -  
3 - as we talked on Saturday, if there are small pockets of  
4 tar that are outside that area that we encounter we'll  
5 pick those materials up as well, and then there's also  
6 the materials that'll be excavated out of the brooks.

7 About 1,300 to 1,500 tonnes of material  
8 will come out of the sediments in the brooks that will  
9 also be incinerated.

10 DR. LAPIERRE: So, will they be blended  
11 with the other material or just burnt independently?

12 MR. SHOSKY: Right now the plan would be  
13 to burn them independently. There's no reason that they  
14 couldn't be mixed, because they would go through that  
15 same feed stock process.

16 The feed stock criteria would not change  
17 between the two sites, but I would like to emphasize that  
18 these areas here do not contain PCBs and they're only PAH  
19 compounds, so ---

20 DR. LAPIERRE: But they could have a  
21 relatively high BTU content?

22 MR. SHOSKY: That's correct, and they  
23 would need to be cut or blended down before thermal  
24 incineration could occur.

25 DR. LAPIERRE: Thank you.

1 THE CHAIRPERSON: I would like to ask some  
2 questions returning to a subject that we did discuss  
3 yesterday, which is future use of the sites.

4 And I guess in general terms, what role  
5 did the consideration of future use of the two sites play  
6 in your assessment of remediation options?

7 MR. POTTER: The major criteria were  
8 health and ecological risks, and once we had addressed  
9 those, you know, essentially the future site use, you  
10 know, as we'd indicated, could be more than -- any type  
11 of passive land use or light industrial. You know, as I  
12 mentioned I think as well yesterday, the Municipal  
13 Planning Strategy does focus on those and not so much on  
14 residential.

15 So, really the main criteria, I guess, was  
16 the ecological and health risk aspects, and once that was  
17 addressed, you know, the use could be, you know, not  
18 endless but a variety of uses could be made of that  
19 property.

20 THE CHAIRPERSON: Um-hmm. I mean, in a  
21 case where you're looking at different remediation  
22 options and if remediation Option A were to deliver part  
23 or all of the site being completely clean with basically  
24 no restrictions on future use, am I to take it that that  
25 was not assessed, that was not, as it were, given extra

1 points?

2 In other words, I mean, I understand that  
3 from an ecological and health risk perspective arguably,  
4 you know, a containment and capping remediation severs  
5 the pathways and delivers the same result as a complete  
6 removal and destruction option, but the complete removal  
7 and destruction option would deliver a site that has no  
8 restrictions on future land use where the other one has  
9 considerable restrictions on land use. That's what I'm  
10 trying to get at.

11 MR. POTTER: Yes. I guess we have to go  
12 back to the MOA, that the project that we've been charged  
13 with implementing is the one based on the project  
14 description that started with the whole EIS and the first  
15 step of the EIS process, and that's based on, you know,  
16 the identified remediation approach where we are on the  
17 Coke Ovens, an environmentally contained system,  
18 management system on that site as well with, you know,  
19 the solidification and removal of the PCBs on the Tar  
20 Ponds.

21 So, that's -- essentially the starting  
22 point for us is, you know, the project as described and  
23 defined and funded through the MOA.

24 THE CHAIRPERSON: So, who should I be  
25 asking my question of? If you're saying that you -- at

1 the point that you started is where you were handed a  
2 certain set of criteria and you designed for that, is  
3 this a question I should take forward to Public Works and  
4 to, presumably, Public Works and the provincial body as  
5 well?

6 MR. POTTER: Yeah, I guess, you know, the  
7 best response is that the project was, you know, defined  
8 for us through a very exhaustive and extensive process,  
9 you know, prior to the current EA process which arrived  
10 at the -- you know, the selected cleanup project that we  
11 have currently before us.

12 So, you know, we can take it so far but,  
13 you know, there was decisions made arriving at the  
14 conclusion in the MOA.

15 THE CHAIRPERSON: But you're not  
16 suggesting who I should take my question to?

17 MR. POTTER: Well, there will be some of  
18 the funding partners appearing before the Panel.

19 THE CHAIRPERSON: Um-hmm.

20 MR. POTTER: They can address that as  
21 well, or address it further.

22 THE CHAIRPERSON: Um-hmm. All right. I  
23 was interested -- and I guess this is more of an  
24 observation than a question, but looking at your Table  
25 2.13-2, which is the Summary of RAER(?) Options as

1 Alternatives to the Project, in fact, I think the title  
2 of the table is not quite totally descriptive. Sorry,  
3 I'll -- have you -- you've pulled that up? Yeah.

4 Because really it's the result of a total  
5 evaluation of all the options including the RAER(?) and  
6 the proposals that then became the project that we have  
7 before us but -- so that table has no mention of future  
8 use in it anywhere.

9 MR. GILLIS: That's correct.

10 THE CHAIRPERSON: Um-hmm. So, that  
11 reflects exactly what Mr. Potter is saying, that as far  
12 as the Agency is concerned future use as a way to pick  
13 between these options just was not on the table?

14 MR. POTTER: That's correct.

15 THE CHAIRPERSON: Well, still while we're  
16 in that -- no, I would like now to go over to Table 47.1  
17 in IR-47. That's the information request where we came  
18 back again to ask for more information on the  
19 restrictions on future use.

20 I've just got a few questions with respect  
21 to the information you came back to us with. So, our  
22 question for the -- to enable the people who don't have  
23 this in front of them -- we came back with additional  
24 questions regarding future use and asked for the type of  
25 land use and development that could take place on

1 different parts of the two sites, the detailed deed  
2 restrictions that the Sydney Tar Ponds Agency would place  
3 on the land before deeding it to another party and to  
4 detail development restrictions that the Agency would  
5 recommend that CBRM enforce through land use and zoning.  
6 So, we were given a table with that information which is  
7 helpful.

8 I guess my first question is, can you tell  
9 me a bit more about deed restrictions. I don't know that  
10 much about deed restrictions. The deed restrictions  
11 you've suggested are with respect to things like water  
12 supply, that there be no wells, which makes obvious  
13 sense, and access right-of-ways and excavation depth,  
14 foundation type and depth, landscaping, below-grade  
15 structures, and contouring service, water management,  
16 below-grade site services.

17 How do deed restrictions work? You put  
18 them on a deed and every time the land changes hands the  
19 person will be advised that that's there, but then what  
20 happens? What if they go ahead and they forget or they  
21 do one of these things? How are those enforced?

22 MR. GILLIS: I'm by no means a specialist  
23 in deed restrictions, I can assure you.

24 The deed restrictions that I'm familiar  
25 with are those associated with flooding along the Saint

1 John River in New Brunswick and you go there at your risk  
2 and you go there at your peril. If you're in the flood  
3 zone which has been identified and defined, the deeds are  
4 very clear on that, and if you transfer a property to  
5 someone you're obligated to show the kinds of  
6 restrictions on land use that are there.

7 And I would see a similar thing carrying  
8 forward here where these are the uses that you can make  
9 of the properties and go forward with that.

10 Any use that you make of a property in a  
11 situation like this is subject to zoning, subject to land  
12 use controls by the Municipality, and the Municipality  
13 would, of course, be aware of any deed restrictions that  
14 are placed on the activities themselves. And that  
15 exhausts my understanding of deed restrictions.

16 THE CHAIRPERSON: Well, that's interesting  
17 because in the instance you've cited then the main  
18 purpose of that deed restriction is a liability issue, is  
19 to let the owner know that if they do certain things it's  
20 at their risk.

21 Now, in this case I don't think that's the  
22 purpose of the deed restrictions, is it? You don't want  
23 these people to go and do these things and assume the  
24 risk, you want them not to do them?

25 MR. POTTER: The purpose is a little

1 different in this case, it's to -- we have a managed site  
2 and if a future use is identified where we talk about  
3 light commercial property and a person acquires land to  
4 put a small warehouse up, he would have to understand  
5 that in putting up that warehouse he cannot impair or  
6 alter or somehow interrupt our management system.

7 If there's a -- if our depth of cover is  
8 such that he can't get to a certain depth, he's got to  
9 raise his building. If we have one of our drainage areas  
10 cutting through his area, he can't interfere with that  
11 drain.

12 That's the -- we tend to call them  
13 institutional controls, but they'd be restrictions that  
14 would be on his deed that he, again, as a landowner would  
15 know, "I have restrictions," and they would mirror what  
16 we see here in this table, that he'd be limited to what  
17 he could do, he'd have to modify his design to work  
18 around that, but it would be something he would know  
19 purchasing the property.

20 MR. GILLIS: The other comment I would  
21 make is that it would be similar to easements that you're  
22 granted, you know, along rights-of-way. For example,  
23 with a pipeline right-of-way or a transmission corridor  
24 you're allowed to do a certain number of things within  
25 that corridor but the deed very clearly says that you're

1 not allowed to do a range of others, and you accept those  
2 when you enter into the agreement with landowners.

3 THE CHAIRPERSON: And the enforcement of  
4 these restrictions is by what? That's what I don't  
5 understand about deed restrictions.

6 If I purchase some land from the province  
7 and I put something up and then I go ahead and do some of  
8 these things you don't -- that the deed has told me I  
9 can't do, what happens? Do you have to sue me?

10 MR. POTTER: We're getting near the extent  
11 of our legal expertise here, but I think it ties back to  
12 the -- you know, to the -- there'd be a deed restriction  
13 and then there'd be also a municipal permit required to  
14 -- you know, to do any alteration on that property.

15 And, again, this is where I think we're at  
16 the edge of our knowledge, but it's probably tied back to  
17 the -- you know, being zoned such that it had some zoning  
18 identifier on it that would indicate, okay, in that  
19 location there's certain things you have to follow, and  
20 their permit would -- their building permit would -- I  
21 suspect, would mirror that.

22 THE CHAIRPERSON: Well, perhaps we can  
23 pursue some of this with CBRM when they come, because  
24 they then become part of the -- they are required to  
25 enforce some key things to maintain the integrity of your

1           containment system.

2                         So, I mean, what I'm getting at is really  
3           in the long haul can we be assured that these  
4           institutional -- these deed restrictions and  
5           institutional controls, in fact, can be effective.

6                         MR. POTTER: We've had some initial  
7           discussions with CBRM dating back quite a few years now  
8           -- well, probably five or six perhaps -- but that's what  
9           they're looking to us from, that if there are going to be  
10          zoning or development restrictions suggested for these  
11          properties that we recede back to them and they would  
12          implement that or address it appropriately.

13                        And, again, that's about as far as I can  
14          take that, but our initial discussions were that --  
15          actually the request was suggested some time ago -- that  
16          there should be restrictions now and they -- you know, we  
17          said, "Well, we can't come back to you until we know what  
18          potential restrictions there should be," and they said,  
19          "Fine, when you get to that point come back to us" and  
20          that'll get incorporated into their planning strategy and  
21          development permits.

22                        But they will, I believe -- I understand  
23          their planning group is coming at a future date, so ---

24                        THE CHAIRPERSON: Um-hmm. I mean, some of  
25          these things that you would like not to happen on the

1 sites are going to be a little difficult, I would think,  
2 to -- and trees would be -- we understand that large  
3 areas of the two sites would not be able to support major  
4 tree growth. Therefore, you've somehow got to stop your  
5 -- in 10 years down the road you've got to ensure that if  
6 a landowner wants to plant a decent size tree that they  
7 -- any size tree -- that they have to follow these --  
8 they have to do it as a raised planter or whatever,  
9 they're going to have to do something fairly costly and  
10 different, and those are not, I would have thought -- do  
11 you put that in a deed restriction and then how do you  
12 enforce that? It's a challenge, is it?

13 MR. POTTER: Not necessarily. I think we  
14 indicated on Saturday that any -- I mean, we will take  
15 the site to a suitably maintained and controlled  
16 situation.

17 Any future developer or user of that site  
18 would look at, you know, that property and whatever that  
19 chosen use would be. They'll have to decide that, well,  
20 if accompanying that use is 30-foot trees with rooting  
21 five feet deep they will bring in five feet of fill and  
22 they'll put in a tree or they'll do it via some kind of  
23 planter or something, but that's a consideration that the  
24 user would have to take into consideration, the primary  
25 focus being that they can't disrupt the cover material.

1 THE CHAIRPERSON: My point is that you've  
2 got to make that happen, you've got to control that, not  
3 immediately -- not only immediately the land changes the  
4 hands but five years down the road, 10 years down the  
5 road. This strikes me as being a challenge. Anyway, I  
6 won't belabour that point.

7 You do anticipate the land ownership will,  
8 in fact, change after the project is complete? Do you  
9 anticipate that the province would maintain ownership,  
10 would sell pieces of it, would give pieces away, would  
11 lease it?

12 MR. POTTER: I think for the purposes of,  
13 you know, what we're looking at here, we would have to  
14 assume that province will retain ownership until some  
15 potential use is identified for that land. It could be  
16 any of what you indicated. It could be a lease  
17 arrangement, it could be an outright purchase.

18 You know, it would be, I guess,  
19 speculative on our part to try to guess what that would  
20 be but, you know, we've tried to identify it as the  
21 restrictions that would have to be considered for that  
22 property whatever, you know, potential use may be made of  
23 it.

24 THE CHAIRPERSON: And what would happen  
25 with respect to liability?

1                   Now, my understanding is that in terms of  
2                   the redevelopment of brownfield sites -- and this is  
3                   definitely a brownfield site -- that liability issues are  
4                   always one of the big kind of institutional barriers or  
5                   commercial or cost barriers really, and the EIS is just  
6                   about silent on the issue of long-term liability.

7                   MR. POTTER: I think, you know, the  
8                   question of liability is recognized on brownfields.

9                   We've not addressed it because we've not  
10                  really -- we don't really have that mandate. Our  
11                  responsibility is to bring the site to, you know, a safe  
12                  engineered containment system where it's not causing any  
13                  further on-site or off-site impacts and there is use --  
14                  as we identified, you know, some restrictions on the use,  
15                  but primarily, you know, the uses that we've identified  
16                  in the EIS.

17                  We can't go beyond that. It's not  
18                  something that we have, I guess, a mandate to or -- you  
19                  know, I guess it could be a question asked of the  
20                  Province who will be the future owner.

21                  You know, recognizing that the Sydney Tar  
22                  Ponds Agency probably has a finite life, we will carry  
23                  out the work, complete the remediation work, a decision  
24                  will be made at some point in time if the Agency  
25                  continues as an owner/caretaker of the property or

1           whether it rolls into a provincial department that looks  
2           after parks and land holdings like that.

3                       So, it's not something we can address  
4           right now, I guess.

5                       MR. GILLIS:   Maybe just ---

6                       THE CHAIRPERSON:   Well, it is -- I think  
7           it's a pertinent area for the environmental assessment  
8           because of the two stated objectives of the project.

9                       And the first objective is to reduce the  
10          ecological and health risk posed by the site, and the  
11          second objective -- and there are just two objectives  
12          cited in the EIS, and the second one is to be essentially  
13          a socioeconomic and community well-being boost for Sydney  
14          and this is -- I understood, was fairly clearly tied to  
15          there being viable future uses on the site.

16                      So, I am interested in pursuing issues and  
17          questions relating to the likelihood that, in fact, these  
18          kinds of future uses will be attractive to somebody who  
19          might want to build, whether that'll be financially  
20          viable or whether the costs incurred -- the costs  
21          involved in building on the site with the restrictions  
22          that you'll have to put on them will, in fact, make it  
23          not all that attractive especially in a situation where,  
24          you know, land values -- depending on what the  
25          surrounding land values are.

1                   So, these -- I just want to give a little  
2                   context on why the Panel would like to pursue these  
3                   questions and I appreciate you saying that you feel that  
4                   your mandate shuts off before then, but this is why we're  
5                   asking the questions.

6                   And the liability one would, I think,  
7                   refer to, you know, who would retain the liability and  
8                   would that become -- or would that transfer if land  
9                   ownership were to transfer and would that become a  
10                  disincentive to establish some of the land uses you're  
11                  talking about.

12                  So, I don't know whether that's -- you  
13                  feel that you've said all you can say on this or if it's  
14                  something you want to come back to us on.

15                  MR. POTTER: I guess, again, sort of  
16                  repeating the focus of the Agency, we're trying to  
17                  address the liability that the land currently addresses  
18                  in terms of its risks.

19                  We'll take your thoughts and give it some  
20                  further thought and perhaps come back with something  
21                  additional, but at this point in time, you know, we don't  
22                  feel we can address it any further, so ---

23                  THE CHAIRPERSON: So, you have a project  
24                  and an EIS with two objectives, and the second objective  
25                  which appears to require that future uses become --

1 viable future uses become established on the site.

2 Should not the Agency be able to provide  
3 us with some assurances that those future uses will, in  
4 fact, be -- could be reasonably considered as being  
5 viable with respect to such things as the cost of  
6 developing, the risk of developing?

7 MR. GILLIS: I'll take one more shot at  
8 this.

9 To goal, as we've undertaken here, is to  
10 identify a project and do an environmental assessment of  
11 the project, that currently the risks are present that  
12 impede opportunities for future development. We are  
13 removing those risks to the opportunities for future  
14 development. There will still be limitations on future  
15 development as there are on any property, including  
16 location, including a whole variety of issues.

17 We feel that the remaining limitations on  
18 development can be managed in the context of managing the  
19 site from the engineering viewpoint, and if we haven't  
20 been clear about the kinds of land uses going forward  
21 maybe that's an issue, and where we may need more thought  
22 is on the kinds of potential deed restrictions or what  
23 have you going forward and the precise mechanisms of how  
24 to implement those, if that's what your question really  
25 is.

1 THE CHAIRPERSON: I don't think I'll keep  
2 pounding away at this but I will just ask one more, which  
3 I think is a straightforward question.

4 Well, I'm not saying that I won't come  
5 back, but right now the straightforward question, I  
6 think, which I really would like to have an answer to --  
7 and if you come back with the answer that's fine -- it's  
8 just this question of who -- I recognize that your  
9 project is designed to reduce current liability  
10 significantly. I accept that that's the purpose of the  
11 project.

12 Nonetheless, there will be some -- it's a  
13 containment solution, so there's still some remaining  
14 liability, and I would just like to know who will retain  
15 that liability should the property change hands, whether  
16 it change hands conceivably from provincial ownership to  
17 municipal ownership or if it would change hands into  
18 private ownership.

19 Just if you can give me some -- get  
20 somebody to give me some sense of who retains the  
21 liability, does the liability move with the ownership of  
22 the land, or how is that dealt with. So, feel free to  
23 come back.

24 It's 5 to 5:00 and maybe that would be a  
25 good time -- a good point at which to stop. So, thank

1           you very much. So, we will now take a one-hour break and  
2           we will resume again at 6 o'clock this evening.

3

4           --- Upon recessing at 4:55 p.m.

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 --- Upon resuming at 6:03 p.m.

2 THE CHAIRPERSON: Well, good evening. I  
3 would like to start the evening session off. And my  
4 first suggestion to the Sydney Tar Pond Agency, or not  
5 suggestion but I was going to offer you a little trade-  
6 off, if you might be interested in that. It's one of the  
7 sort of net present value things. Would shortening this  
8 evening be worth a few more hours later on is the  
9 question? Anyway, the suggestion is, I think the panel  
10 would like to probably not be going till 9 o'clock this  
11 evening, I think we will probably end closer to 8  
12 o'clock, maybe even before, we'll see, but we won't be  
13 going till 9:00.

14 However, we think it could be very useful  
15 for our understanding of the project and the  
16 environmental assessment if we had one more chance to  
17 pose questions to the proponent after we've heard  
18 presentations from the other participants in this  
19 process. So we would -- I would like to suggest to you,  
20 and you don't have to say yea or nay right now but you  
21 can discuss this with the secretaries afterwards, but  
22 what we're suggesting is an additional session on Tuesday  
23 afternoon, May 16th, from 1:00 till 4:00, and that that  
24 would be a chance for us to kind of come back and wrap up  
25 some things with questions that may have occurred after

1 listening to other presenters. So if you'd like to take  
2 that under advisement.

3 MR. POTTER: We'd be fine with that. I  
4 think that'll be no problem at all, we'll give you the  
5 hour tonight. We will trade you off one supper, though,  
6 because I've learned that if you do interviews when you  
7 step out of the room they eat all the food on you! I get  
8 no respect around here.

9 THE CHAIRPERSON: All right. That's very  
10 good.

11 MR. POTTER: Madam Chair, could I just get  
12 back to one point. Just as we were closing on the long-  
13 term ownership and maintenance of the property, I guess  
14 I'd like to draw to your attention to section 1.8 of the  
15 MOA, and I'll just read part of it that refers to the  
16 completion of the work:

17 "Nova Scotia shall accept full  
18 ownership of the sites except in the  
19 event any...third party claims or  
20 interest therein have been  
21 established, and shall be responsible  
22 for any contemplated future  
23 development and any future impact to  
24 or on the sites of such development,  
25 as well as for all ongoing future

1 maintenance and monitoring of the  
2 sites."

3 Maybe that might be a good focus point  
4 when the province, through Transportation and Public  
5 Works comes before the panel.

6 THE CHAIRPERSON: Yes, thank you, that's  
7 helpful.

8 DR. LAPIERRE: Good evening. A few more  
9 questions.

10 The first question I would like to address  
11 regards the cancer criteria used in the Human Health Risk  
12 Assessment, and I believe you used a 10 to the minus 5.  
13 The first question was why was this criteria selected, 10  
14 to the minus 5, I guess, versus 10 to the minus 6?

15 MR. POTTER: I'll ask Dr. Magee, he's our  
16 health risk specialist, to respond to that.

17 DR. MAGEE: 10 to the minus 5, which is  
18 one additional excess cancer case over a lifetime out of  
19 100,000 people, is the project significance level, as you  
20 have suggested, and it is the level that's used routinely  
21 by Health Canada and by Nova Scotia government. So we're  
22 just following along with the regs and doing it the way  
23 the regulators normally do it.

24 DR. LAPIERRE: Okay. So you just  
25 harmonized your answers with the provincial ---

1 DR. MAGEE: Health Canada and the  
2 province, yes.

3 DR. LAPIERRE: Thank you.

4 The next question relates to the  
5 incinerator. I guess in IR-49 you did provide a fairly  
6 lengthy answer to the question that relates to  
7 incinerators. Technology exists that can meet an  
8 emission criteria of 1.1 microgram per cubic metre. I  
9 guess the -- you gave a fairly lengthy answer. However,  
10 I don't think we got an answer to the question how  
11 feasible is the technology to monitor that?

12 MR. GILLIS: So the question is, is not  
13 only the emission rate but you're interested in the  
14 monitoring technologies to understand that.

15 DR. LAPIERRE: Yes, I guess to ensure  
16 compliance.

17 MR. GILLIS: Yes, okay. Thank you. I'll  
18 ask Dr. John Walker to address that issue.

19 DR. WALKER: You're quite correct,  
20 mercury, at the levels we're talking about is quite  
21 difficult to monitor. Mercury is a hot topic all across  
22 North America. It's in all coal plant emissions, and,  
23 for that reason, there's been a lot of development work  
24 being done on close to real time mercury monitoring, but  
25 it's not there yet, not at these levels. These are the

1 kind of levels that would have to be determined by doing  
2 some source testing, and the same sort of source testing  
3 we have to do for PCBs and dioxins because the trace  
4 levels are so low.

5 The sampling train that's for this is  
6 quite similar to one that is used for ordinary  
7 particulate metals, except there's a potassium  
8 permanganate trap to take the mercury out of the air  
9 stream. And so that's when it would be done.

10 The control technology using carbon  
11 injection is, however, because of the interest in mercury  
12 in the last few years, becoming much better developed.

13 DR. LAPIERRE: If I understand correctly  
14 you would have to work to try to get that level of  
15 detail.

16 DR. WALKER: Yes, I think there's no  
17 question that during the acceptance compliance testing  
18 for the incinerator there would be a full suite of source  
19 testing, and that source testing we anticipate would  
20 include dioxins, PCBs, PAH and mercury and other trace --  
21 other metals and particulate speciation, the PM 2.5, PM  
22 10 and so on.

23 DR. LAPIERRE: Okay. The other question  
24 is more of a general question, but it's one that kind of  
25 intrigues me a bit, is if -- you seem to be very

1 concerned with the integrity of your cap to eliminate  
2 surface water from the monolith. However, the monolith  
3 will be bathing in water at the bottom end. Why such a  
4 concern for the top?

5 MR. GILLIS: So the question is pretty  
6 fundamental, why are we spending so much time worrying  
7 about the water coming down from the surface.

8 DR. LAPIERRE: Time, money and a whole lot  
9 of things.

10 MR. GILLIS: Okay. I'll ask Don Shosky to  
11 address that issue.

12 MR. SHOSKY: I'm going to have them go  
13 ahead and put the cap design back up again so we have a  
14 visual we can talk with.

15 MR. GILLIS: Madam Chair, maybe if we can  
16 get those spotlights again, they seem to be the worst  
17 ones for the screen, those ones directly overhead.

18 DR. LAPIERRE: Those are the heating  
19 lights for ---

20 MR. SHOSKY: Again, we have, to refresh  
21 everyone's memory, or who wasn't here earlier today, the  
22 cap in the Tar Ponds area consists of a clay layer, a  
23 DCL, the monolith, and then an underlying geologic  
24 structure that potentially can have water come from the  
25 bottom up through the top -- up to the top. And the

1 question is why don't we have the same care or concern  
2 over this bottom section that we do on top.

3 The reason why it's designed this way with  
4 the relief again is that this bottom layer has -- will be  
5 -- or the stabilized matrix will have a hydraulic  
6 conductivity which is two orders of magnitude less than  
7 the underlying geologic formation that would be feeding  
8 water into it. We are predicting that through  
9 preferential flow these items here will be used to  
10 relieve that pressure, and, as a result of that, we don't  
11 feel that water will infiltrate much up into the -- up  
12 into that monolith because of the low hydraulic  
13 conductivity that we have.

14 If we go to the channel diagram, I think  
15 it's ---

16 DR. LAPIERRE: Could I just ask another  
17 question here. If that's the case, are you not concerned  
18 -- you only have a meter or so of oak burn in your layer  
19 -- that you might get some severe tar action at the edge  
20 of that meter?

21 MR. SHOSKY: This bottom?

22 DR. LAPIERRE: Yes, right on top of there,  
23 on top of your well. The water's going to go up through  
24 there, and you presumably might have fresh water on top  
25 of saltwater.

1 MR. SHOSKY: At this layer here, which is  
2 the darker green layer that represents the GCL area, that  
3 should keep the -- or I'm confident that it will keep the  
4 water -- once the water enters this trench, the GCL will  
5 act as a cap which will further not allow the water to  
6 infiltrate up past that into the upper layers of the cap,  
7 for several reasons. One is the porous stone that will  
8 be used in the trench, which will have a permeability or  
9 a hydraulic conductivity of about 10 to the minus 3, will  
10 then come into contact with something that has a  
11 permeability of 10 to the minus 9, which, in effect, acts  
12 as another cap on top of that drain, thus prohibiting it  
13 from infiltrating up further into the cap beyond this  
14 area that's depicted with the darker colour. And I  
15 believe that that is below the frost line.

16 However, I did say Saturday we were going  
17 to do more investigations on the frost penetration  
18 thicknesses in association with the cap designs to ensure  
19 that the upper tan area, which is the compacted clay  
20 material, would be of sufficient thickness to not be a  
21 problem from a freeze/thaw perspective.

22 DR. LAPIERRE: Okay.

23 THE CHAIRPERSON: Can I just ask -- I  
24 wasn't going to ask this but you've got the diagram up  
25 there, this is just for my clarification. Can you just

1 point out where those -- the T parts of the drainage  
2 system are.

3 MR. SHOSKY: Can you go to the previous  
4 slide with the drainage cross-sections. The cross-  
5 section we just looked at of drains was this side view  
6 here looking at it. So if -- don't do it, but if we go  
7 back to the previous slide, those trenches would be going  
8 back towards the back wall with the T towards the back  
9 wall according to the way the cross-section right here  
10 was made up.

11 THE CHAIRPERSON: But the T is the height  
12 -- the T is at the top just underneath the cap?

13 MR. SHOSKY: Just underneath the GCL  
14 layer, so it will capture just the shallow water.

15 THE CHAIRPERSON: Thank you.

16 MR. CHARLES: Back to the incinerator for  
17 the last time, I think, tonight, but I'm just wondering,  
18 some of the incinerators that have been given on our  
19 table, and those operating in the US Navy, subject to  
20 slightly different climatic conditions than we have here,  
21 I'm thinking particularly about winter conditions, do you  
22 foresee any problems with severe cold weather, for  
23 example, or icy rain or anything else that might cause  
24 the operation to be more difficult with, you know,  
25 cracked valves or pipes that burst or that sort of thing?

1 Is this considered to be sort of a difficult environment  
2 in which to have an incinerator operate? And I know  
3 you're handling one at Goose Bay, but we don't know very  
4 much about how that one works.

5 MR. SHOSKY: Well, I've had the  
6 unfortunate experience one time from taking an  
7 incinerator from California to upstate New York that  
8 wasn't winterized, and we had exactly those types of  
9 problems where we would have frozen water along lines and  
10 things of that nature. Properly winterized, which is  
11 what we ended up doing with that incinerator once it got  
12 to upstate New York, it operated fine from the weather  
13 conditions. Certainly caution needs to be taken in order  
14 to make sure that people that are coming here know that  
15 they're working in adverse conditions.

16 There are some issues more problematic  
17 associated with wet scrubbing systems. The drier the  
18 cleaning systems are for the emissions, bag-houses and  
19 things of that nature, the less likely that you'll have  
20 problems with freezing, but it's definitely a concern of  
21 mine. And during the detailed engineering portion of the  
22 project, that would be something that would have to be  
23 looked at in a lot of detail, because you don't want  
24 somebody up here not familiar with the climatic  
25 conditions that are going to be there.

1 MR. CHARLES: That's even allowing for  
2 global warming.

3 Another question I have is this. As a  
4 panel, and of course I know it's not your fault  
5 necessarily but we've had difficulty, because many of the  
6 details about the project, and how it's going to operate,  
7 are sort of put off until the final detailed design, and  
8 so it's hard to get a handle on the exact project when  
9 some of the details you don't know anything about. But  
10 we'll overcome that.

11 My concern is with public scrutiny. How  
12 will the public get to know the full impact of the  
13 project when a lot of the detailed work is going to be  
14 put off to a later date in the more later final design  
15 phase? Are there steps going to be taken to provide for  
16 that?

17 MR. GILLIS: That's really not an unusual  
18 situation for environmental assessment. You're generally  
19 pretty early on in the planning stages because your  
20 decisions have not been finalized about going forward  
21 with it. So the engineers are, in a lot of cases, very  
22 reluctant to finalize all the designs. So you end up  
23 going forward with a conceptual design, and at the end of  
24 the day what we, as assessment practitioners, end up  
25 doing is setting design criteria for the design

1 engineers. And it's those criteria that you need to  
2 really evaluate and adjudicate in looking and saying,  
3 well, first of all, do we think we have confidence in the  
4 engineering practices that they can meet these criteria?  
5 And secondly, will the criteria themselves afford  
6 sufficient level of protection as we would go through in  
7 doing conduct of the environmental assessment itself.

8 So I understand what you're saying, but  
9 again it's -- beyond the concept stage a lot of times  
10 it's very difficult to go very much further.

11 MR. CHARLES: Yeah, but my concern is once  
12 you go that further step, how is anybody going to know  
13 what that final design is going to be?

14 MR. GILLIS: Well, there will be a  
15 communication ---

16 MR. CHARLES: Will there be a publication  
17 of some sort, will there be information provided, that  
18 sort of thing?

19 MR. GILLIS: And the Sydney Tar Ponds  
20 Agency can speak to this, but the projects that I'm  
21 familiar with, and this one I have no reason to suspect  
22 otherwise, that there'll be a full information series  
23 going forward with the project to make sure that  
24 stakeholders understand where the project is and, at the  
25 end of the day, what the project is that meet the

1 criteria that have been assessed in the EIS.

2 MR. CHARLES: Will you have sort of a  
3 public unveiling of the final project and say "Here it  
4 is"?

5 MR. GILLIS: I guess yes and no. Long  
6 before that we'll be consulting with the community on a  
7 regular basis as we progress through the various detailed  
8 design stages and the associated regulatory requirements  
9 we have to meet. Likewise, we would keep information on  
10 our website. We make an effort of keeping our website as  
11 accurate -- as updated and fresh as we can.

12 You know, we've had open houses where  
13 we've provided the key milestones, you know, open houses  
14 where people can come and see where we're at at the  
15 various stages on the project. So it will be a multitude  
16 of opportunities for the public to input into the  
17 process. It won't be just a matter of us coming out at  
18 the end of the day with "Here's the final design. Here's  
19 the permit. We're starting next Tuesday."

20 MR. CHARLES: So there'd be opportunity  
21 for input.

22 MR. GILLIS: That is correct.

23 MR. CHARLES: Final question and it  
24 relates to health really. We talked this afternoon about  
25 some of the health risk assessments and how the worst

1 case scenarios were depicted in terms of the young  
2 toddler who eats carloads of fish out of Grand Lake, and  
3 how the model was designed to account for that and was  
4 very conservative in that respect.

5 I guess my question is, and there have  
6 been some comments and this is the reason I raise it --  
7 there have been some concerns and comments about adults  
8 in the community, not toddlers but adults, who have  
9 health problems of one sort and another -- is it your  
10 intent, and is it your confidence, that the risk  
11 assessment that you have provided in the modelling which  
12 covers your young toddler, would that also protect the  
13 more adult people who have health problems?

14 MR. GILLIS: I'll turn that question over  
15 to Dr. Brian Magee.

16 DR. MAGEE: Yes, absolutely. We have --  
17 in our Risk Assessment Report we always do the toddler  
18 and the adult. I know from experience that for non-  
19 cancer, the toddler always gives the higher answer, so if  
20 you pass for the toddler, as it were, you always pass for  
21 the adult, and that is true here.

22 For cancer, it really depends on the  
23 specifics. In this particular case, the toddler also is  
24 more sensitive, even though they're just getting a few  
25 years of exposure, because of the specific list of Health

1 Canada assumptions that we have assumed. So we do have  
2 the result for the adult. They're all lower, so there  
3 are higher margins of safety between ariens(?) and the  
4 project significance level for the adults. So yes, I'm  
5 quite confident.

6 MR. CHARLES: Thank you very much.

7 THE CHAIRPERSON: I'd like to ask a  
8 question with respect to IR-63, odours.

9 In this response, you've provided  
10 monitoring results -- the question, sorry, in the  
11 original request from the panel was:

12 "To identify sources of other  
13 potentially significant odours  
14 in the Tar Ponds other than  
15 VOCs, and to identify commercial  
16 and residential areas that are  
17 within 100 metres of Tar Pond  
18 sediment disturbance areas."

19 There'd been an indication in the EIS that  
20 -- basically on an anecdotal basis, but that significant  
21 odours have been restricted to a distance of about 100  
22 metres from the area of sediment disturbance.

23 I'm noting that the south pond has  
24 received and impounded untreated sewage, and the panel  
25 was interested to know what kind of odour problems might

1 result once those sediments stop being disturbed.

2 Anyway, in your response, you provided  
3 information on monitoring that was done for -- in 2005  
4 you did a test dig, and then you did -- you monitored the  
5 results of that test dig looking for any of 10 different  
6 sulphur compounds that might be responsible for odour,  
7 and you say here:

8 "Based on these results,  
9 modelling was not required to  
10 evaluate the odour thresholds of  
11 these additional compounds."

12 Now, in the table, Table IR-63.1, Sulphur  
13 Compounds Measured during Field Experiment, the detection  
14 limits, can you tell me what the relationship of those  
15 detection limits shown in that table are to what the  
16 human nose can detect? Are they the same or are they  
17 different?

18 MR. GILLIS: We -- just based on a quick  
19 conversation here, we would prefer to take this as an  
20 undertaking and get back to you with that specific  
21 answer.

22 THE CHAIRPERSON: Okay. Perhaps I could  
23 just ask the -- what you were using to do the monitoring  
24 was some sort of test or monitoring device or meter or  
25 something, was it?

1 MR. GILLIS: I'll ask, just if I can, Dr.  
2 Magee here to just outline what precisely he did do and  
3 how the test was done, which may be of assistance.

4 THE CHAIRPERSON: Yes.

5 DR. MAGEE: We went to Ferry Street which,  
6 of course, is the road that leads up to the bridge that  
7 separates the north and the south pond, and we took a  
8 long arm excavator, one of these big pieces of yellow  
9 equipment that you can imagine might be used for this  
10 process, and staked out an area that would be about how  
11 much we thought might be dug in a single day. We put a  
12 whole series of monitors around the test excavation  
13 actually in the Tar Ponds. We had people walk out and  
14 put various devices in four different directions so that  
15 we could make sure that we caught downwind regardless of  
16 what might happen during the course of that afternoon.

17 We also had Summa canisters, which are  
18 these evacuated stainless steel devices that collect air  
19 for analysis. Those were a little further away. We also  
20 used Tedlar bags, which are relevant to this particular  
21 table. Those are single samples that you take over the  
22 course of a few minutes. We did that during a peak  
23 period. Those got sent off for the sulphur analysis.

24 Let me ask my colleague if I've left out  
25 something that we monitored. Oh, and there was lightning

1 during that day but that doesn't, I don't think, change  
2 the nature of all the samples that we got. We probably  
3 sent off, let's see, maybe 50 samples to the laboratory  
4 over the course of that afternoon, all done in the  
5 laboratory.

6 So no real -- oh, I take it back. We did  
7 real time monitoring, as well, with the standard  
8 photoionization detector. That's the device that you can  
9 actually walk around and get the reading on the meter.  
10 We had several people with those devices also going  
11 around a downwind location, following the wind, as it  
12 were. When the wind shifted a little bit, we sent them  
13 to the downwind location.

14 THE CHAIRPERSON: So you will now come  
15 back later on and tell us whether, in fact, these  
16 detection limits that are shown in this table, because  
17 everything was below detection limits, whether that's  
18 equivalent to what the human nose can smell. I mean,  
19 anecdotally, could you smell what was going on when you  
20 did the testing?

21 DR. MAGEE: Well, I can certainly respond  
22 to that. I've been to the site quite a few times, and  
23 have never smelled anything, although I'd heard quite a  
24 few stories about how smells can be detected from time to  
25 time, and I'm sure they can be from time to time.

1 I was standing when we started quite  
2 close, before we got under way, and the people that  
3 didn't have protective gear had to move a certain number  
4 of feet away. We certainly did not detect but just a  
5 trace of odour during the entire course of that  
6 afternoon, and that was only when one was very close, I  
7 would say maybe 20 feet.

8 Certainly when you got 100 feet away, we  
9 had devices that measured no or detected no chemicals  
10 that would give odour, and we were standing at the proper  
11 location 100 feet away and we detected no odour.

12 THE CHAIRPERSON: Were you surprised,  
13 given the amount of sewage that has gone in there?

14 DR. MAGEE: Quite frankly, I was surprised  
15 that we didn't smell but just a trace.

16 THE CHAIRPERSON: Okay. Well thank you.

17 MR. POTTER: Just if I could clarify that  
18 a little bit about the sewage. The treatment had gone on  
19 -- the Battery Point Treatment Plant for Sewage had come  
20 on stream July 4th, so your date, Brian, was mid-August,  
21 so almost a month and a half that there was no fresh  
22 sewage going in, but there would have been, no doubt,  
23 some trace sewage in the ponds, but there was no new  
24 input at that point in time.

25 Last summer, for residents of Sydney

1 you'll probably know, that we didn't have the odour that  
2 traditionally we do get through that warm summer period  
3 that is associated with the sewage.

4 THE CHAIRPERSON: So in your experience,  
5 the odour is more associated with fresh sewage than it is  
6 with the old sediments?

7 MR. POTTER: Our understanding of what  
8 happens, about mid-June, when the oxygen levels, in the  
9 south pond especially, are depleted, it turns anaerobic,  
10 and there is a very sharp and very distinct point in time  
11 when suddenly the ponds are -- you know, one day it's not  
12 noticeable, and the next day it's very strong. That's  
13 typically what happens. That will carry right through  
14 till about up to mid-September. If we do get a heavy  
15 rain period and there's a large flushing, the odour will  
16 disappear, but if it's a traditionally dry summer, mid-  
17 June to mid-September you're going to have that odour  
18 there.

19 DR. LAPIERRE: I'd like to ask -- come  
20 back to the question on the modelling, I guess as it  
21 relates to bio-accumulation or biological activity at  
22 depth.

23 You know, if one goes back and you look  
24 when your monolith is in place, you're still going to be  
25 left with soil that has some PCBs, you're going to tell

1 us how much, and you're going to have some PAHs that are  
2 left, and other chemicals. I guess my question goes to  
3 the fact of bio-accumulation.

4 I think in the EIS you indicated that bio-  
5 accumulation at depth had been excluded from the  
6 modelling because there wouldn't be any activity at  
7 depth.

8 Now, if you look at the information we got  
9 yesterday on the organic content of the material that you  
10 have, and you're certainly going to stir some of that  
11 material up, you're going to have some salt water that  
12 intrudes from the ocean, it will certainly bring in some  
13 oxygen, and I guess my question is two-fold.

14 First of all, will there be biological  
15 activities under the monolith, and will it continue at  
16 depth, and I guess the statement that you made in the EIS  
17 it wouldn't -- you had excluded it from modelling because  
18 it wouldn't happen, it was too anorexic -- do you have  
19 scientific data to support that statement that activities  
20 do not take place in anorexic environment?

21 MR. GILLIS: So just so that I'm clear,  
22 the question is, given the presence of organic material  
23 which may act as a nutrient source, perhaps some exchange  
24 of salt water, which we could talk about a little bit  
25 later, and given some -- because of the sea water

1 exchange potentially some oxygen, what is the potential  
2 for biological activity and hence the accumulation.

3 DR. LAPIERRE: That's one part.

4 MR. GILLIS: Okay, part 1.

5 DR. LAPIERRE: The second part is at  
6 depth.

7 MR. GILLIS: Okay. I'll ask Dr. Malcolm  
8 Stephenson to address this, if you would.

9 DR. STEPHENSON: Thank you. Certainly,  
10 microbial activity will happen, it happens all over the  
11 face of the earth. It happens to quite a considerable  
12 depth in the geosphere in groundwater flow paths and so  
13 on. So certainly there will be microbial activity  
14 underneath the monolith. That microbial activity can  
15 proceed usually at a very slow rates in the absence of  
16 oxygen. It's typically much faster, because what we're  
17 looking at is compound essentially that require to be  
18 oxidized, and oxygen is the preferred chemical that, I  
19 guess, participates in those microbial reactions.

20 Microbes can also get sources of oxidizing  
21 agents from other chemicals such as sulphate that are  
22 present in the water as well. So those things can  
23 continue, even in the absence of free oxygen.

24 I think the important thing that we want  
25 to emphasize is the fact that we've got microbial

1 activity in the groundwater and in the tills underneath  
2 the monolith really is not that big of an issue. What  
3 those microbes will be doing is very slowly breaking down  
4 small amounts of the contaminants, the organic  
5 contaminants. More importantly, though, there really is  
6 no pathway that will allow those microbes direct access  
7 to the surface, and there's nothing that we're really  
8 that concerned about as ecological receptors that will be  
9 going down and feeding on those microbes.

10 DR. LAPIERRE: So if salt water comes in,  
11 could salt water not also leave the site and could it not  
12 carry some of the microbes with it?

13 DR. STEPHENSON: Well, there I think  
14 you're talking about during the actual physical stirring  
15 of stabilizing materials, concrete, into the sediments  
16 themselves?

17 MR. GILLIS: Perhaps I can get Don Shosky  
18 to talk a little bit about the potential for gas  
19 generation in the monolith itself, which would be a  
20 reflection of microbial activity such as you're  
21 describing, I believe. So Don, can you ---

22 MR. SHOSKY: I'd like to add a little bit  
23 of clarification on this based on my own personal  
24 experience.

25 There will be -- outside of the monolith

1 area, there'll be microbial activity that potentially  
2 could occur, but within the monolith itself, it will be  
3 extremely limited because of the drastic PH change that  
4 occurs when we add the concrete in with that material.  
5 By changing the PH of the sediments from something that's  
6 neutral to a PH of 10, a lot of the bacteria die off at  
7 that point, and, as a result of that, you don't have the  
8 same conditions that you would get like we discussed on  
9 Saturday with the composting operation where you need air  
10 and water and nutrients in order to get the biological  
11 activity to occur.

12 In the monolith scenario, you're missing  
13 several of those key components to keep life in a  
14 bacterial form sustained. For example, a higher PH,  
15 you'll have pure adaptable bacteria for that, and you  
16 will also not get the nutrients that you need readily  
17 available after the material's been cemented. And you do  
18 not have the same rate of air exchange that you would in  
19 a normal composting operation where you would expect to  
20 get a large amount of gas generated. That's the  
21 conditions as I understand it that would occur within a  
22 monolith.

23 I've had a number of sites that I've  
24 worked on where that has been the case. As soon as that  
25 PH changes, a lot of the microbes die off, plus we have a

1 heated reaction that occurs when the cement is added that  
2 also, in effect, because of the temperature change, also  
3 decreases the amount of microbial population within the  
4 monolith.

5 So, in my professional opinion, I do not  
6 believe we will have an issue with gases generated from  
7 this monolith over time.

8 DR. LAPIERRE: I agree with the monolith,  
9 but underneath the monolith there's still going to be  
10 some silt. You're going -- or are you going down to  
11 till?

12 MR. SHOSKY: That is correct.

13 DR. LAPIERRE: In the till will there not  
14 be any organic matter or clay matter left?

15 MR. SHOSKY: Whatever is naturally  
16 occurring in that till will be there and as was just  
17 explained by my colleague, it is possible that those  
18 conditions won't change at depth, but that is a condition  
19 that we're not really changing in the microbial sense.

20 DR. LAPIERRE: So microbes could still be  
21 there.

22 MR. SHOSKY: That's correct.

23 DR. LAPIERRE: Then my question is, if  
24 you've got an exchange with the salt water in the  
25 harbour, can that not be a conduit for these microbes to

1 migrate from the harbour -- from underneath the monolith  
2 to the harbour?

3 MR. SHOSKY: It's my understanding that  
4 that may well happen in the till layer, but that's not  
5 where the contaminants are, if that's the concern for  
6 bio-accumulation. And Malcolm -- Dr. Stephenson can ---

7 DR. STEPHENSON: I think there are two  
8 scenarios that you're talking about. One is during the  
9 actual remediation operation where the stabilizers are  
10 being mixed with the sediments, and that operation, as  
11 much as possible, is going to be effectively done in the  
12 dry or in a semi-dry state, and there will be mitigation  
13 in place to prevent free liquid from leaving the site and  
14 going into the harbour. That's a given.

15 The other scenario is basically  
16 groundwater flow, after mitigation has taken place over  
17 the next 20, 50 years, whatever, groundwater flowing  
18 through the till in the direction of the harbour and, as  
19 I think the majority of us probably appreciate,  
20 groundwater actually is a very good natural filter, and  
21 -- or the process of water moving through the ground is a  
22 very good natural filter. So what I would expect to see  
23 would be potentially movement of water through the  
24 materials under the monolith, but not necessarily a whole  
25 lot of movement of microbes.

1                   Microbial activity is most typically  
2                   associated with bio-films, and those bio-films themselves  
3                   are actually attached to the surfaces, and it's bio-films  
4                   on surfaces that give you the majority of the microbial  
5                   activity in groundwater flow paths.

1                   MR. GILLIS: So, the potential for bio-  
2                   accumulation of the materials that are locked into the  
3                   monolith is extremely low or is nonexistent virtually.

4                   DR. LAPIERRE: Okay, I accept that, but  
5                   are you certain that all of the chemicals that are left  
6                   will be tied up in the monolith?

7                   MR. GILLIS: I'll ask Mr. Shosky to speak  
8                   to that.

9                   MR. SHOSKY: Based on the number of coal  
10                  tar sites I've worked on where we've used this technique  
11                  on numerous occasions, as I indicated on Saturday, I  
12                  believe that these compounds will be tied up in the -- in  
13                  the cement monolith matrix for a couple of reasons. The  
14                  contaminants that we're concerned about are typically  
15                  pretty long -- large compounds, and just as a general  
16                  rule of thumb, the larger the compound, the more affinity  
17                  they have for collecting onto finer particles and staying  
18                  immobile. And through the process of generating this  
19                  monolith or creating this monolith and decreasing the  
20                  permeability down to the low levels that we have inferences



1                   And I know the remediation options vary a  
2                   fair amount, and I'm wondering if this is still the  
3                   opinion and how you would expand on that. I'd kind of  
4                   like a little further explanation of how you're able to  
5                   arrive at that particular conclusion. It seems to say to  
6                   me it doesn't make any difference which option you choose  
7                   or what you do, the risks are all going to be the same.

8                   MR. GILLIS: If you'd just give us a  
9                   moment while we bring this up.

10                  MR. DUNCAN: Just to -- while folks are  
11                  turning up that page, just to clarify, this is a  
12                  representation of key findings that come from the RAER  
13                  Report, as indicated, the Remedial Action Evaluation  
14                  Report, completed, I believe, in 2003. And these are the  
15                  findings of that study. They're just -- they're  
16                  replicated here in the EIS for completeness. Perhaps Mr.  
17                  Kaiser could speak to the RAER Report specifically and  
18                  talk about those specific findings and how they relate to  
19                  the various options.

20                  MR. CHARLES: I may have misunderstood. I  
21                  may have read it incorrectly. What I thought it was was  
22                  a review of the conclusions and the findings of the group  
23                  that got together afterwards and reviewed the RAER  
24                  recommendations and options, came up with new options and  
25                  assessed all options, the RAER options plus the new ones.

1 So it wasn't just RAER that they were talking about.

2 I don't need an answer right away, but if  
3 you'd like to have further discussion about this, I'm  
4 just interested in how -- I know it says there are no  
5 substantial differences. It doesn't say they were all  
6 exactly the same. But I'd be interested in knowing how  
7 you're able to arrive at that conclusion, because some of  
8 the alternatives seem to think that at least they had  
9 human risks and ecological risks that were less severe  
10 than some of the other options.

11 MR. DUNCAN: I believe you're correct, and  
12 I was mistaken. These are key findings, not necessarily  
13 linked to the RAER. But what we'd like to do is just  
14 take an opportunity to see where these key findings were  
15 from. They are replicated here from another source, so  
16 we just want to make sure ---

17 MR. CHARLES: Yeah. I realize you don't  
18 have it right at hand, but I'd be interested in getting a  
19 bit better explanation of it.[u] That's all.

20 MR. DUNCAN: Absolutely. Sure.

21 THE CHAIRPERSON: I'd like to get a little  
22 bit more information about the possible landfill on the  
23 Coke Ovens site, as in what's the likelihood of there  
24 being a landfill there, what criteria will determine what  
25 goes into it, how it will be constructed, what the

1 implications of it is for -- dare I say the words --  
2 future use. It's a fairly large area that's shown, or it  
3 seems that way with the purple outline. So just  
4 generally if you could give me some more information  
5 about what might end up going in there and what you think  
6 the chances are of there actually being a landfill site  
7 there.

8 MR. GILLIS: I believe Don Shosky referred  
9 to that in his presentation of -- I believe it was  
10 Saturday. And he can speak to that now.

11 MR. SHOSKY: Yes. That area -- and Dr.  
12 LaPierre, excuse me if I point here. For the audience,  
13 the area that we're talking about is this purple area  
14 here. In our evaluation of the various materials that we  
15 may come into contact during the course of this clean-up,  
16 we found that there may be some materials that will be  
17 better suited for cleaning and decontamination of them  
18 rather than trying to take them and put them back in the  
19 monolith or haul them to an off-site location.

20 The types of items that we would be  
21 looking at to go into that possible landfill location  
22 would be large pieces of debris, rocks, wood, that would  
23 all be cleaned. The requirements for the cap would be  
24 just a soil cover, which is common to most nonhazardous  
25 waste landfills in Nova Scotia, and we have an -- we

1 don't have quite yet the exact footprint of what we think  
2 the size of that may be because there will be a  
3 percentage of materials that would go in there that we  
4 have to look at in further detail.

5 Right now we're anticipating that there  
6 will be one there. It could range from -- to be as high  
7 as 10,000 to 15,000 cubic metres of material, which is  
8 our best estimate at this point in time. It would have a  
9 footprint associated with it that would correlate with  
10 the depth of the fill and an appropriate soil cover on  
11 top.

12 The problems with redevelopment of that  
13 area in the future would just be similar to any other  
14 type of landfill material that you would have, is that we  
15 would need to make sure that the land use that was placed  
16 on top of it would not require a real robust -- robust  
17 geo-technical characteristics, because since we'll be  
18 putting pieces of debris in there, there's a potential  
19 for some void spaces which would have to be filled.  
20 Typically those spaces occur over the first one or two  
21 years of the operating life, so there would have to be  
22 some patching and maintaining of that the first couple of  
23 years. But at the end of the day, you could plant trees  
24 and grass and a variety of different plants on it.

25 THE CHAIRPERSON: The label says "possible

1 landfill location." That means the "possible" is applied  
2 to the location or to the word, "landfill"? I mean, are  
3 you pretty certain that you will have to have a landfill?

4 MR. SHOSKY: Yes. And the landfill,  
5 again, would be a nonhazardous debris landfill of clean  
6 material. And from our initial investigations, that's  
7 the most probable location. What would change the most  
8 is the actual footprint of the cell itself. So there's  
9 some further investigations that need to be done there in  
10 order to verify the length and width and depth of the  
11 potential landfill there.

12 THE CHAIRPERSON: And where does the  
13 decontamination take place and -- so what kind of process  
14 is that?

15 MR. SHOSKY: It would be a hot water steam  
16 cleaning operation. We have -- those facilities are  
17 already established at the site now, and there'll be a  
18 few more constructed, so that the site will be maintained  
19 clean for truck traffic and debris during the course of  
20 the works out there.

21 THE CHAIRPERSON: And the materials that  
22 you screen at the -- out of the feed stock at the  
23 incinerator, you said that you'd set the limit at about  
24 two inches?

25 MR. SHOSKY: Yes.

1 THE CHAIRPERSON: Would the -- would you  
2 anticipate that the smaller stuff would end up going  
3 there, or where would that go?

4 MR. SHOSKY: That material that would be  
5 oversized of two inches, one of two things could be done  
6 with it, and the final decision hasn't been made on which  
7 direction that would go. One would be that we would go  
8 through a cleaning process where those larger than two-  
9 inch cobbles and stones would be cleaned with a hot water  
10 surfactant type of rinse, tested, and then placed in that  
11 landfill. Or potentially the other option is to crush  
12 all the material to below two inches and just basically  
13 thermally treat all of it. The final decision on that  
14 has not been decided upon yet.

15 THE CHAIRPERSON: Okay. Thank you. Well,  
16 monitoring. Monitoring and maintenance. I guess my  
17 question -- first question is about the cap. What kind  
18 of monitoring -- I believe I read that you would be doing  
19 an annual inspection of the cap, or the caps, both caps.  
20 But anyway, could you talk a bit more about how do you  
21 monitor the integrity of both of those caps? How would  
22 you know -- what is the most likely occurrence that could  
23 imperil the integrity of either of the caps? And if it's  
24 something that's going to happen below the topsoil layer  
25 -- unless it's something drastic like a big hole appears

1           which anyone can see -- but if it's something that's  
2           happening -- might be happening below the topsoil layer,  
3           how do you know? And what kind of routine maintenance  
4           would you be doing on both the caps?

5                       MR. GILLIS: So with respect to the  
6           operation of the site and the control over it and  
7           monitoring, again I'll ask Don Shosky to address that.

8                       MR. SHOSKY: Thanks, Mr. Gillis. There's  
9           two things here. One is, for the benefit of the audience  
10          for tonight, I'd like to go ahead and go through a brief  
11          explanation of that, but I would also like to take it as  
12          an undertaking for tomorrow when we meet, at the  
13          beginning, to give you a more comprehensive list. We  
14          have some developed, but I'd like to make sure that it's  
15          all inclusive at the time I give it to you. But since  
16          some of these people will not be here tomorrow, if it's  
17          alright with you, Madame Chairperson, that I do that, I'd  
18          be happy with that.

19                      THE CHAIRPERSON: Sorry, a comprehensive  
20          list of ---

21                      MR. SHOSKY: Monitoring activities.

22                      THE CHAIRPERSON: Oh. Beyond the cap?

23                      MR. SHOSKY: No. For ---

24                      THE CHAIRPERSON: Or more than the cap?

25                      MR. SHOSKY: For the cap ---

1 THE CHAIRPERSON: We're still talking  
2 specifically about the cap.

3 MR. SHOSKY: Yes. We're still talking  
4 specifically about the cap, but there's a number of  
5 different areas that need to be monitored there and the  
6 various techniques, and I'd like to be able to give you a  
7 comprehensive list for those.[u] I'm willing to, at this  
8 point, explain to you for the benefit of the audience  
9 some of those items because some of them may not be here  
10 tomorrow.

11 THE CHAIRPERSON: Well, yes, that would be  
12 great. We'll take the shorter version today. And the  
13 timing of -- well, the timing of all -- of all the  
14 undertakings in terms of when it's most appropriate to  
15 bring it back, maybe it's something you can talk with the  
16 secretariat about in terms of how much time we take at  
17 the beginning of each session and when is most  
18 appropriate. So yes, thank you. I'd like to hear for  
19 now what you have to say.

20 MR. SHOSKY: Give me a moment to have the  
21 Tar Ponds cap presented again.

22 Okay. We'll start with the Tar Ponds cap,  
23 and this is a familiar cross section at this point, so we  
24 can see that these areas are all in place. And over the  
25 course of time while this is being constructed, there'll

1 be a lot of insurances to take place that it's installed  
2 properly.

3 As we discussed earlier, some of the --  
4 some of the key components to monitoring this over time  
5 is the water quality that comes out of these particular  
6 trenches to ensure that the ground water is still clean,  
7 that we're not leaking anything out of the monolith into  
8 the aquifers that could be affected. The ground water  
9 quality from these areas will be looked at.

10 And as Madame Chairperson said, if there's  
11 any deep holes or divots that occur because of settlement  
12 that would occur, those would all be visually looked at,  
13 patched and maintained.

14 There's also erosion control that would  
15 need to take place on the site. For example, we would  
16 need to make sure that this grass is maintained, so that  
17 would be a visual inspection. There are, in association  
18 with -- and I'll go to the map over here -- there's quite  
19 a number of areas where we'll have to maintain silt  
20 curtains, silting devices to ensure that we don't have  
21 any silt that's running down from any of the active  
22 works. That'll occur in both capping scenarios.

23 And as within the Coke Ovens site, as with  
24 the Tar Ponds site, we will monitor the vegetation cover,  
25 depressed areas where subsidence may have occurred.

1 We'll also be looking for sheets\* in both areas in case,  
2 for some reason, there may have been a flaw in the way  
3 that materials were laid down or the site constructed to  
4 ensure that any obvious leaking of the containment system  
5 would be visually identified.

6 We don't anticipate long-term air  
7 monitoring once the caps are down, because as stated  
8 earlier, we really won't be in a situation where we  
9 should have any gaseous emissions.

10 As far as the proposed nonhazardous  
11 landfill up here, again, the primary issue of concern  
12 there would be erosion issues of the soil cover and also  
13 the vegetation cover.

14 And in both cases, as we said earlier,  
15 ground water will be monitored here. The combination of  
16 ground water and surface monitoring would be done in the  
17 Coke Ovens site.

18 With that, that's the short version.  
19 We'll bring a longer version in tomorrow.

20 THE CHAIRPERSON: Thank you very much. I  
21 think we'll be very interested ---

22 MR. CHARLES: Can I ask a question?

23 THE CHAIRPERSON: --- to see the longer  
24 version. Yes, go ahead.

25 MR. CHARLES: Dr. Shosky, you have talked

1 about the monitoring, and I realize that during the  
2 operational phase, say, the 10 -- there's 10 years --  
3 you'll be looking to see how things are working, and then  
4 there's a period after that where you'll still be doing  
5 monitoring. I guess my question is, whether you've got  
6 it outlined yet in a monitoring plan or not, on the basis  
7 of your own experience, how often would you monitor a cap  
8 like that? Would it be continuous monitoring for some  
9 purposes and sort of periodic monitoring for other  
10 purposes?

11 MR. SHOSKY: In fact, we have developed a  
12 plan, and we have certain types of frequencies for  
13 certain different activities.

14 For example, in the early portion of the  
15 development of the site, erosion control and maintaining  
16 your structures is extremely important. So until the  
17 vegetation is established, we'll have very frequent, once  
18 weekly, during the growing season, inspection of all silt  
19 control measures, for example, to make sure that there is  
20 a suitable vegetative growth, so that we're not having a  
21 silting problem or a erosion problem in any of these  
22 areas. Ground water monitoring would occur probably  
23 quarterly for the first couple of years, and then  
24 depending on the results, be stepped back over time. But  
25 we've developed a pretty thorough listing of activities

1 associated with that sort of monitoring.

2 MR. CHARLES: Is that the listing we're  
3 going to get sometime tomorrow or otherwise?

4 MR. SHOSKY: Yes.

5 MR. CHARLES: Thank you.

6 THE CHAIRPERSON: I'd just like to say  
7 that will really be appreciated, because in our  
8 information request IR-74, we'd asked for a monitoring  
9 framework, or a framework for a monitoring plan, and you  
10 provided a full response for air quality monitoring, and  
11 we felt that you were not able to provide the same  
12 framework for other aspects.

13 So it sounds like you are going to be able  
14 to at least provide a significant amount of information  
15 tomorrow or shortly that will help to answer that  
16 request, so we appreciate that.

17 MR. DUNCAN: Just on that point, for  
18 clarification -- and I won't take very long -- but Mr.  
19 Shosky was referring to operational monitoring and  
20 ensuring that the site is operating in a proper fashion.

21 There is an environmental management plan  
22 that was provided in the project description report that  
23 does speak to things like compliance monitoring during  
24 construction activities as well as environmental effects  
25 monitoring, and it does provide a framework related to

1 monitoring programs moving forward. So there may be  
2 information there that helps provide additional framework  
3 as well.

4 THE CHAIRPERSON: Yes. Thank you. I have  
5 -- I think this might be my last question this evening,  
6 but it's just on project costs.

7 Now, the information that we have is --  
8 the main information is in your response to our  
9 information request No. 1, with a -- there was a small  
10 clarification or correction in the follow-up. So we have  
11 a very -- a fairly basic breakdown here in terms of  
12 project costs.

13 And when Mr. Charles was asking for more  
14 information on the cost of incineration, which you've  
15 undertaken to provide, in the -- in the RAER Report, all  
16 of the options, there were some fairly detailed cost  
17 information for those options. And now I understand that  
18 subsequently you had another look at those and felt that  
19 they had left a lot out. I mean, I was going to ask  
20 about that because you've -- in most cases where you  
21 redid the cost estimates for those -- for those options  
22 that you were carrying forward in the process and you  
23 redid the cost estimates, the costs doubled. They just  
24 about doubled or they more than doubled.

25 I'm using Table 213-2, and what you said

1 was that -- I mean, that seems to me like a considerable  
2 jump. I was rather interested in knowing a little bit  
3 more about that, whether -- I was going to just -- you do  
4 explain the elements.

5 The cost study -- it says in the EIS that  
6 the reviews that you did revealed that:

7 "The cost estimates contained in the RAER  
8 Report failed to account for a variety of  
9 items including the cost of possible  
10 environmental impact mitigation measures,  
11 project management costs and other project  
12 overheads, insurance and bonding  
13 requirements, the cost of environmental  
14 assessment and risk contingencies."

15 I didn't really quite understand -- so  
16 that list was enough to double the cost of all of -- of  
17 these options. I don't know if you'd like to reflect on  
18 that or if you've got anything to say about that. And  
19 what are insurance and bonding requirements? They're  
20 things you have to pay for?

21 MR. KAISER: Just to, I guess, clarify  
22 your question, you're primarily interested in a greater  
23 understanding as to why the costs appeared to have  
24 doubled from the initial RAER estimates?

25 THE CHAIRPERSON: Yes, that's right.

1                   MR. KAISER: Thank you. As explained and  
2 as you have reiterated, the costs that were presented in  
3 the RAER Report reflected the cost of the actual remedy.  
4 It did not accurately reflect the cost of implementing  
5 the remedy. And as you have outlined, many things such  
6 as insurance and bonding were not included in those  
7 original estimates.

8                   Things like insurance and bonding are  
9 costs that are applied against the contractor before the  
10 contractor comes on site to do work, so that we as the  
11 proponent don't end at the end of the day with some flaw  
12 in the job or some incomplete aspect of the work. We  
13 want to be able to cover -- cover the -- that possible  
14 eventuality if it were to arise. So we apply financial  
15 sureties against the contractors as they come on site to  
16 do the work to make sure that at the end of the day, we  
17 have a complete project.

18                   So those types of costs that were not  
19 factored into the RAER because it was not a cost of  
20 implementation were estimated and added on subsequent to  
21 the estimate that did appear in the RAER. And for that  
22 reason, costs did increase.

23                   The instance currently is that we have --  
24 we have gone forward and moved into a predesign scenario.  
25 We are awaiting that report, but that report did account

1 for costs to implement the project. So the current  
2 estimate is much more accurate and much more complete  
3 than the estimate that was developed for the RAER Report.

4 THE CHAIRPERSON: This -- this is just  
5 curiosity just from my understanding -- I don't think it  
6 critical at all, but bonding -- bonding is a project  
7 cost? Doesn't the -- wouldn't the contractor have to  
8 post a bond? That's not what you're talking about?

9 MR. KAISER: Actually, that is what I'm  
10 talking about, but that ---

11 THE CHAIRPERSON: They post a bond, but  
12 surely -- surely then they do the work and they get the  
13 bond back. That's surely not a cost of the project, is  
14 it?

15 MR. KAISER: They have to -- Mr. Shosky  
16 wants to add as well to my explanation, but the  
17 contractor that comes to the site to do work will expect  
18 to -- the contractor will in the end expect to make  
19 profit and the contractor will expect to cover the costs  
20 that are incurred. Because we would enter into a  
21 contract, we would make that contractor incur a cost, and  
22 the contractor would expect to recover that cost. Maybe  
23 Mr. Shosky would like to add to this.

24 MR. SHOSKY: I think just in general, it's  
25 an important thing to understand that often what gets

1 explained as cost -- and this is why I asked Dr. Charles  
2 exactly how he would like the numbers presented to him --  
3 is that typically a technology cost in the bigger scheme  
4 of the overall project cost is really a smaller  
5 percentage ranging somewhere between 35 and 50 percent of  
6 the cost of the project as a technology cost.

7 The other costs associated with the job  
8 include, for example, government oversight, contractor --  
9 or consulting oversight of the contractor, additional  
10 fees associated with the particular areas that you're  
11 working in, material fees. There's a lot of fees and  
12 services that go into just beyond the technology cost.  
13 But just in general, it's not uncommon to see a pure  
14 application of a technology being anywhere from 30 to 50  
15 percent of the project cost with these other fees and  
16 monitoring and all the other added-on costs as part of  
17 that.

18 So when comparing a cost of a project and  
19 taking a project cost -- or a technology cost off the  
20 shelf, for example, it's not necessarily representative  
21 of the actual cost of implementing that technology till  
22 you add on these other costs associated with it. And we  
23 have a lot of extra costs with this particular project  
24 because of the amount of oversight and monitoring and  
25 items of that nature that are part of it.

1 THE CHAIRPERSON: Well I suppose when you  
2 come back with the incinerator costs for Mr. Charles, I  
3 mean, to what extent can you provide any additional  
4 information on this table that you included in the  
5 response to IR-1? Now, it's a very -- I mean, there's  
6 not as much information -- I guess what I'm trying to say  
7 is there's not as much information in that table as was  
8 provided for the RAER options -- not as much information  
9 for the whole project as was provided for -- and I think,  
10 you know, the sort of things that might be of interest is  
11 the -- a sort of -- you know, an estimate of how much is  
12 going to be spent on monitoring compared to how much is  
13 being spent on ground water, the collection and  
14 treatment, for example, some kind of breakout there.

15 MR. SHOSKY: [u] Madame Chair, we'll take  
16 that as an undertaking. It's quite an undertaking,  
17 though, I'll let you know, and we will do the best we can  
18 to have a reasonable response for you tomorrow.

19 THE CHAIRPERSON: Thank you very much.  
20 Well, as you can see from my colleagues who are shaking  
21 their heads, I think we might actually be able to have  
22 come to the end of our questions for this evening. So I  
23 would like -- that means we do get an early finish this  
24 evening, which I think you've deserved, having been on  
25 the spot all day. And I really appreciate the effort

1           you've given in answering our questions over the first  
2           two days of the hearings. That's much appreciated.

3                         So we are going to finish early this  
4           evening, and we will be resuming tomorrow at 1:00 p.m.  
5           And tomorrow we are going to be looking for questions  
6           from the public to the proponent.

7                         So thank you very much, and we'll see you  
8           tomorrow afternoon.

9

10                        (ADJOURNED TO TUESDAY, MAY 2, 2006 AT 1:00 P.M.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## CERTIFICATE OF COURT REPORTERS

We, Philomena Drake, Ruth Bigio, Sandy Adam, Gwen Smith-Dockrill and Janine Seymour, Court Reporters, hereby certify that we have transcribed the foregoing and that it is a true and accurate transcript of the evidence given in this Public Hearing, SYDNEY TAR PONDS AND COKE OVENS SITES REMEDIATION PROJECT, taken by way of digital recording pursuant to Section 15 of the Court Reporters Act.

---

Janine Seymour, CCR

Philomena Drake, CCR

Sandy Adam, CCR

Ruth Bigio, CCR

Tuesday, May 2, 2006 at Halifax, Nova Scotia