

PUBLIC HEARING  
SYDNEY TAR PONDS AND COKE OVENS SITES  
REMEDICATION PROJECT  
JOINT REVIEW PANEL

---

V O L U M E 3  
(A F T E R N O O N S E S S I O N)

---

HELD BEFORE: Ms. Lesley Griffiths, MCIP (Chair)  
Mr. William H.R. Charles, QC (Member)  
Dr. Louis LaPierre, Ph.D (Member)

PLACE HEARD: Sydney, Nova Scotia

DATE HEARD: Tuesday, May 2, 2006

APPEARANCES: STPA (PANEL):  
Mr. Frank Potter  
Mr. Gregory Gillis  
Mr. Shawn Duncan  
Dr. Brian Magee  
Mr. Donald Shosky  
Mr. Wilfred Kaiser  
Dr. John Walker  
Dr. Malcolm Stephenson

---

Recorded by:  
Drake Recording Services Limited  
1592 Oxford Street  
Halifax, NS B3H 3Z4  
Per: Mark L. Aurini, Commissioner of Oaths

I N D E X   O F   P R O C E E D I N G S

PAGE NO.

THE CHAIRPERSON - OPENING REMARKS . . . . .	409
STPA PANEL - MR. FRANK POTTER, MR. GREGORY GILLIS, MR. SHAWN DUNCAN, DR. BRIAN MAGEE, MR. DONALD SHOSKY, MR. WILFRED KAISER, DR. JOHN WALKER AND DR. MALCOLM STEPHENSON	
Questioned by Environment Canada . . . . .	417
Questioned by Health Canada . . . . .	427
Questioned by C.B. Save Our Health Care . . . . .	434
Questioned by Dr. James Argo . . . . .	447
Questioned by Grand Lake . . . . .	450
Questioned by Les Ignasiak . . . . .	484
Questioned by Mr. Eric Brophy . . . . .	498
Questioned by Mr. Duff Harper . . . . .	507
Questioned by Ms. Debbie Ouelette . . . . .	522

1 --- Upon commencing at 1:01 p.m.

2 THE CHAIRPERSON: Well, good afternoon,  
3 ladies and gentlemen.

4 I'd like to get this session started. So,  
5 happy budget day.

6 My name is Leslie Griffiths, I'm chairing  
7 the Environmental Assessment Review Panel.

8 This afternoon, on my right, is Mr.  
9 William Charles, who's escaping the breezes from the air  
10 conditioning system, and on my left is Dr. Louis  
11 LaPierre.

12 Mr. Potter, I understand that you have  
13 spoken with the Secretariat about the number of issues,  
14 and, first of all, we asked yesterday if you would be  
15 able to return for questions from the panel on Tuesday  
16 afternoon, May 16th, at 1 o'clock, and I believe you  
17 confirmed that you haven't got anything else on.

18 MR. POTTER: I have no life, other than  
19 this hearing. Thank you.

20 THE CHAIRPERSON: Also, I understand that  
21 today, in order to maximize the time for the questions  
22 from the public that you've agreed to defer any of your  
23 verbal responses to undertakings in order that we can  
24 proceed directly to the questioning.

25 Is that correct?

1 MR. POTTER: That's correct.

2 THE CHAIRPERSON: Do you have any written  
3 documents that you want to file at this point?

4 MR. POTTER: None today, no.

5 THE CHAIRPERSON: And are there any other  
6 very brief points of clarification that you wish to make?

7 MR. POTTER: Nothing now.

8 THE CHAIRPERSON: Okay. Thank you.

9 So, today's session, this afternoon and  
10 this evening, has been reserved for questions relating to  
11 the Chair's submissions and the EIS from the public.

12 The purpose of this question is --  
13 questioning is to allow the panel and all of the  
14 participants to gather information and to explore issues  
15 related to the potential environmental effects of the  
16 project.

17 So, as it has been established in the  
18 panel's procedures -- and if you need a copy you can  
19 obtain a copy from Ms. Debbie Hendricksen, the Panel  
20 Secretariat -- but as it's been laid out in the  
21 procedures that questions should be directed through me,  
22 the Panel Chair and I, in turn, will then ask the Tar  
23 Ponds Agency to respond, and I or my colleagues, on the  
24 Panel, may ask for clarification on your question, so  
25 that we can understand what it is that -- exactly what

1           you're asking.

2                           And as the procedures indicate I may limit  
3           or exclude questions or comments that fall outside the  
4           mandate of the Panel that are repetitive or irrelevant,  
5           but I hope I won't have to do that.

6                           I do want to stress that this afternoon  
7           and this evening will go better if you can make sure you  
8           get to your questions as promptly as possible, and there  
9           will be opportunities when you're making presentations or  
10          informal opportunities to speak later on in the coming  
11          days.

12                          If people do not adhere to these  
13          procedures, I do obviously have the ability to and may  
14          have to refuse to permit further questioning from that  
15          individual, but I'm perfectly confident that that will  
16          not be necessary. We've had two great days so far.

17                          Now, I'd like to tell you how we are going  
18          to organize the questioning of the Tar Ponds Agency, in  
19          order to make this as efficient and equitable as  
20          possible.

21                          We're going to set the following order for  
22          the questioners.

23                          The federal government departments,  
24          provincial government departments, municipal government,  
25          organizations and individuals that have registered today

1 to present information to the Panel, and then I will open  
2 up the floor to other members in the audience.

3 If you are listening to that long list and  
4 thinking, "Well, we may never..." -- "I may never get to  
5 ask you questions," do not despair because in a moment  
6 I'm going to check to see who, out of the -- of those  
7 listed categories who is here, who will wish to ask a  
8 question, and I think you'll find we have a much shorter  
9 list than that would suggest.

10 What we're going to do is that each party,  
11 when it's your turn, you'll have a maximum of 20 minutes  
12 to ask questions to the Agency, and once we get to the  
13 bottom of the list we will start back to the top of the  
14 list with a second round of questioning, and how long  
15 you'll get in the second round will depend, obviously, on  
16 how many people there are here who wish to ask questions,  
17 and we'll try and use the time effectively, and we will  
18 have as many rounds of questioning, organized in that  
19 manner, as we can fit in before 9 o'clock this evening.

20 I'm going to ask questioners to take the  
21 seats at the witness table, which is over there, and I'm  
22 going to ask you to remain seated unless you really need  
23 to make use of audio/visual equipment.

24 For the purposes of transcripts, obviously  
25 I'm going to ask you that you identify yourselves, and



1 Nobody is asking questions from Natural Resources Canada.  
2 Fisheries and Oceans. No.

3 Cape Breton Development Corporation.  
4 There's nobody here wishing to ask questions from DEVCO.  
5 Provincial government. Environment and  
6 Labour? No. Office of the Medical Officer of Health.  
7 No.

8 Transportation and Public Works. No.  
9 Natural Resources. Okay. So, I don't have any questions  
10 from the provincial government.

11 Is there anybody here from CBRN and the  
12 municipality, who wishes to ask questions? No.

13 I'm now going to move to my list of other  
14 registered participants. So, the same thing if you can  
15 indicate if you wish to ask questions today.

16 Mr. Donald DeLeski? No. Return to Sender  
17 Coalition. No. Cape Breton Save Our Health Care  
18 Committee. Yes. Cape Breton District Health Authority.  
19 I don't hear anybody. Kipin Industries. I don't hear  
20 anybody from Kipin.

21 Grand Lake Road Residents. Is the answer  
22 "yes"? Yes. Cement Association of Canada. Nobody from  
23 Cement Association. Portland Cement Association.  
24 Nobody. Cape Breton University. Dr. Ron MacCormick.  
25 Sydney Academy.

1                   The Cape Breton Chapter of JCI. Sydney  
2                   and Area Chamber of Commerce. Cape Breton Partnership.  
3                   ECO Canada. Sierra Club of Canada, yes. Mr. Les  
4                   Ignasiak, yes.

5                   Now, I have TD Enviro down here. I will  
6                   need to ask you whether you're questioning as Mr. Les  
7                   Ignasiak differ from -- significantly from your  
8                   questioning as TD Enviro. So, one thing. Thank you.

9                   Bennett Environmental. And finally New  
10                  Waterford and Area Fish and Game Association. Is there  
11                  anybody here from the Association who wishes to ask  
12                  questions?

13                  This means that I have highlighted three,  
14                  four, five, six, seven -- I have highlighted seven  
15                  organizations who have registered to present and we are  
16                  taking them first.

17                  If you are not -- you're not on that list  
18                  and you have questions that you wish to ask, I'm going to  
19                  ask you to -- you will get your opportunity after we're  
20                  done this one round, you'll come onto the end of that --  
21                  Ms. Debbie Hendricksen, who is standing there, who, I  
22                  sure, most of you know, if you would approach Debbie,  
23                  during the next little while, and Debbie will create a  
24                  list and we will add it onto the end of my list of seven  
25                  here.

1                   We will do our rounds, 20 minutes,  
2                   maximum. Don't feel you need to take the whole 20  
3                   minutes, but 20 minutes maximum for everybody and then we  
4                   will be able to start again on the next round.

5                   We will be taking breaks, of course, as we  
6                   normally do.

7                   And I will find a brief way to remind  
8                   people when I come back from breaks, if they wish to  
9                   speak that they should add their name to the Debbie's  
10                  list.

11                  So, anybody who comes later they will get  
12                  a chance to do that. I hope that is all clear.

13                  So, this means that our first questions to  
14                  the Agency that will be placed -- that will be addressed  
15                  to me, the Panel Chair, will be from the Public Works and  
16                  Government Services Canada.

17                  And if the person from Environment Canada  
18                  could be ready and possibly even move up closer to the  
19                  front, so that you could sit down -- oh, Public Works  
20                  said, no. Is that right? I'm sorry.

21                  So, Environment Canada and then followed  
22                  by Health Canada.

23                  MS. MARIA DOBER: Thank you, Madam Chair.  
24                  My name is Maria Dober, I'm the Acting Regional Director  
25                  of Environmental Protection Operations in Dartmouth.

1 I have with me Greg Bickerton and Michael  
2 Hingston. Greg is a hydrogeologist and Michael Hingston  
3 is our air quality specialist, and they will be asking  
4 questions related to their areas of expertise.

5 SYDNEY TAR PONDS AGENCY

6 --- QUESTIONED BY ENVIRONMENT CANADA

7 MS. DOBER: The first question that I have  
8 really is that I'm looking for some clarification on the  
9 sequence of events related to the construction of the  
10 channel, as it's near the mouth of Muggah Creek.

11 In the EIS the Chair had indicated that  
12 there was -- expected to be an increase in flux of  
13 contaminated sediments into the south arm, and I'm just  
14 wondering how the sequence of events will play out so  
15 that we can make a determination what the importance of  
16 that will be.

17 THE CHAIRPERSON: Mr. Potter.

18 MR. GILLIS: Well, we'll start with Mr.  
19 Don Shosky in the construction aspect and then Dr.  
20 Stephenson can address the ecological side.

21 MR. SHOSKY: We're trying to see if we  
22 have a good diagram that we can put up, if you'll bear  
23 with us for a second.

24 THE CHAIRPERSON: As a general rule I  
25 would much appreciate it if you can start -- I'm sorry,

1 have someone start on the verbal part of your answer as  
2 fast as possible, so that we don't lose too much time.

3 I understand the difficulties of trying to  
4 find stuff at the same time.

5 MR. SHOSKY: I'll start answering that and  
6 maybe the narrative I give will be clear enough.

7 Basically, we'll start at the headwaters  
8 and work our way down, and in the process of doing that  
9 we'll put in a number of check dams, in areas where  
10 sediments will be excavated. Though water around Muggah  
11 Creek will be diverted.

12 So, there will be a series of pumping and  
13 dyking systems installed in such a fashion that there  
14 aren't any additional sediments released into that  
15 particular waterway.

16 MR. GILLIS: I'd ask Malcolm Stephenson to  
17 talk now about the flux.

18 DR. STEPHENSON: Yeah, I'd like to provide  
19 clarification on the assumption that there would be a  
20 five-fold increase in the flux from Muggah Creek to  
21 Sydney River during the actual remediation activities,  
22 and subsequently a 90 percent reduction following  
23 remediation.

24 Those were assumptions only. We felt that  
25 it was reasonable to assume that there could be some

1 situations that would arise that would lead to an  
2 increase in flux, either due to routing operations or due  
3 to accidents or malfunctions, and that value of five  
4 times is something that our engineers assured us could  
5 readily be achieved.

6 So, that's kind of a worst case scenario,  
7 and it's well within the capacity of the remediation  
8 measures that are routinely available.

9 Likewise, the 90 percent reduction was a  
10 very -- I guess not much of a stretched target.

11 The assumption is that the remediation  
12 activities will be able to easily better that 90 percent  
13 reduction. So, we were trying to be conservative in the  
14 sense of being pessimistic about what remediation  
15 activities -- sorry, what the mitigation activities could  
16 achieve, and not overly optimistic about what the overall  
17 remedial activities would achieve in the long term.

18 MR. GILLIS: Excuse me for a moment, if I  
19 may.

20 Don Shosky would like to make a  
21 modification to his first response.

22 MR. SHOSKY: Perhaps, I'll -- it will be a  
23 lot clearer if I can show what we're going to -- what the  
24 plan is as we construct this creek. We will actually --  
25 or this channel.

1                   We will actually start on this end of the  
2                   channel and we would continue to divert water around the  
3                   areas that we are going to isolate around this, so that  
4                   the discharge would continue to be the same.

5                   As we clean and restore the channel, we  
6                   will be moving upgradient towards the interior of the  
7                   site. I just want to make that clarification.

8                   We will also install some -- the plan is  
9                   to install some silt curtains and silt barriers at  
10                  various locations along the workings, as well, in order  
11                  to eliminate any sediment -- potential sediment problems,  
12                  and that, in a general sense is how things will work.

13                  So, we'll start at the mouth and work back  
14                  inland.

15                  THE CHAIRPERSON: Do you have any  
16                  subsequent questions?

17                  MS. DOBER: I have one follow-up, if I  
18                  may.

19                  In terms of the excavation and deposition  
20                  of material back into the north pond, I'm assuming that  
21                  that takes place as the construction of the channel  
22                  proceeds, and I'm interested to know how that will be  
23                  accomplished, as well -- oh, I've just lost my train of  
24                  thought completely -- the -- there will still be an open  
25                  channel for tidal action to impact on the Tar Ponds

1 during the channel construction.

2 MR. SHOSKY: I'll take a moment and maybe  
3 explain in a little bit more detail.

4 This preliminary work is being completed  
5 now. Before any of the other construction of the channel  
6 occurs, this preliminary work will be done here.

7 Then the plan is to drive the sheet pile  
8 wall that we discussed yesterday, along this side here,  
9 which basically, in effect, isolates sections of the  
10 pond.

11 Then again we would come in and remove  
12 these sediments. The plan right now is to side cast that  
13 material as it -- as we progress into the interior of the  
14 site, inside casting it over the sheet piling wall, in  
15 order to take that sediment material and be able to keep  
16 it contained within a contained system, so that we don't  
17 have any sedimentation escape out into the channel, as  
18 we're working.

19 So, the plan would be to side cast into  
20 areas that are contained, allow it to drop out and then  
21 pick it up again and treat it as remediation of the  
22 interior portions of the north and south ponds occur.

23 MS. DOBER: That's fine. I'll turn to  
24 Greg and Michael. They have a couple of questions.

25 MR. HINGSTON: Michael Hingston, head of

1 our Air Issue Section.

2 In -- and I guess in the points  
3 presentation made on April 29th, they did note that sort  
4 of all projected emission standards from the project  
5 would meet acceptable standards.

6 They didn't make comment on, sort of,  
7 ambient concentrations. In IR-72, accumulative effect,  
8 they predicted 24 hour exceedances for naphthalene,  
9 benzoate pyrene and total suspended particulate matter.

10 I wonder if the Chair could comment on the  
11 significance of these exceedances.

12 MR. GILLIS: Could you just give us a  
13 moment to make sure we have IR-72 in front of us?

14 Okay. We're ready now. We'll ask Dr.  
15 Magee to address this.

16 DR. MAGEE: Yes, Mr. Gillis. Thank you  
17 very much.

18 We were asked about the exceedances that  
19 we predicted as well as what cumulative effects might  
20 occur, because there are a few background exceedances  
21 that occur from time to time that we pick up in our  
22 monitoring around the Coke Oven and Tar Ponds.

23 So, IR-72 does have a very complete list  
24 of tables where we outline where the exceedances are that  
25 have occurred historically, where the predicted

1           exceedances are, and let me take a parenthetical to say,  
2           remember we are doing a risk assessment that's very  
3           conservative.

4                         We are assuming that multiple activities  
5           are occurring in a single year, so as to not  
6           underestimate what could happen, simultaneously, when  
7           construction starts, with the worst case meteorology and  
8           the worst case location within the surrounding  
9           neighbourhoods and so forth.

10                        But under those assumptions, we do predict  
11           a few exceedances and as you can see from those tables  
12           there is no overlap. It's really fortuitous that the  
13           exceedances that occur naturally, which, of course, are  
14           very few -- let me cite you a few of the numbers -- in  
15           the last three or four years what we have seen is there  
16           have been five exceedances of the 24 hour benzoate pyrene  
17           criterion, and that has mostly been associated with cold  
18           winter days when home heating is at its maximum, and  
19           you'd expect emissions from oil and coal fired heating  
20           units to produce some benzoate pyrene in the air.

21                        And we've seen, historically, only four  
22           exceedances of total suspended particulate.

23                        So, the baseline air quality is very good,  
24           compared to all the other major cities in Canada. The  
25           air quality is really stellar here in Sydney.

1                   When we predict these worst case  
2                   exceedances, they are a few. They're in a few locations.  
3                   They're minor and they do not exceed our project  
4                   significance levels, nor do they overlap with the  
5                   baseline.

6                   So, as you can see in those tables there  
7                   are no cumulative effects in terms of 24 hour  
8                   exceedances.

9                   MR. HINGSTON: One follow up. When you  
10                  talk about them not overlapping, is that just sort of  
11                  adding exceedances or would you take a case, let's say  
12                  for example, if you had an existing area that was maybe  
13                  80 percent of the exceedance naturally and supposedly if  
14                  the project actually added more emissions which would  
15                  increase the ambient concentration. And that would push  
16                  that up to become an exceedance, was that accounted for  
17                  or did you just add up existing and modelled exceedances?

18                  DR. MAGEE: Well, yes we did take a look  
19                  at that and we did not see that we were close and might  
20                  have been taken over the edge. We did not show that in  
21                  those tables. But we did take a look at that and we did  
22                  not see that occurring or happening.

23                  MR. BICKERTON: Greg Bickerton,  
24                  Environment Canada. The question I have relates to IR-  
25                  53, Item 8 and it's just a matter of clarification.

1           The Chair has indicated in IR-53 that the  
2           estimated rate of groundwater capture by the various  
3           groundwater cut off walls and control structures was  
4           calculated at 25 litres per minute.

5           I was just hoping that the Chair could  
6           further clarify, confirm and provide some additional  
7           detail on how this estimate was obtained and what the  
8           particular groundwater control measures that were  
9           included in that calculation were, with the understanding  
10          of course, that final design details are not available.

11          Presumably they have some conceptual idea  
12          of what the extent of these will be.

13          MR. GILLIS: Just give us a moment so we  
14          can get the IR please and we'll -- I'll ask Don Shosky to  
15          answer that question.

16          MR. SHOSKY: When -- well, first easy  
17          question. It's from all of the interceptor systems that  
18          are located in the Coke Oven site.

19          And I think that probably the reason there  
20          may have been a bit of a surprise there with the volume  
21          of water is because during the course of the last six  
22          months we conducted a pump -- a full aqua for a pumping  
23          test out there and were able to nail down the hydraulic  
24          conductivity values of those hydrogeologic units in a  
25          way that they hadn't been defined before.

1                   And the yields of the water was much less  
2                   than what was originally anticipated. For the benefits  
3                   of those that may not understand that, there's a number  
4                   of different ways to test hydraulic conductivity tests.

5                   The most realistic is to actually pump  
6                   water out of the ground and watch its response time.  
7                   That's the type of testing that we did. A lot of the  
8                   other testing was done on a very localized area.

9                   This was a full scale pumping test and the  
10                  results showed that there was much less water available  
11                  than what was previously thought to be.

12                  MR. BICKERTON: Just one follow up. Are  
13                  those results available to us?

14                  MR. SHOSKY: Yes, those results are  
15                  available.

16                  THE CHAIRPERSON: You mean they're  
17                  available as in that you will supply them or they're ---

18                  MR. SHOSKY: Yes, they would be available  
19                  as we can provide them. It's prepared. We can provide  
20                  that to the panel.

21                  THE CHAIRPERSON: So that's an  
22                  undertaking? [u]

23                  MR. SHOSKY: Yes.

24                  THE CHAIRPERSON: Thank you. Are there  
25                  any additional questions.

1 MS. DOBER: No, that's it. Thank you,  
2 Madam Chair.

3 THE CHAIRPERSON: Thank you very much.

4 So if Health Canada would like to come  
5 forward and after Health Canada our next questioners will  
6 be the Cape Breton Save Our Health Care Committee.

7 MS. CHARD: Good afternoon, Madame Chair.  
8 My name is Sharon Chard. I'm the Regional Director for  
9 the Healthy Environments and Consumer Safety Branch of  
10 Health Canada.

11 And I have with me today, Nellie Roest who  
12 is our Health Canada Regional Health Risk Assessor and  
13 Toxicology Specialist. And I'll ask her to pose some  
14 questions for clarification to the Chair. Thank you.

15 --- QUESTIONED BY HEALTH CANADA

16 MS. ROEST: Hi. It is my understanding  
17 that the excavated material from the Tar Ponds which has  
18 been referenced to be the size of a soccer field will be  
19 placed in a staging area where it will be allowed to  
20 dewater naturally.

21 That is gravity drained for several days  
22 without any type of enclosures. How can the Chair ensure  
23 that the volatile emissions from this material, that is  
24 PCBs, Benzene, Naphthalene will not affect the air  
25 quality of the neighbouring communities, and what

1 monitoring and mitigation measures will be put into place  
2 to protect air quality? Thank you.

3 THE CHAIRPERSON: Thank you. Mr. Potter.

4 MR. POTTER: One moment please.

5 MR. GILLIS: The first part of that  
6 question will be addressed by Dr. Brian Magee.

7 DR. MAGEE: Yes, thank you Mr. Gillis.

8 We certainly were concerned about the  
9 emissions that could occur from dewatering and we thought  
10 that that might be, in fact, one of the major sources of  
11 emissions of volatile constituents. That was one of our  
12 key assumptions in the risk assessment.

13 We used the standard EPA equation from  
14 their Superfund series that gives all of the various  
15 emission factors that one should use in assessing the  
16 types of emissions that could occur when construction and  
17 remedial activities take place.

18 So that's all considered quantitatively in  
19 the risk assessment.

20 MR. GILLIS: I'll ask Don Shosky to  
21 comment on control measures and monitoring.

22 MR. SHOSKY: We certainly wouldn't want to  
23 leave you with the misconception that no management of  
24 that material would occur while it's gravity draining.

25 If there are odours or the material

1 becomes too dry too fast, mitigation would take place  
2 where either odour suppressant foam or additives would be  
3 placed on the material so that odours would be  
4 eliminated, and during the course of this processing  
5 there would be air monitoring occurring that would also  
6 add as another benefit to this particular approach.

7 So there are many checks and balances in  
8 place that would allow for the safe handling of this  
9 material.

10 THE CHAIRPERSON: Do you have further  
11 questions?

12 MS. CHARD: Yes. I also have a follow-up  
13 to that. The air monitoring that you referred to, will  
14 that be real time, or will that be the six day  
15 monitoring?

16 MR. GILLIS: That'll be both aspects of  
17 monitoring.

18 MS. ROEST: Health Canada seeks some  
19 further clarification on the use of the one hour and the  
20 24 hour health based criteria for Benzene, Naphthalene  
21 and Methylnaphthalene.

22 And these were presented in Table ES-5 of  
23 Volume V of the Human Health Risk Assessment for the  
24 remediation activities.

25 Will these numbers be used as emergency or

1 one-time exposure numbers or are they intended for use  
2 for the entire length of the project? Thank you.

3 MR. GILLIS: I'll ask Dr. Brian Magee to  
4 address that, Madame Chair.

5 DR. MAGEE: Yes, we understand Health  
6 Canada's concern in that regard and we'd like to tell you  
7 a bit about how that came about.

8 These numbers were specifically derived at  
9 the request of the Medical Officer of Health who wanted  
10 to know when we monitor for specific constituents like  
11 Benzene and Naphthalene.

12 Yes, we all know about regulatory criteria  
13 that have multiple uncertainty and safety factors in  
14 their derivation, and we have to adhere to regulatory  
15 criteria. They are on the table already.

16 He knows about those and he said, "You  
17 know it would help me quite a lot if I also had a number  
18 that would really make someone sick if we went over it."

19 So I was specifically requested to derive  
20 these numbers that are associated with health effects for  
21 his purpose. We then put them in the risk assessment for  
22 informational purposes only.

23 MS. ROEST: So if I understand you  
24 correctly, they will not be used as an action level for  
25 the ambient air monitoring programs?

1 DR. MAGEE: That is correct. The  
2 particular action criteria that we would use would be  
3 derived in a later stage of the project and they'd be  
4 derived in consultation with all the relevant agencies,  
5 assuming Health Canada, I would presume.

6 MS. ROEST: The Human Health Risk  
7 Assessments indicated there will be health risks for  
8 workers at the remediation site if they are not wearing  
9 personal protective equipment.

10 The Chair had recently referenced worker  
11 protective equipment as being a hard hat and work boots.

12  
13 Can the Chair provide detailed  
14 clarification if personal protective equipment will  
15 include respirators and protective clothing?

16 MR. GILLIS: I will ask someone from the  
17 Sydney Tar Ponds Agency to address this but I can assure  
18 that the protective equipment will be appropriate for the  
19 task to be undertaken. So ---

20 MR. POTTER: I guess I can't add too much  
21 to that answer.

22 It's very much based on the activity. I  
23 guess the -- a simple answer is not all workers will be  
24 simply wearing a hard hat and steel-toed boots. They  
25 will be having appropriate PPE, personal protective equipment.

1 MR. KAISER: I'd like to add to that  
2 comment that we would have a master health and safety  
3 plan for all activities on the site.

4 As well, there would be site specific  
5 health and safety plans that would need to be adhered to.  
6 And as Mr. Potter had said, the level of personal  
7 protective equipment would change depending upon the  
8 activity.

9 MS. ROEST: The EIS indicated that the  
10 incinerator will run 250 days per year and the Human  
11 Health Risk Assessment assumptions were based on the  
12 incinerator running 365 days per year, and it was  
13 indicated that that's a 40 percent overestimate of human  
14 health risk.

15 Yesterday, however, the Chair stated that  
16 the incinerator would run 365 days per year. Can you  
17 provide clarification on how many days per year the  
18 incinerator is expected to run? Thank you.

19 MR. GILLIS: Perhaps we can clarify the  
20 source of the 365 days just so that we're on the same  
21 page, please. The comment from yesterday, I ---

22 MS. CHARD: Madam Chair, that was a  
23 comment, I think, that one of the consultants made during  
24 the time of explanation that was ours. So we'd have to  
25 go back and actually refer to the transcript which I

1 don't have a copy of.

2 MR. GILLIS: Thank you very much. Then  
3 I'd ask Don Shosky to clarify that to make sure that  
4 we're all on the same level.

5 MR. SHOSKY: I was the culprit. The --  
6 it's anticipated right now that incinerator -- the actual  
7 number of working days will probably be about 240.

8 There's a certain number of days that  
9 it'll be down every year for maintenance and things of  
10 that nature without putting out a specific schedule.

11 They usually run in -- operate five to six  
12 days a week with a couple of days off depending on what  
13 type of problems they may have. But at this point in  
14 time it could be any one of the 365 days of the year.  
15 There isn't a schedule that's set for that at this point.

16 MR. GILLIS: If I may, I'd ask Dr. Magee  
17 to comment further on the schedule for operation that was  
18 assumed, please.

19 DR. MAGEE: Thank you very much, Mr.  
20 Gillis.

21 Yes, the number of days is an issue but  
22 more importantly the number of years is an issue.  
23 Regardless of how many days the incinerator will operate,  
24 it is not going to operate for five full years which is  
25 what the risk assessment assumed.

1                   So we have adequately overestimated the  
2                   emissions to a great deal. Again, we assumed 365 for a  
3                   full five years with the upset conditions on top of it.

4                   MS. CHARD: Thank you, Dr. Magee. That  
5                   was going to be our follow-up question. So thank you for  
6                   answering that. Madam Chair, that finishes our questions  
7                   for today. Thank you.

8                   THE CHAIRPERSON: Thank you very much. So  
9                   now the Cape Breton Save Our Health Care Committee.

10                  --- QUESTIONED BY CAPE BRETON SAVE OUR HEALTH CARE  
11                  COMMITTEE

12                  MS. MACLELLAN: Good afternoon. My name  
13                  is Mary Ruth MacLellan.

14                  I'm Chairperson of the Cape Breton Save  
15                  Our Health Care Committee. To my right is Dr. Jim Argo.  
16                  He's -- his specialty is medical geography and we have  
17                  commissioned him to help us with our presentation.

18                  And he has a number of questions as well  
19                  as mine so I will try and quickly sum up mine as best I  
20                  can.

21                  My first question through the Chair is to  
22                  Sydney Tar Ponds Agency. And it has to deal with when  
23                  they were founded, what their mandate is, which  
24                  government department do they fall under. To whom do  
25                  they report, their number of employees, their annual

1 budget, what work has been carried out to date?

2 THE CHAIRPERSON: I think, unless our  
3 memory is terrific, we should break those down if I --  
4 would you like to just list the first four of those and  
5 then we'll move on to the next four. So they don't have  
6 to remember that huge list.

7 MS. MACLELLAN: Okay. When was the Tar  
8 Ponds Agency founded and what was its mandate. And which  
9 government department do you fall under, to whom do you  
10 report, what is your annual operating budget and what is  
11 your number of employees?

12 MR. GILLIS: I'll ask a representative of  
13 Sydney Tar Ponds Agency to recount the history.

14 MR. POTTER: I think -- well, let's start  
15 with, the agency was formed in 2001. I believe  
16 September. The mandate is fairly well spelled out in our  
17 MOA and I believe that's a document we provided to -- I  
18 believe we provided it to the panel previously but just  
19 to ---

20 MR. MACLELLAN: Briefly sum it up.

21 MR. POTTER: I'm sorry.

22 MS. MACLELLAN: Could you briefly sum it  
23 up.

24 MR. POTTER: Sure. The mandate of the  
25 agency is basically to be the implementing body for

1 carrying out the project that's been assigned to it. The  
2 MOA also addresses the -- besides the scope of work, the  
3 funding from the two partners which are Federal  
4 Government and the Provincial Government.

5 The Federal Government's represented by  
6 Public Works and Government Services as the lead Federal  
7 agency. The lead Provincial agency is Nova Scotia  
8 Transportation and Public Works. It identifies the time  
9 frame for the project to be carried out over ten years.

10 Upon completion there would be a 25 year  
11 monitoring period, again funded within the overall four  
12 hundred million dollars (\$400,000,000). Budget figures,  
13 I think we've identified in one of our IR responses that  
14 there is a portion of the four hundred million dollars  
15 (\$400,000,000) identified for funding the agency.

16 The staff complement right now is 18  
17 staff. We're in the process of interviewing I think this  
18 week for one additional staff person. We're expecting  
19 right now to probably level off at 20.

20 When the major component of the work gets  
21 going which is, I guess, in a year or two, we may have 25  
22 staff. Now my memory's sets off ---

23 MS. MACLELLAN: I'll move on to the next  
24 question, then. What work has been carried out to date  
25 and how much money has been spent on each project and

1 where did this money come from?

2 MR. POTTER: The MOA identifies what's  
3 called preventative works. There's four preventative  
4 works activities.

5 The rerouting of Coke Oven Brook, the  
6 remediation of the cooling pond, the Battery Point  
7 Barrier, the construction at North Pond and the Victoria  
8 Road water main. The Coke Oven Brook realignment was  
9 started last year.

10 Actually it's just started up again today.  
11 This is the first day the contractor's back at it. That  
12 project will run through the end of this construction  
13 season. The other cooling pond project is currently out  
14 to tender. The north -- Battery Point Barrier is out for  
15 tender.

16 The actual construction of the Victoria  
17 Road water main was funded through the agreement but  
18 administered by CBRN because of the nature.

19 It is essentially moving their water  
20 system and they wish to have control over that. So they  
21 administered and carried out that project which was done  
22 last year and completed. So that's the four preventative  
23 works projects.

24 MS. MACLELLAN: So approximately how much  
25 money has been spent to date and which department, or is



1 in JAG. Not all of it was used. There was money left  
2 when JAG was dissolved. Where did that money revert to?  
3 Or if you can't answer that, can you tell me who can?

4 MR. POTTER: Madam Chair, I'm not sure the  
5 relevance of that question to the purpose of what we're  
6 here for.

7 THE CHAIRPERSON: Do you have any comment  
8 on the relevance, why you consider that question to be  
9 relevant to ---

10 MS. MACLELLAN: I consider it very  
11 relevant. We've been living here for a number of years.  
12 We have seen a lot of money wasted, no clean up yet  
13 successful and people's health are still affected, and I  
14 think it bears a big relevance across this country  
15 because it looks bad on Cape Breton when we can't answer  
16 where the money was spent.

17 THE CHAIRPERSON: Well, I accept Mr.  
18 Potter's answer that that's not an item that they can  
19 answer directly.

20 So we may need to see if future presenters  
21 -- whether there is somebody who might be able to answer  
22 that question. Do you have anything to add to that Mr.  
23 Potter?

24 MS. MACLELLAN: I have more questions.  
25 Yesterday, they mentioned odours will be present. And

1 that's one of the sources or one of the problems they  
2 will have.

3 I wonder where -- what the sources of  
4 these odours will be. Will they be chemicals? If so,  
5 what type? What thought was given to the fact that many  
6 chemicals affect people before they are detected by their  
7 old factory? That is to say, before anyone can smell  
8 them they can harm people.

9 THE CHAIRPERSON: Could I clarify what the  
10 question is that comes from that? What do you want the  
11 agency to tell you?

12 MS. MACLELLAN: I want to know if they  
13 have any idea what the source of the odours will be and  
14 what -- if it's chemicals, what types of chemicals and if  
15 any thought was given to the fact that odours very often  
16 harm people before you can detect the odours.

17 MR. GILLIS: We most certainly considered  
18 odours and we considered the health thresholds, both.

19 So I'll ask Dr. Brian Magee to address  
20 this question, please.

21 DR. MAGEE: Yes, I believe we all know  
22 that the odours probably -- many of the odours that have  
23 been detected over the years may be associated with the  
24 sewage. But that's not what we're talking about in terms  
25 of our predictions.

1                   Our predictions are primarily that  
2 Naphthalene may be above the odour threshold from time to  
3 time for a few minutes here and there.

4                   The odour threshold of most chemicals is  
5 far, far lower than the level at which effects can be on  
6 human health. And in fact, when odours are detected, it  
7 can be because the levels of a chemical lapped over into  
8 an area for just a minute or two. You get a sense of it,  
9 it's gone.

10                  If you went there and measured all day  
11 long, you'd find that the average level over the day was  
12 far below the odour threshold. But might someone have  
13 smelled it for that minute, of course. And we predict  
14 that that will probably happen during the course of the  
15 project from time to time.

16                  THE CHAIRPERSON: So just to clarify, the  
17 question -- the assumption of the question is that  
18 effects occur below the detection by the human nose and  
19 you are saying the opposite? Is that correct?

20                  DR. MAGEE: That is correct. The odour  
21 threshold is much more -- your nose is much more  
22 sensitive to Naphthalene at lower levels. Health effects  
23 occur only at much higher levels.

24                  MS. MACLELLAN: But there are other  
25 chemicals that cannot be detected in the air that are

1 harmful. Carbon monoxide is just one example.

2 DR. MAGEE: Is there a question?

3 THE CHAIRPERSON: Is there -- yes, is  
4 there a question?

5 MS. MACLELLAN: Yes, I'm asking him if  
6 they know if there's any chemicals that will be in the  
7 air that when they're dealing with the cleanup, that will  
8 affect people that can't be detected by the human nose.

9 THE CHAIRPERSON: That cannot be detected?

10 MS. MACLELLAN: Yeah.

11 DR. MAGEE: The chemicals of concern that  
12 we know about in the ponds that we've evaluated do not  
13 have that phenomenon. Does that exist for some  
14 chemicals? I'm sure it probably does. But for the  
15 chemicals of concern that we are aware of that  
16 historically have been placed into the Tar Ponds, that is  
17 not the case.

18 DR. ARGO: Madam Chair, may I intrude just  
19 briefly in here?

20 THE CHAIRPERSON: With a question?

21 DR. ARGO: Well, maybe I can answer --  
22 maybe I can throw a bit of light on this particular  
23 question.

24 THE CHAIRPERSON: Sir, I'd like everything  
25 at this stage to be couched in terms of a question.

1 DR. ARGO: All right. For instance,  
2 Benzene has -- the risk -- the concentration which  
3 equates to a risk of one in a million in -- for Benzene  
4 is -- I'm sorry, let's start off at the beginning and say  
5 that Benzene is a carcinogen.

6 A carcinogen is something which doesn't  
7 have a minimum concentration and in the case of Health  
8 Canada we insist on a concentration that equates to a  
9 risk of one in a million. Because there isn't a minimum  
10 that is our minimum acceptable risk.

11 The concentration of Benzene that can be  
12 -- that equates to that is point 96 micrograms per cubic  
13 metre in air. The concentration when Benzene can be  
14 smelled, is registered by the nasal system, is around  
15 about five to six milligrams per cubic metres, about  
16 1,000 times.

17 THE CHAIRPERSON: So if we're translating  
18 this to a question, your question is -- well, perhaps the  
19 panel's question is, could you provide us with some kind  
20 of a table which relates the -- from your perspective,  
21 relates the health risk threshold with the human odour  
22 detection threshold?

23 Now we did have some discussion with --  
24 about this yesterday and you made an undertaking to come  
25 back with respect -- that was in terms of smells that

1 might originate from sewage impacts and sediments.

2 DR. MAGEE: Well, my colleague here is  
3 looking for some tables but if I can just state that  
4 Benzene, of course, is one of the major constituents that  
5 we have evaluated.

6 And the risk posed by Benzene is many,  
7 many orders of magnitude below the levels that could  
8 cause health effects. I believe it may be true and we'll  
9 check here that the odour threshold may be above that  
10 level. But the level that we're predicting from all of  
11 our worse case activities is far, far below both levels.

12 DR. ARGO: As a carcinogen, Benzene is --  
13 has no minimum concentration and Benzene is a systemic  
14 toxicant at any concentration.

15 MS. MACLELLAN: I'll just sum up ---

16 THE CHAIRPERSON: You have additional  
17 questions?

18 MS. MACLELLAN: I'll just sum up a couple  
19 of more questions. Then I'll turn it over to Dr. Argo.  
20 You said that the incinerator -- they said the  
21 incinerator that was going to be there was a temporary  
22 one. Previously at a coffee party meeting, it was stated  
23 by Tar Ponds Agency that the highest temperature to be  
24 achieved in the incineration was 1,000 degrees Celsius.  
25 Correct?

1 MR. GILLIS: I certainly can't speak to  
2 that. I don't know who was at ---

3 THE CHAIRPERSON: Would you like to pose  
4 your question relating to this subject?

5 MS. MACLELLAN: Who did the presentation  
6 was Mr. Kaiser and Mr. Donham. At that time, I asked  
7 the question and they told me it would be 1,000 degrees  
8 Celsius. Has that changed?

9 MR. GILLIS: I'll ask Mr. Kaiser to  
10 respond to that.

11 MR. KAISER: Madam Chair, I'm not certain  
12 it's appropriate that I respond to what may or may not  
13 have been stated in the past.

14 But certainly what I could say is that any  
15 incinerator that would be brought in and commissioned  
16 here to deal with the sediments that we have to deal with  
17 would comply with whatever regulatory requirements are  
18 posed. And we would certainly seek guidance from the  
19 regulators in terms of minimum or maximum temperatures or  
20 any other operating parameters.

21 THE CHAIRPERSON: What is contained in the  
22 -- could you remind me what have you, in fact, indicated  
23 in EIS as your predicted operating temperatures.

24 MR. KAISER: We expect that there will be  
25 components of the incinerator that will operate at or

1 around 1,000 degrees Celsius. There are other components  
2 that will operate at other temperatures.

3 MS. MACLELLAN: Is 1,000 degrees the  
4 highest temperature it will operate?

5 THE CHAIRPERSON: I get the sense that you  
6 have a string of questions on this. I think it could be  
7 quite helpful if you could get to your -- to the --  
8 rather than ---

9 MS. MACLELLAN: Well, I'm just going to  
10 sum up to say that you can't burn PCB's safely at 1,000  
11 degrees Celsius. That's not kosher.

12 But I'm also going to sum up and turn it  
13 over to Dr. Argo now by saying, as I sat through the  
14 hearings in the last two days or Saturday and Monday, all  
15 I get -- heard from Tar Ponds Agency and their experts  
16 were, "We assume so," or "We do not believe." To me this  
17 is not reassuring. I am appalled to think that we are  
18 paying people to come here when they are not fully  
19 prepared to give us the answers.

20 I have lots of questions but I will turn  
21 it over to Dr. Argo because I only have one more question  
22 for them. What do I tell my grandchildren when this  
23 fails and they have to dig it up again?

24 THE CHAIRPERSON: Thank you. I just want  
25 to note that you have about five minutes left within this

1 round. And there will be another opportunity.

2 --- QUESTIONED BY DR. JIM ARGO

3 DR. ARGO: Thank you, Madam Chair.

4 My name is Jim Argo. I'm -- work out of  
5 Wolf Island in Ontario. I propose medical -- I study  
6 medical geography which is the study of how your present  
7 day health is affected by where you have lived.

8 I built a system for Health Canada under  
9 the Green Plan that enabled us to study this. Now this  
10 is a question to Mr. Potter. I have a whole bunch of  
11 questions and perhaps they -- I structured it slightly  
12 differently and if it doesn't work out exactly, please  
13 tell me that I'm not doing -- tell me and I'll try to  
14 make it better.

15 But this is a question for Mr. Potter who  
16 told us yesterday he knows where everything is on the  
17 site after all his inspections across the site. So I'm  
18 asking Mr. Potter how deep are the infrastructure drains  
19 across the Coke Ovens? Where are they, how many do you  
20 know of, are they still operating, what are they  
21 draining? And a sub-question would be, do you know of  
22 anything buried in relatively local locations on the Coke  
23 Oven sites, essentially dumps.

24 THE CHAIRPERSON: Yes, Mr. Potter.

25 MR. POTTER: Madame Chair, I don't

1 actually recall that being a statement that I can recall  
2 stating yesterday. Now, we can check the transcripts --  
3 it doesn't matter -- but I do recall Mr. Kaiser did speak  
4 to the Coke Ovens, I think, at one point, and he'll  
5 address that response.

6 MR. KAISER: Thank you. Yes, we did speak  
7 previously about infrastructure, buried infrastructure at  
8 the site. We know that after many many many years of  
9 industrial activity on the Coke Ovens site, there is a  
10 lot of buried infrastructure on that site. There are a  
11 lot of drains. Some of them are relatively deep. They  
12 of course drain many things. They have been determined  
13 to be located through site assessment and  
14 characterization work that we have conducted in the past.  
15 We have used geophysical as well as actual test pitting  
16 and other means to determine where particular  
17 infrastructure is located. And we do know both  
18 anecdotally as well as through some of our site  
19 characterization work that there are buried both  
20 facilities and contaminants on the site.

21 DR. ARGO: Thank you, Mr. Kaiser. May I  
22 have a follow-up? The proposal -- I've looked through  
23 the entire EIS and I can find no indication that there is  
24 -- that you are intending to remove those drains. All I  
25 can see is that there are two drains, one coming from the

1 Ashby side and one coming from the Whitney Pier side  
2 toward -- and I'm wondering if you are -- it sounds to me  
3 like you're intending to leave them there. And if you're  
4 going to leave them there, will they not provide a  
5 pathway at the very least for anything that has -- that  
6 escapes and gets around all of your collecting systems?

7 MR. KAISER: The approach is two-fold.  
8 The work that Mr. Potter mentioned just earlier that the  
9 Coke Oven Brook Realignment Project has restarted today.  
10 The Coke Oven Brook Realignment Project is -- it's being  
11 conducted so that we can pick up the flows from both the  
12 Ashby side and the Whitney Pier side, take that water  
13 before it enters the site, and divert it around the site.  
14 In conjunction with that, the barrier walls that we spent  
15 some time discussing yesterday in conjunction with the  
16 pump-and-treat system will pick up any -- any flows that  
17 would emanate from the existing infrastructure on the  
18 site, collect that entry to appropriate levels prior to  
19 discharge.

20 THE CHAIRPERSON: I'm afraid the 20  
21 minutes of the first round is up, but I will ask a  
22 question of clarification there following on Dr. Argo's  
23 question. So what you're saying is those items will not  
24 necessarily be removed but your approach is to divert the  
25 ground water away from that infrastructure.

1 MR. KAISER: It's, I guess, a little bit  
2 less than simple. Predominantly the infrastructure will  
3 not be removed, but as we conduct some of our activities  
4 on the site and encounter some infrastructure, that  
5 infrastructure would be removed.

6 THE CHAIRPERSON: I'd like to thank you  
7 very much for your questions, and if you've got more  
8 questions relating to that topic, if you can hold onto  
9 them and come back. And I thank you very much. Our next  
10 questioner is the Grand Lake Road residents.

11 --- QUESTIONED BY GRAND LAKE ROAD RESIDENTS

12 MR. MARMON: Good afternoon, Madame Chair.  
13 My name is Ron Marmon, and I have with me Henry  
14 Lelandais, and we are representatives of the Grand Lake  
15 Road Residents.

16 Yesterday one of the questions Dr. Charles  
17 asked was about the site location in response to why VJ  
18 scored higher than Phalen, and I believe Mr. Duncan  
19 replied that the cumulative affects of choosing the  
20 Phalen site over VJ site would be higher. In a previous  
21 reply to PC05-2, it is stated:

22 "From a cumulative air quality affects  
23 perspective, the VJ site therefore may  
24 seem less suitable than the Phalen site.  
25 However, this larger scale issue must take

1                   into consideration that the transport  
2                   between the VJ site and the Tar Ponds and  
3                   Coke Ovens sites would be more efficient  
4                   due to the shorter distance. This is  
5                   considered to compensate for any potential  
6                   higher cumulative affects that might be  
7                   experienced around the VJ site."

8                   And my question is what else can we expect  
9                   to accumulate travelling a few more kilometres to another  
10                  site. I assume that no material would be following along  
11                  the transport route, so isn't the cumulative affects of  
12                  air pollution the most important item to be addressed?

13                  MR. GILLIS: I'll ask Mr. Duncan to speak  
14                  to this in a moment, but the key -- the key thing about  
15                  the siting exercise, the siting exercise is a preliminary  
16                  exercise. The site underwent -- both sites underwent a  
17                  full health risk assessment, and that's really the focus  
18                  point of the exercise. So I'll ask Mr. Duncan to  
19                  comment.

20                  MR. DUNCAN: Thank you, Mr. Gillis. The  
21                  discussion yesterday Mr. Charles posed was in relation to  
22                  cumulative affects associated between the operation  
23                  either on VJ and Phalen as it relates to the on-site  
24                  activities in terms of overlaps. What we found and what  
25                  the response was trying to portray was the fact that

1           there would be a perception that because the site of VJ  
2           is closer to the on-site facilities and the on-site  
3           activities, that there would be a perceived overlap and a  
4           perceived increase in cumulative affects, but when in  
5           reality we have -- when we have looked at those type of  
6           things from a quantitative perspective, there is no  
7           overlap from an air emissions perspective between the on-  
8           site activities that are taking place as well as the  
9           incinerator operations at both sites.

10                   MR. MARMON:  So in other words, you're  
11           saying that both sites are suitable from an air quality  
12           point of view?

13                   MR. DUNCAN:  We've evaluated both sites,  
14           both from air quality modelling as well as Human Health  
15           Risk Assessment and Ecological Risk Assessment.  Both  
16           sites are acceptable from that perspective.

17                   MR. MARMON:  Okay.  I do understand that  
18           there was a process involved in choosing the sites, but  
19           at the first meeting where we were asked to look at a  
20           report and the different site locations and what criteria  
21           were used to establish which was the most preferential  
22           site -- at that first meeting, we pointed out that there  
23           were several items that we didn't agree with in the site  
24           location criteria, that we felt that Grand Lake should  
25           not have been the preferred site because there are

1 several items there that we questioned. And this is no  
2 way to indicate that the community of Grand Lake would  
3 like to see this incinerator in their area or anyone  
4 else's area. We just want some clarification on how we  
5 were -- the neighbourhood that was beside the pond would  
6 entertain this incinerator. But on the site location  
7 itself, there was a question asked yesterday on the  
8 Phalen site -- and again I believe it was Mr. Duncan that  
9 replied -- and the question was whether there would be  
10 any problem with underground shafts, and Mr. Duncan  
11 replied that there could be a problem at the Phalen site.  
12 But I believe this item was addressed in Appendix "B",  
13 page 9 of the December of 2004 AMEC project description,  
14 and were talking about Tab 2-3, and that is the Level 2  
15 Potential Candidate Site Evaluation Table. And there is  
16 a criteria item No. 2, Section "J", that describes areas  
17 above an active or inactive shaft or a tunnelled mine or  
18 other areas of potential substance. And in this area,  
19 Phalen scores a four, which is listed as moderate  
20 potential. Is there any new information that would cause  
21 this area to be a problem now and score higher in that  
22 regard?

23 MR. GILLIS: If you'd just give us a  
24 moment to look that particular reference up, we can get  
25 right back to you.

1 MR. MARMON: Okay.

2 MR. DUNCAN: Yes, thank you. There was a  
3 reference to some screening criteria that were used as a  
4 potential restriction or limitation about siting these  
5 facilities in relation to underground infrastructure as  
6 it relates primarily to mining infrastructure. That was  
7 one of the screening criteria that we evaluated all the  
8 sites against.

9 Phalen, there was some potential there.  
10 Again, this was at a desktop preliminary screening level,  
11 and one of the things we would need to do at any of the  
12 sites that are chosen is to do a full geo-technical  
13 evaluation of the site prior to installation of an  
14 operating mobile incinerator facility.

15 So that would be one of the things that we  
16 would need to look at prior to commissioning an  
17 incinerator at a facility to ensure that the geo-  
18 technical aspects associated with any potential  
19 underground infrastructure are fully evaluated.

20 MR. MARMON: Keeping in mind that a lot of  
21 the pits in the Cape Breton area are bootleg pits that  
22 DEVCO has no knowledge of, will there be any testing done  
23 at the VJ site to determine if there has been any  
24 activity in that area on an illegal basis, because I  
25 understand there was a coal seam in that area that was

1 hit when the former DEVCO operation dug across the road  
2 to the Lingan area to install a settling pond.

3 MR. DUNCAN: Yes. We just -- I'll  
4 confirm, Mr. Potter, as you're more aware than I am,  
5 there are no -- there was no commercial mining of coal at  
6 the VJ site, but as you pointed out, there is always a  
7 potential for some of these coal seams to have undergone  
8 some bootleg mining or excavation activities. Certainly  
9 at the VJ site, it's fairly well documented and has been  
10 evaluated from a baseline perspective by both Public  
11 Works and Devco.

12 The site we're evaluating or is currently  
13 being considered for the siting -- the specific siting of  
14 the incinerator is an area that has, as you're aware,  
15 those large asphalt pads and has -- had got some  
16 infrastructure associated with drainage control. But as  
17 I indicated, prior to -- even on this site, prior to  
18 commissioning an operating a facility there, there would  
19 have to be some additional baseline geo-technical  
20 information gathered just to ensure that the situation  
21 that you've described for bootlegging of small coal seams  
22 does not occur or would not impact the operation of the  
23 facility.

24 MR. MARMON: You mentioned infrastructure  
25 relating to water control in that area, I believe. You

1 just mentioned that just now.

2 MR. DUNCAN: Yes, I did.

3 MR. MARMON: As I understand it, Devco had  
4 very severe flooding problems in that area. Isn't one of  
5 the criteria for setting up an incinerator that the site  
6 be not in an area that has flooding problems?

7 MR. DUNCAN: Flooding situations are --  
8 there's two issues that relate to criteria associated  
9 with the siting of any infrastructure. One is how does  
10 it relate to the natural environment, what potential  
11 materials could be washed into adjacent water courses,  
12 wetlands. The second one is one the specific operation  
13 of the facility as well -- how would that interfere with  
14 the operation.

15 The site at Victoria Junction was  
16 evaluated. There was a flood study conducted. We looked  
17 at elevations for that site. We looked at potential  
18 flooding based on 100-year storm events, and found that  
19 the areas that we're considering for siting an  
20 incinerator are well outside those areas where flooding  
21 has historically occurred or could potentially occur.

22 MR. MARMON: Do you have a history of the  
23 problems with beavers damming the brook in that area and  
24 the total area flooding? Was that mentioned to you at  
25 all?

1 MR. DUNCAN: Sorry, I'm going to have to  
2 get you to repeat your question. Mr. Gillis was talking  
3 in my ear.

4 MR. MARMON: Oh okay, I'm sorry. Are you  
5 aware of the history of that area of flooding because of  
6 the problems with beavers damming the brook in that  
7 specific area and what problems were associated with that  
8 in the past?

9 MR. DUNCAN: We have anecdotal information  
10 about potential impacts to water courses related to  
11 beaver activity and potential flooding scenarios, yes.

12 MR. MARMON: So you are aware there was a  
13 flooding because of beaver dams in the area.

14 MR. DUNCAN: Yes, I am.

15 MR. MARMON: Okay. I have one more  
16 question before I turn it over to Mr. Lelandais.  
17 Yesterday it was mentioned that there were no plans to  
18 test the fly ash before shipping back to the Tar Ponds  
19 site by truck. Isn't it true that ash from a PCB  
20 incinerator is considered toxic, and before it can be  
21 transported on public highways, it would have to be  
22 analyzed before a permit could be issued? Also, would  
23 each ash load contain the same type of heavy metals or  
24 would each load have to be analyzed?

25 It seems to me that if all your containers

1 are going back to -- that you've hauled the material to  
2 the site with for incineration are going back to the Tar  
3 Ponds site empty, why would you not just put your ash in  
4 one of those containers and send it back? Why do you  
5 have to truck it?

6 MR. GILLIS: I'd ask Don Shosky to answer  
7 this question, please.

8 MR. SHOSKY: The material that you're  
9 talking about is the fly ash from the air pollution  
10 control equipment, the bag house. Correct?

11 MR. MARMON: Correct.

12 MR. SHOSKY: And it's understood that the  
13 bottom ash that showed up in different responses is  
14 really the clean-treated soil. The fly ash material  
15 should be approximately one percent of the volume of  
16 material generated, so it's a very small volume. Because  
17 of the way that the air emission control equipment works,  
18 there is a final heating process before it goes into the  
19 bag house, which destroys the PCBs that would have made  
20 it to the bag house. It is true that one can speculate  
21 that there may be heavy metals there. The PCBs should  
22 not be an issue but that will be tested for. The metals  
23 themselves would need to be confirmed as to what the  
24 actual concentrations of those metals are and would be  
25 looked at prior to disposal. But the key criteria for

1 disposal back into the Tar Ponds is the concentrations of  
2 PCBs.

3 MR. MARMON: But we are concerned with the  
4 heavy metals that could be in that fly ash which must  
5 also be considered as toxic. And you're saying it will  
6 be tested before it is introduced back into the Tar Ponds  
7 site, but it will not be tested before it's -- before  
8 it's transported on a public highway?

9 MR. SHOSKY: Well the testing process  
10 would mean that we would test it before it went on the  
11 highway. And if it turned out to be within the  
12 guidelines of Canada for special placarding or handling,  
13 it would have to be handled that way.

14 MR. MARMON: I'll turn it over to Henry  
15 now.

16 MR. LELANDAIS: Good afternoon, Madame  
17 Chair. My name is Henry Lelandais. I'm a retired  
18 metallurgist with Sydney Steel and the former  
19 metallurgical consultant. Most of the questions have  
20 been answered during the earlier part of the afternoon  
21 that I had in mind. As we will be making a presentation  
22 ourselves on the -- next Monday, I believe, several of  
23 the questions will -- I'll put them off until that time.

24 At present, I just have two main questions  
25 to carry on with what Ron started with here. One is on

1 the site location. It states in the category "B" of the  
2 Level 1 Site Selection Criteria that the water sheds and  
3 water supply areas will not be considered as a site, and  
4 therefore, the VJ site, I contend should be eliminated on  
5 those grounds, since it is positioned actually within the  
6 provincial drainage basin listed as IF-19 in part of the  
7 Bridgeport Basin water shed.

8 Can I get an answer from the Chair's as to  
9 how come the site was selected anyway after having due  
10 notice that it is a watershed area and using the  
11 watershed as a criteria for eliminating a site?

12 MR. GILLIS: Thank you. If you could just  
13 give us a moment to find that specific reference, we'd  
14 appreciate it.

15 MR. LELANDAIS: Section 5.6.2 on page SAR-  
16 580 under the Surface Water Resources, Section 3(g).

17 MR. DUNCAN: Madame Chair, my apologies, I  
18 was looking at the wrong document. I wonder if I could  
19 just have the page reference again. I suspect that we're  
20 referring to the EIS.

21 MR. LELANDAIS: The Level White Site  
22 Section Criteria. It's listed here as Category 3(b), and  
23 Section 5.6.2, 5.6.2 on page 580 under Surface Water  
24 Resources. Section 3(g) refers to where the surface does  
25 not have suitable characteristics. Table 2.1 might be

1 another reference there.

2 MR. DUNCAN: I have five -- page 580 here  
3 that speaks to the environmental setting related to the  
4 project and project-related boundaries, and there are --  
5 this is a reference to the surface water resources as  
6 described for the general area. And I'm having -- I'm  
7 having trouble, I guess, remembering the specific  
8 question you had about that reference.

9 MR. LELANDAIS: The question is that why  
10 was the site selected for the incineration in spite of  
11 the fact that it is considered a watershed -- part of the  
12 Bridgeport Basin watershed, and its position within the  
13 provincial drainage basin area listed as IFJ-9 in the --  
14 part of the Bridgeport Basin watershed destinations, when  
15 your -- your criteria for selecting sites specified that  
16 watersheds will not be considered.

17 THE CHAIRPERSON: Just for my purposes,  
18 this -- you're saying that the VJ site falls within the  
19 watershed of a public water supply?

20 MR. LELANDAIS: Of the Bridgeport Basin  
21 drainage area in general. It's listed as a watershed and  
22 ---

23 THE CHAIRPERSON: As a watershed that is a  
24 public water supply?

25 MR. LELANDAIS: Well, Kilkenny Lake is a

1 public -- part of the public water supply of New  
2 Waterford, and it is within a close proximity to the VJ  
3 site.

4 THE CHAIRPERSON: Um-hmm. Thank you.

5 MR. DUNCAN: Yes. As you indicated, most  
6 rivers, lakes and everything are -- do -- are part of the  
7 watershed. One of the criteria that we evaluated the  
8 very -- the multiple candidate sites against was are  
9 these protected watersheds, are there restrictions in  
10 terms of development around these watersheds.

11 We obtained information for the Department  
12 of Environment and Labour, from the provincial agencies,  
13 related to protections of watersheds, and there are --  
14 there are specific watersheds that have buffer zones  
15 around them that do provide specific setback distances  
16 for development or any type of facility. We used that as  
17 part of our selection for candidate sites for the  
18 incinerator site. Victoria Junction was -- the site  
19 there was outside any of those protection measures  
20 dictated by the Province of Nova Scotia.

21 MR. LELANDAIS: Thank you. My other  
22 question refers to the criteria choices of incinerator  
23 sites again. And where you state that a site must not  
24 have -- or must not have a residence located within 500  
25 metres of the property boundary, I assume that it's the

1 boundary of the property, not necessary the center  
2 location of the incinerator proper. But that is not too  
3 important. My main concern here is that the CCME  
4 Guidelines guaranteed the community during the JAG  
5 deliberations that no homes should be within 1,500 metres  
6 of the incineration facility, which is a thousand metres  
7 different to what the criteria that you are using. How  
8 can you reconcile the fact that you're going contrary to  
9 the CCME Guidelines guaranteeing that distance from a  
10 residence?

11 MR. GILLIS: CCME siting criteria are  
12 high-level siting criteria and they are protective in the  
13 event that you don't have a whole lot of information. So  
14 they're highly protective of the situation. In the  
15 application of the CCME criteria and the CCME approach to  
16 the siting criteria, you can look down and continue to do  
17 more extensive investigations as you increase the level  
18 of information that you have, and that's why, for  
19 example, the Human Health Assessment was conducted for  
20 the appropriate sites that we identified as possible  
21 here. And the Human Health Assessment indicated that the  
22 work that would be conducted in the incinerator location  
23 and the operation was indeed health protective and met  
24 all the requirements to show that it was health  
25 protective.

1                   MR. LELANDAIS: I don't feel that answers  
2 my question. My question was that the CCME Guidelines  
3 guaranteed the community that no homes would be within  
4 the 1,500 metres of the incineration facility. Now, the  
5 present site location shows in the Victoria Junction.  
6 There's 17 homes that are within the 15,000 metres, plus  
7 a dairy farm that's about 500 metres away, and I just  
8 can't reconcile the fact that you're going against your  
9 own criteria by selecting that site.

10                   THE CHAIRPERSON: That is the end of the  
11 20 minutes. I'm just going to finish off with a -- for  
12 my own purposes -- a question of clarification relating  
13 to what you're asking, and you're welcome to come back  
14 for a second round. You may wish to pick up on this.

15                   But the clarification is was there at some  
16 point some indication to the community that the CCME  
17 Guidelines would in fact be used?

18                   MR. GILLIS: I'll ask Mr. Potter to  
19 address that.

20                   MR. POTTER: Thank you, Madame Chair. We  
21 were going to address that point. I believe Mr. -- the  
22 witness indicated that there was a prior commitment  
23 through the JAG process to follow this 1,500-metre  
24 criteria. I can say with great certainty that we  
25 repeatedly indicated that with the construction or

1 placement and installation of the incinerator, the Chair,  
2 STPA, would follow all applicable guidelines that the  
3 regulators required us to follow. We do not feel that  
4 guideline necessarily does apply to this situation at  
5 hand with our situation, our project, but we did commit  
6 to following all the requirements that the regulators  
7 would require us to follow with the construction and  
8 installation of that facility.

9 THE CHAIRPERSON: But the Agency did -- it  
10 was a JAG recommendation the Agency did follow through  
11 with -- agreed with following the CCME approach to the  
12 remediation of the contaminated sites, a phased approach.  
13 So the CCME siting guidelines didn't come along with that  
14 package approach of dealing with this problem?

15 MR. POTTER: That's correct. We committed  
16 to the CCME approach for the remediation. The CCME  
17 document in question was a 1992 document which is  
18 currently under review by Environment Canada. Our  
19 commitment again is that we will -- at the time of the  
20 necessary permitting stage, we will follow all the  
21 necessary regulatory requirements that the regulators  
22 place upon us. We don't feel that one at this present  
23 time is applicable. We have not committed to it. The  
24 commitment we have is that we will follow all the  
25 necessary regulations and stipulations that the

1 regulators place on us at the time of the permitting for  
2 the facility.

3 THE CHAIRPERSON: Thank you very much, Mr.  
4 Marmon and Mr. Lelandais. Is it -- do you think you're  
5 going to wish to come back for a second round of  
6 questions?

7 MR. LELANDAIS: I think the more questions  
8 we ask, the more questions we have. So yes, we probably  
9 will be back for another round of questions.

10 THE CHAIRPERSON: I take that as a yes.  
11 I'm going to ask Sierra Club to come forward, and after  
12 their 20 minutes, we will take a break.

13 --- SIERRA CLUB OF CANADA

14 MS. MAY: Good afternoon. My name is  
15 Elizabeth May. I'm here on behalf of Sierra Club of  
16 Canada and our local Cape Breton group. I'd like to  
17 start by thanking the Panel for being here collectively  
18 and personally and for your diligence and concern and  
19 commitment to a full and impartial review of this  
20 project. As you can see, it's not going to be easy.

21 I would start with a couple of questions  
22 that follow up from yesterday. And the first question is  
23 a follow-up from your question, Madame Chair, you had put  
24 to the Panel. I believe you asked about the Goose Bay  
25 incinerator, and I don't believe I heard an answer. And

1 I believe you put to the STPA Panel, relating to the  
2 Goose Bay incinerator, "Was that a successful operation?"  
3 I don't think we got an answer. You can decide you don't  
4 care about the answer, but I'm still interested.

5 MR. GILLIS: I don't recall we supplied an  
6 answer to that question. I think we took an undertaking  
7 that we would look up performance of some additional  
8 information, as I recall.

9 THE CHAIRPERSON: Now, you've stumped me  
10 there. I can't remember, but we will check and find out.  
11 Yes, I'm getting a nob that that was an undertaking.

12 MS. MAY: So can we just clarify that  
13 undertaking, because as my notes recorded it, the  
14 undertaking wasn't specific to the characterization of  
15 Goose Bay as a successful operation. If that can be part  
16 of the undertaking, then we're fine.

17 Yesterday there was a question ---

18 MR. GILLIS: Excuse me, if I may. We'll  
19 get the information related to the operation at Goose  
20 Bay. And I think that was the undertaking. Is that  
21 right? Okay.

22 THE CHAIRPERSON: You're saying that that  
23 is going to be -- you're going to take that. Whether --  
24 I don't have the original undertaking in front of me, but  
25 whether or not it's there, you will undertake to provide

1 information about the performance of the Goose Bay  
2 incinerator?

3 MR. GILLIS: We will. I guess my concern  
4 here is the adjudication -- the use of the term,  
5 "successful," and it's -- we'll bring back the  
6 information as best we can.

7 THE CHAIRPERSON: Yes. Thank you.

8 MS. MAY: I was -- I'm grateful, Madame  
9 Chair, that -- I think from my notes, that was how you  
10 put the question, but it moved on, and I think the  
11 undertaking related to a subsequent question. But as  
12 long as we're aware of that, we can look for it in the  
13 undertaking.

14 A second question relates to -- and this  
15 is a question to Dr. Magee if he's ready for -- I want to  
16 follow up on one that Dean Charles -- I'm sorry, Mr.  
17 Charles put to Dr. Magee on the Health Risk Assessment  
18 and looking at the question of the modelling in the risk  
19 assessment of the toddler, the fisher toddler, the farmer  
20 toddler, and I believe the premise to Mr. Charles'  
21 question was that the community -- this is a community  
22 with health problems. The question as my notes reflected  
23 it was would that protect adults with health problems.  
24 And the response I have recorded is from Dr. Magee, "Yes,  
25 absolutely." So my question is, through the Chair, can

1           you describe how the risk assessment modelled for adults  
2           with various illnesses and which illnesses were included  
3           in that modelling.

4                       MR. GILLIS: I'd ask Dr. Magee to address  
5           the issue. As I understand it, you're talking -- you're  
6           asking about the sensitivity to modelling with respect to  
7           conditions of disease and the recipients. Is that  
8           correct?

9                       MS. MAY: I think it was clear. The  
10          question was put to Dr. Magee yesterday from Panel Member  
11          Mr. Charles whether the risk assessment included  
12          community health problems. And the quote was, "Would  
13          that protect adults with health problems?" Dr. Magee's  
14          response was, quote, "Yes, absolutely." I would like to  
15          have some information on what diseases were modelled and  
16          how that risk assessment modelling of vulnerable adults  
17          who already are suffering from disease -- how that was  
18          undertaken and if it's publicly available.

19                      MR. GILLIS: Thank you very much. I'll  
20          ask Dr. Magee to answer that.

21                      DR. MAGEE: Yes, thank you. First of all,  
22          I'd like to clarify that I personally am not aware that  
23          there are vulnerable adults that are any more vulnerable  
24          in this community than any other. I will take that as a  
25          premise, but I cannot testify to that being the case or

1 not. But what is certainly true is that in the conduct  
2 of Human Health Risk Assessment, the regulatory agencies  
3 that present to us the guidance that we must follow and  
4 that present to us the toxicological reference values  
5 that we must follow are always mindful that their goal is  
6 not to protect an average person in good health, 40 years  
7 old, who eats a good diet and doesn't smoke. The entire  
8 set of rules and regulations that we operate under  
9 assumes that we have to protect the most sensitive  
10 individual.

11 So for instance, when the toxicological  
12 reference value for cancer effects is defined, the  
13 government agencies look at all the papers, both human  
14 and animal-oriented studies, they take the study that  
15 gives the answer, the response at the lowest possible  
16 dose, they then take that, model it assuming that there  
17 is a straight line linearity at high dose to low dose,  
18 i.e., they assume that there is no protective effect at  
19 low doses, that there's a risk even at the lowest  
20 possible dose of one atom or one molecule, they then  
21 construct a dose response curve, and they don't even stop  
22 there. Then they take the upper 95th confidence interval  
23 on the data and present that number to us. So that  
24 number is so protective that it is designed to protect  
25 the most sensitive individual in any population. That's

1 for cancer.

2 For non-cancer, they take all the studies,  
3 find the study that has the effect at the lowest possible  
4 dose, they say that is the effect level, then they divide  
5 by 10 and say, "Let's be more protective. Let's get to a  
6 no-effect level." Then they divide by 10 to say maybe  
7 the animals are less sensitive than average humans, and  
8 then they divide by 10 another time to say maybe there  
9 are people in the population that are more sensitive than  
10 an average human.

11 So the entire process is designed from the  
12 get-go to be protective of people who are vulnerable, who  
13 have kidney disease, who are elderly, they're on  
14 medications, what have you, following the government  
15 procedures. And that's how they design the risk  
16 assessment process.

17 MS. MAY: In other words, this was a  
18 standard risk assessment. There were no special  
19 additional parameters for people with illness within this  
20 community. I'm just checking.

21 DR. MAGEE: It was standard in the regard  
22 that I just presented, and it was nonstandard in that we  
23 over-estimated the exposures by a considerable degree.  
24 As we've talked about already, we assumed that the  
25 incinerator would operate for 365 days a year for five

1 years. That's about double what it's really going to  
2 operate. We assumed that people live in the most highly  
3 affected location and they eat -- I just calculated this.  
4 The toddler in the community eats six percent of their  
5 body weight every day from food grown at a location that  
6 is the most high-affected location. The adult doesn't  
7 eat quite that much, but they eat one percent of their  
8 total body weight every day from food that we are  
9 pretending they grow at that location -- all of their  
10 beef, all of their dairy, all of their pork, all of their  
11 eggs. If that is not conservative, I don't know what is,  
12 Madame Chair.

13 MS. MAY: Thank you. Following up on a  
14 question yesterday in response to Mr. Charles, Mr. Gillis  
15 described the evaluation of the Phalen Mine as, quote,  
16 unquote, "pretty stringent." At page 577 of Volume 1,  
17 the EIS states that there was little to no hydrology  
18 undertaken at the Phalen Mine by way of studies. I'm  
19 wonder if subsequent to the EIS report, there was more  
20 work done on hydro-geology at Phalen Mine. And if so, if  
21 it could be publicly available.

22 MR. GILLIS: We did not collect any  
23 additional information at the Phalen Mine site.

24 MS. MAY: I'll repress the -- I will  
25 repress the second question about how you understand the

1 term, "stringent," but I'll go on to Question 4. In  
2 response to a question from Mr. LaPierre about the  
3 treated water released, that it would meet criteria, I  
4 believe from the Department of Fisheries and Oceans --  
5 Madame Chair, if you could ask them to confirm which DFO  
6 criteria are being used, if it relates to acute lethality  
7 or to some other indicator for relief to aquatic  
8 ecosystems.

9 MR. GILLIS: Could you please clarify the  
10 question for us? Thank you.

11 MS. MAY: Yesterday one of your witnesses  
12 -- and I'm afraid in the back from where I'm able to plug  
13 in my laptop, I'm not sure which one -- responding to Mr.  
14 LaPierre from the Panel, confirmed that any treated water  
15 released would meet Fisheries criteria. I would like to  
16 pursue which DFO Fisheries criteria you are referring to  
17 and if they are the DFO criteria that relate to avoiding  
18 acute lethality or to some other action level.

19 DR. STEPHENSON: Sorry for the break  
20 there. I guess the first criterion certainly is the  
21 Fisheries Act, which deals with non-lethality, but the  
22 project also references CCME Guidelines and values --  
23 SSTL values, which is site specific threshold limits,  
24 that were calculated to be protective of fish and fish  
25 habitat through the JDAC evaluation of Coke Ovens Brook

1 and the Coke Ovens site in about 2002. So some  
2 combination of those. Clearly anytime you operate a  
3 facility like a water treatment plant, it goes through a  
4 licensing process, and in that process, with the  
5 regulators, you establish the specific targets that will  
6 be required -- that the plant will be required to meet.  
7 Given the level of development of the project right now,  
8 we know that treating this water is technically feasible.  
9 Questions of the specific targets that the treatment  
10 plant will have to meet would be essentially a matter for  
11 licensing with the provincial and federal authorities at  
12 the time.

13 MS. MAY: Thank you. Yesterday -- and  
14 moving on to another point -- Dr. Magee said that worst  
15 case scenarios were used in assessing the circumstances  
16 for all the risk assessments. And the question is that  
17 in the EIS, the remediation of the tar cell within the  
18 Coke Ovens was assumed for purposes of the risk  
19 assessment to be within a fully enclosed structure with  
20 negative pressure to contain any volatile emissions. I  
21 would like to ask if they also ran a risk assessment on  
22 remediation of the tar cell that proceeded without any  
23 structure or based on real life here in Sydney where the  
24 structure and air system that failed, as in the  
25 experience with the attempted clean-up of the Domtar

1 tank.

2 MR. GILLIS: I'll ask Dr. Magee to answer  
3 that question, please.

4 DR. MAGEE: When we started the risk  
5 assessment process, we asked about what the various  
6 elements of the project were, and we were told very early  
7 in the process that the agency had made a commitment to  
8 construct an enclosed structure with an air pollution  
9 control system. I was told that that system would  
10 operate at 99 percent efficiency at removing volatile  
11 components from the air, but I chose to take a health  
12 protective assumption and assumed slightly less  
13 efficiency, and therefore the 90 percent was set by me.  
14 So we can -- we can ask the engineers whether they're  
15 going to in fact get 99 percent efficiency or not, but 90  
16 certainly is fairly easy to achieve. Thank you very  
17 much.

18 MR. GILLIS: I would ask Frank Potter to  
19 comment on the experience of the Domtar tank.

20 MR. POTTER: Yes. I just wanted to  
21 indicate that the Domtar tank was successfully completed  
22 and removed. It was not attempted. Thank you.

23 MS. MAY: In the Domtar tank experience,  
24 perhaps now that we're onto that, perhaps the Panel might  
25 be interested to know what happened with exceedances with

1 the failure to replace the charcoal filters at the  
2 enclosed structure and the exceedances of naphthalene  
3 that were experienced in the community.

4 MR. POTTER: There were a number of  
5 shutdowns on the Domtar tank. As per our protocol and as  
6 our procedures had outlined, there were criteria we had  
7 to meet. There was an instance when the charcoal became  
8 expended and had to be replaced or replenished. The  
9 project was shut down, the charcoal was replaced. There  
10 was some upgrading of some exhaust fans at the same time,  
11 and the project proceeded to completion.

12 THE CHAIRPERSON: For my clarification,  
13 this is -- this is a system of enclosures that is similar  
14 to the one proposed for the tar cell?

15 MR. POTTER: That's a good question. The  
16 tar cell is simply an excavation activity. The Domtar  
17 tank had coal tar material in it. The nature of the  
18 material was that it sat there since -- I think somewhere  
19 in the mid to late '50s -- and had to be heated  
20 significantly to get it mobile so that it could be  
21 trucked away. The heating of the coal tar in that tank  
22 generated, of course, a higher level of emissions that we  
23 would ever expect for the -- a simple excavation of the  
24 tar cell area. So it's a dramatically different  
25 situation.

1 MS. MAY: Could I ask your question again,  
2 Madame Chair? Will the structures be similar between the  
3 two operations?

4 MR. POTTER: I'll refer that to Mr.  
5 Shosky.

6 MR. SHOSKY: I've been involved with over  
7 10 enclosed structure excavation works across North  
8 America, including sensitive areas like downtown Santa  
9 Barbara, and properly maintained, those systems work  
10 extremely well. I'm not privy to all the information  
11 that happened at the Domtar tank, but properly monitored  
12 and if the proper calculations are done as far as when to  
13 change out carbon, those sorts of incidents should not  
14 occur.

15 In addition to that, there's typically  
16 enough monitoring going on to identify any problem well  
17 before it would become an issue with the community.

18 MS. MAY: Moving along -- I agree with  
19 you, people in Santa Barbara are terribly sensitive, but  
20 we'll move on to the next question, which relates to one  
21 the Chair put.

22 There is an undertaking on this, but if I  
23 could just get a sense of it, it's relating to the  
24 questions yesterday -- and I'm going to ask a slightly  
25 different one -- I don't believe it's covered by the

1           undertaking -- if it is, then we can move on -- about  
2           what you are actually removing in terms of PCB  
3           contaminated material.

4                         We have Figure 2.2-3 of the Environment  
5           Impact Statement. With two specific areas that are being  
6           removed, we know that some level of PCBs will remain.

7                         And my question is how confident are you  
8           that all the PCB areas exceeding 50 parts per million  
9           have been identified and are within the two sections that  
10          you have shaded as being targeted for removal to the  
11          incinerator.

12                        MR. GILLIS: We've provided an information  
13          -- in a response to an information request we've provided  
14          this information. If you'll just give us a moment, we'll  
15          look it up.

16                        THE CHAIRPERSON: That would be IR-12, is  
17          that right?

18                        MR. GILLIS: This was the IR that we were  
19          referring to when we undertook to provide additional  
20          information, so I just want to be clear on that, so ---

21                        MS. MAY: Perhaps you misunderstood my  
22          question then.

23                        How confident are you that you have  
24          identified all the PCB areas exceeding 50 parts per  
25          million, that they have been identified and are within

1 the areas you plan to excavate?

2 I don't really think it is but I'll -- if  
3 the Panel believes it is, I'll put it aside.

4 THE CHAIRPERSON: Well, I believe that  
5 there were additional areas over 50 parts per million  
6 that are not within the two main areas, and that  
7 information is included in that IR-12.

8 Your question about how confident, that --  
9 I think we could still get a response to that.

10 MS. MAY: Right.

11 THE CHAIRPERSON: Maybe you need to have  
12 another look at IR-12 and if there's anything that has  
13 not been answered ---

14 MS. MAY: Okay.

15 THE CHAIRPERSON: But in terms of the  
16 confidence question, how confident are you that you have  
17 identified all the areas exceeding 50 parts per million?

18 MR. POTTER: The Tar Ponds have been  
19 extensively sampled and we're very confident we know all  
20 the locations for the PCB levels in the ponds. And as  
21 you indicate, IR-12 does respond to the question.

22 MS. MAY: Okay. Moving on to some  
23 questions relating to the Coke Ovens site.

24 On the first day, on Saturday I believe,  
25 Mr. Potter stated that on the municipal land use planning

1 process, "We are currently engaged with the Municipality  
2 in some initial discussions on not just our property but  
3 the neighbouring properties alongside of us about  
4 potential ideas the Municipality has for land use, for  
5 future land use."

6 The question is, are you -- does this --  
7 this inference, this means you're not following JDAC  
8 recommendations, and I wonder if you can provide the  
9 Panel with your rationale for not following the JDAC  
10 recommendations on this point.

11 THE CHAIRPERSON: Could you clarify for me  
12 the JDAC recommendations?

13 MS. MAY: I will if I can speak to my  
14 expert who wrote this question. Be right back.

15 Madam Chair, with your permission, I'd  
16 like to come back to that. We're pulling it up on a  
17 laptop. We're quite far from plugs at this table, so we  
18 have a little separation anxiety. I'll have it in a  
19 moment.

20 Moving to a question that was originally  
21 put to the Chair in the deficiency statement, we have a  
22 number of questions that we -- for which we did not feel  
23 we had a response. We have searched for them. If  
24 they're there and we missed them, I apologize.

25 One question was we would request a

1 breakdown of funds received for the production of this  
2 Environmental Impact Statement. We don't believe we have  
3 that anywhere. Extended by the collectivity of  
4 consultants who have produced the Environmental Impact  
5 Statement, what was the total cost?

6 MR. POTTER: I'd seek clarification from  
7 the Chair on the relevancy of that question to the  
8 assessment.

9 THE CHAIRPERSON: You're asking for the  
10 total amount spent on the environmental assessment to  
11 date?

12 MS. MAY: Yes.

13 THE CHAIRPERSON: And you're ---

14 MS. MAY: And I'm happy to explain the  
15 relevance.

16 THE CHAIRPERSON: Yes, please do.

17 MS. MAY: Mr. Potter opened this up by  
18 having explained yesterday that in terms of looking at  
19 these technologies it was important to look at all kinds  
20 of other costs that weren't just the technology. So, as  
21 we look at costs, I'd like to know about this one. It's  
22 part of the whole package of costs of the project and  
23 it's not broken down for the public at all.

24 THE CHAIRPERSON: Do you have an objection  
25 or a reason why you are not prepared to provide the total

1 cost spent on the environmental assessment, especially as  
2 it -- in terms of it is one component and you are  
3 undertaking to provide us with a better breakdown of the  
4 project costs, I believe?

5 MR. POTTER: We will come back with some  
6 -- a better breakdown on the project costs, but I fail to  
7 see the relevancy of the breakdown between our various  
8 consulting team costs.

9 THE CHAIRPERSON: I wasn't -- I didn't  
10 believe that that was the request. I believe the request  
11 is simply the total amount spent on the environmental  
12 assessment. Is that ---

13 MS. MAY: I'd be very satisfied with that  
14 answer, Madam Chair.

15 THE CHAIRPERSON: Yes, I believe that's  
16 reasonably relevant to what we're talking about.

17 MS. MAY: Returning to the earlier  
18 question, I'm sorry about the delay in pulling it up on  
19 the laptop here, but it was JDAC Recommendation, Phase 3  
20 ---

21 MR. GILLIS: Excuse me.

22 MS. MAY: I'm sorry?

23 MR. GILLIS: We may have an answer to that  
24 question here if you'd just give us a moment.

25 MS. MAY: Oh?

1 MR. GILLIS: The first one that -- this is  
2 the one relating to the one associated with cost of the  
3 overall environmental assessment. Is that ---

4 THE CHAIRPERSON: You think you can  
5 provide it now? That, in fact, will conclude your 20  
6 minutes.

7 MS. MAY: I'll be back.

8 THE CHAIRPERSON: Or has already  
9 concluded. I imagine you will be, yes, but ---

10 MR. POTTER: The IR did answer that  
11 question previously, IR ---

12 THE CHAIRPERSON: 1?

13 MR. POTTER: --- 1, and it was \$5 million  
14 for the assessment process.

15 THE CHAIRPERSON: Okay. Well, thank you  
16 very much.

17 MS. MAY: Thank you.

18 THE CHAIRPERSON: Thank you. And we are  
19 now going to take -- it is now 10 to 3:00, or almost 10  
20 to 3:00. We will return at 10 past 3:00, a 20-minute  
21 break. So, thank you very much.

22 (25-MINUTE BREAK)

23 THE CHAIRPERSON: We're going to restart  
24 this session. Please take your seats.

25 Before I ask our next questioner to come

1 to the table -- or he's very welcome to come to the table  
2 anyway, it's Mr. Ignasiak from TD Enviro -- I wanted to  
3 indicate to anybody who has arrived after the session  
4 began at 1 o'clock, we have a very -- we have an  
5 organized system of questioning and we're doing it in  
6 rounds.

7 If you are interested in asking questions  
8 of the Chair, I would -- and you have not already done  
9 so, I would ask that you speak with Debbie Hendricksen,  
10 who is standing on my left, and she will add your name to  
11 the list and we will call upon you.

12 I have four additional names that I will  
13 be calling on after Mr. Ignasiak, and as you know, you  
14 have a 20-minute time period to ask your questions and  
15 we're going to try and fit in as many rounds as we can  
16 before 9 o'clock. So, Mr. Ignasiak?

17 --- QUESTIONED BY MR. LES IGNASIAK

18 MR. IGNASIAK: Good afternoon. Thank you  
19 very much. I would like to tell you at the beginning  
20 that my interest in Tar Ponds, particularly in Tar Ponds,  
21 goes back to 1987. Also, I've been -- I have an  
22 experience of about 45 years working on R&D of fossil  
23 fuels, general science and technology of fossil fuels.

24 I worked also for a number of United  
25 States agencies including the United States Department of

1 Energy, and I also had an opportunity to work as the  
2 research director for the United States Electric Power  
3 Research Institute on characterization of the MGP sites  
4 in the United States and also within this program -- and  
5 that was an eight-year program -- within this program we  
6 were working actually on developing methods for  
7 reclamation or remediation of those sites.

8 So, I think I can start now with questions  
9 which I will direct to the Panel, and I will start with  
10 very basic questions. If the Panel will allow me later  
11 on to repeat this round, I will go to more advanced  
12 questions.

13 Before I start those basic questions, I  
14 would like to refer to Elizabeth and to information that  
15 she received about the cost of the environmental  
16 assessment.

17 THE CHAIRPERSON: Mr. Ignasiak, I would  
18 ask you to move directly to your questions, if that's  
19 possible.

20 MR. IGNASIAK: Very good.

21 THE CHAIRPERSON: If you have statements  
22 and information you want to share with us, you will be  
23 making a presentation and we'd be very pleased to hear  
24 about it at that time.

25 MR. IGNASIAK: Okay. Thank you very much.

1 I will move straight to questions. There was -- actually  
2 on last Saturday and yesterday there were questions asked  
3 by Dr. Charles regarding the in-situ moisture content for  
4 the sediment.

5 If my memory doesn't fail -- and generally  
6 it's quite good -- Saturday the answer was 20 to 30  
7 percent and yesterday it was from 30 to about 52 percent.  
8 Is that correct?

9 MR. GILLIS: We'd like to check the  
10 reference that you've quoted there, sir, if you could  
11 give us the reference. Is it in the transcript, is it in  
12 one of the presentations or ---

13 MR. IGNASIAK: Sir, I'm depending on my  
14 memory that Mr. Shosky last Saturday mentioned that the  
15 in-place moisture content is 20 to 30 percent, Dr.  
16 Charles repeated this question, I believe, again and  
17 yesterday he got an answer that it is somewhere between  
18 30 to 52 percent.

19 THE CHAIRPERSON: And your question would  
20 be, which is it?

21 MR. IGNASIAK: My point is that  
22 essentially if you really want to get Dr. Charles numbers  
23 on the subject you really have to go back significantly  
24 to 1996 and the report ---

25 MR. SHOSKY: Madam Chairman, may I answer

1           that I think what his question was originally, which was  
2           the moisture content ---

3                         THE CHAIRPERSON: Well, I would like to  
4           know what the question is. Your question is that you  
5           would like clarity on what the moisture content is?

6                         MR. IGNASIAK: Yes, that's correct.

7                         THE CHAIRPERSON: Yes, please, Mr. Shosky.

8                         MR. SHOSKY: Thank you, Madam Chair. We  
9           have a couple of sets of data. The information that we  
10          collected ranged from 20 to 30 percent and there was some  
11          additional data provided by other people at various times  
12          in assessments that have taken the moisture content up as  
13          high as 40 percent.

14                        So, there is a variation in moisture  
15          content from 20 to approximately 40 percent -- or, I'm  
16          sorry, 50 percent.

17                        MR. IGNASIAK: Can I respond to that?

18                        THE CHAIRPERSON: With a question of  
19          clarification or with ---

20                        MR. IGNASIAK: With clarification.

21                        THE CHAIRPERSON: --- your next question?

22                        MR. IGNASIAK: With clarification, Madam.

23                        THE CHAIRPERSON: I must clarify that  
24          today we are seeking questions from the public and not  
25          statements and not elaborations.

1 MR. IGNASIAK: Okay. Thank you very much.  
2 My next question is also on moisture content but on  
3 moisture content and on air-dried basis.

4 I believe that for any project for any  
5 remediation approach, and specifically here when we are  
6 taking about solidification/stabilization I think we  
7 should really have some information on air-dried moisture  
8 content.

9 I wonder whether the Chair could provide  
10 me with moisture average or perhaps a range of moisture  
11 content for the sediment.

12 THE CHAIRPERSON: At which stage in the  
13 process?

14 MR. IGNASIAK: Air-dried. It means a  
15 sediment which is exposed to air for a period of time to  
16 remove the moisture from the sediment, which is the  
17 primary objective of this ---

18 THE CHAIRPERSON: So, this would be before  
19 transportation to the ---

20 MR. IGNASIAK: That is correct, yes.

21 THE CHAIRPERSON: Yes.

22 MR. GILLIS: So, I'd ask Mr. Shosky to  
23 answer this with respect to the moisture content prior to  
24 transportation following demoiusturization.

25 MR. SHOSKY: Apparently there's still some

1           misunderstandings on exactly what process we're following  
2           here.

3                           I believe over the last three days I've  
4           said that material would first be gravity drained and  
5           then further dried using treated soil from the  
6           incineration process for the material that would go back  
7           up for incineration.

8                           That criteria that needs to be met with  
9           moisture content is what we referred to over the last few  
10          days as the feed stock criteria for efficiently burning  
11          within the thermal unit.

12                          On the stabilization front, the cement  
13          does take a bit of moisture, there will be gravity  
14          draining of water in the in-situ areas where the  
15          excavations will occur with stabilization, allowing that  
16          material to be of a higher moisture content when we add  
17          the cement for it to cure into the monolith.

18                          THE CHAIRPERSON: Mr. Ignasiak, have you  
19          ---

20                          MR. IGNASIAK: Well, I think my question  
21          was very simple. What is roughly the moisture content of  
22          the material that is excavated and deposited on the floor  
23          of the pond?

24                          MR. SHOSKY: Again, we gave a range of  
25          between 20 and 50 percent from the testing data that we

1 have. That's the in-place moisture content when samples  
2 were collected for various analysis with the -- for the  
3 thermal characteristics for the thermal plant and also  
4 for the stabilization.

5 I'm not sure exactly what the doctor is  
6 getting at and I would like some clarification on the  
7 question.

8 THE CHAIRPERSON: I would just like to  
9 point out to any of you who sat there to ask questions  
10 for 20 minutes, you know that 20 minutes goes by rather  
11 fast, so I just would encourage a style of questioning  
12 that moves as rapidly as possible to the nub of the  
13 inquiry that you wish to make, because unfortunately you  
14 don't have unlimited time to make a very slow progression  
15 of step-wise questions.

16 That may be not what you're doing, Mr.  
17 Ignasiak.

18 MR. IGNASIAK: Thank you, Madam Chair. I  
19 think I will not ask more questions on the subject of  
20 moisture content. However ---

21 MR. SHOSKY: Madam Chair, could I just  
22 interrupt on an administrative matter for a moment.

23 I've noticed that the witness stand or  
24 table is leaving the mike on during the questioning, and  
25 I'm not sure if you pick it up but when two mikes are on

1 at the same time the sound goes a little funny.

2 MR. IGNASIAK: I'm sorry, I forgot to shut  
3 it off. I'm sorry.

4 MR. SHOSKY: So, if you'd all just try to  
5 turn the mikes off.

6 THE CHAIRPERSON: We're probably all  
7 somewhat guilty of doing that from time to time. I am  
8 probably doing it as well. All right, we'll try and keep  
9 one mike on.

10 MR. IGNASIAK: Can I go to the next  
11 question?

12 THE CHAIRPERSON: Please do.

13 MR. IGNASIAK: Obviously, the moisture  
14 content is causing a lot of problems, so we can drop it  
15 and we'll be talking about from now on, for me to prepare  
16 next question, on a dry basis composition.

17 Could I have from the Chair some rough  
18 content of the components of the sediment in percent,  
19 weight percent?

20 MR. GILLIS: You say that you want a  
21 breakdown of the components of the sediments on a dry  
22 weight percentage, is that correct?

23 MR. IGNASIAK: That's correct, yes.

24 MR. GILLIS: Could you provide us with a  
25 list of categorization? My experience with soil

1 geochemistry indicates that there's a variety of ways to  
2 break down soil properties and I'd like to make sure that  
3 we come close to addressing your question.

4 So, if you could give us the sort of  
5 parameters that you're looking for with respect to the  
6 various elements, we will certainly endeavour to respond.

7 MR. IGNASIAK: Thank you very much. I  
8 will try, actually, to simplify this thing. Could you  
9 give me weight percent of all organic components versus  
10 non-organic components?

11 THE CHAIRPERSON: Is that a question that  
12 you are able to answer here or do you wish to undertake  
13 to provide it?

14 MR. GILLIS: Well, Madam Chair, I've just  
15 been handed a chemical analysis breakdown by various  
16 components. I'm not sure that these are the elements  
17 that the gentleman is looking for, because it ranges from  
18 things down to heavy metals through organic compounds.

19 I believe -- and I don't want to put words  
20 in his mouth -- I believe he's interested more in the  
21 engineering aspect of the components and I'd have to  
22 refer to Don Shosky to speak to this.

23 MR. SHOSKY: Again, there's quite a bit of  
24 confusion posed by the questioner on this particular  
25 issue. I don't think the issue is very clear at all, and

1 I'm not sure what scientific basis it pertains to what  
2 we're doing.

3 But having said that, I am willing to go  
4 through our existing data once I have a very clear  
5 understanding of what the question is that we're  
6 responding to, and I would be happy to take it as an  
7 undertaking to provide the information if we have it.

8 THE CHAIRPERSON: Mr. Ignasiak, can you  
9 explain why is it that you require this information?

10 MR. IGNASIAK: I think this is incredibly  
11 important for a process like stabilization/solidification  
12 and I understand that perhaps the team doesn't have this  
13 information right now. I am happy to provide this  
14 information in order to ask the next question. Is that  
15 okay?

16 THE CHAIRPERSON: You're happy to provide  
17 which information, I'm sorry?

18 MR. IGNASIAK: The information that I  
19 asked for. I have this information at hand, and in order  
20 to ask the next question I would probably have to provide  
21 the team with this answer.

22 THE CHAIRPERSON: You have the information  
23 that you are asking for?

24 MR. IGNASIAK: Yes.

25 THE CHAIRPERSON: Well, by all means share

1           it with us.

2                       MR. IGNASIAK: Yes. The information is  
3 quite striking, as a matter of fact.

4                       In terms of weight percent, essentially  
5 the organic components account for almost 60 percent  
6 versus 40 percent for the mineral components. But really  
7 if you look at the solidification/stabilization process,  
8 you should not really look at weight percent, you should  
9 look at volume percent.

10                      And I would like to bring to the attention  
11 of the Panel and also to the attention of the Chair that  
12 this is particularly true in case if you want to solidify  
13 this material, because what you want to do ---

14                      THE CHAIRPERSON: I'm just ask you -- I'm  
15 sorry, Mr. Ignasiak, I must ask you to now move to your  
16 next question. You have stated what you believe to be  
17 ---

18                      MR. IGNASIAK: Okay.

19                      THE CHAIRPERSON: --- the breakdown of  
20 organic and inorganic. And your next question is?

21                      MR. IGNASIAK: My next question is, what  
22 would be roughly the volume percent of organic components  
23 versus inorganic components in this sediment?

24                      MR. SHOSKY: Again, Madam Chair, we have  
25 -- you know, I'm very familiar with a lot of different

1 environmental processes. I'm not sure how he's taken the  
2 data and analyzed it in his own way, and I'm pleased to  
3 hear him out on this but I'm having difficulty following  
4 him.

5 If this, again, is information that he  
6 has, it may go faster if he just presents it.

7 THE CHAIRPERSON: Well, is this  
8 information that you have? But, in fact, we're mostly  
9 interested in the questions that you ask and the  
10 information that you elicit from the Chair at this stage.  
11 I'm very happy to listen to your own information when  
12 you're making your presentation.

13 Now, time is kind of moving along.

14 MR. IGNASIAK: Yes. Regardless of how you  
15 calculate the volume percent, you will end up roughly  
16 with about 60 percent of the organic components by volume  
17 versus 40. This is the average volume percent.

18 My question is, how we are going to  
19 encapsulate this 60 into this 40 percent in a solid sort  
20 of a form? Is that possible?

21 MR. SHOSKY: Over the last several days  
22 we've gone over the stabilization process for a number of  
23 times, I think I fielded most of the questions for our  
24 side on that particular issue, and we've also done field  
25 testing analysis on it.

1                   My own experience with tar-like material  
2                   in a variety of different environments indicates to me  
3                   that I don't see anything here, in my professional  
4                   opinion, that could not be stabilized using the processes  
5                   that we are recommending now.

6                   THE CHAIRPERSON: Mr. Ignasiak, your  
7                   question is referring to the organic content and the  
8                   success of solidification of materials where you believe  
9                   that the organic content is high?

10                  MR. IGNASIAK: Correct.

11                  THE CHAIRPERSON: Yes. Do you have  
12                  another question for the Chair?

13                  MR. IGNASIAK: I hope that I stated quite  
14                  clearly that the volume percent of the organic content of  
15                  sediment is about 60 percent and the volume of the  
16                  inorganic content of the sediment, including the cement  
17                  and the slab(?) added, is about 40 percent.

18                  My question was simple, how you can  
19                  encapsulate 60 percent by volume in 40 percent by volume?  
20                  If there is no answer at this point, I would be happy to  
21                  move to the next question.

22                  THE CHAIRPERSON: Does the Chair have  
23                  anything further to add with respect to Mr. Ignasiak's  
24                  question?

25                  MR. SHOSKY: We're not sure right now

1 where he's getting that information from, and I answered  
2 that question a moment ago explaining that we have -- I  
3 personally have stabilized a lot of tar material that has  
4 high concentrations of pure organic material and  
5 inorganic material with cement at manufactured gas plant  
6 sites, and again our testing has shown that that's an  
7 acceptable technology for this location.

8 THE CHAIRPERSON: Mr. Ignasiak, are you  
9 ---

10 MR. IGNASIAK: I would abandon under the  
11 circumstances this line of questions and I would go  
12 specifically now to those MGP sites which are presented  
13 by the Chair in response to the Panel's questions, and I  
14 am referring specifically to IR-42.

15 MR. GILLIS: Could you give us a moment to  
16 open that IR response up, please. Thank you.

17 THE CHAIRPERSON: Have you got that IR?  
18 Mr. Ignasiak, you have two minutes left on this round.  
19 You are welcome to come back, but two minutes ---

20 MR. IGNASIAK: Madam Chair, perhaps in  
21 order to explore what I intended to explore right now, I  
22 will perhaps stop at this point and come back in the next  
23 round, if you don't mind.

24 THE CHAIRPERSON: That is probably a good  
25 way to do it.

1 MR. IGNASIAK: Thank you very much.

2 THE CHAIRPERSON: So, thank you very much.

3 MR. IGNASIAK: Thank you.

4 THE CHAIRPERSON: The next questioner I  
5 now have on my list is Eric Brophy, and after Mr. Brophy  
6 I have Duff Harper, if he wishes to -- so he'll be ready  
7 to take the -- take a seat after Mr. Brophy. If you'd  
8 just press your ---

9 --- QUESTIONED BY MR. ERIC BROPHY

10 MR. BROPHY: Good afternoon, Madam Chair  
11 and Panel Members. My question is one of clarification.

12 The EIS Guidelines, Article 9, Bullet 4,  
13 "Human Health," what it directs the Chair to do is:

14 "Assess health of residents of the  
15 areas affected by the project, employ  
16 appropriate qualitative and  
17 quantitative indicators regarding  
18 elements of health that may be  
19 affected by the project, to create  
20 baseline data."

21 And I emphasize "to create baseline data."

22 I posed that question to the Agency in a  
23 written submission. I asked, "Has this guideline been  
24 complied with?", and their response was:

25 "Yes. The EIS contains two

1 comprehensive human health risk  
2 assessments that quantitatively  
3 estimate the cancer and non-cancer  
4 risks posed by the execution of the  
5 proposed multi-year cleanup project."

6 I would like to refer to the ATSDR Public  
7 Health Assessment Guidance Manual. I suggest they are  
8 the leaders in the field of doing health assessments as  
9 they work their way through the superfund states in the  
10 -- sites in the United States. They make a definite  
11 distinction between risk assessments and health  
12 assessments.

13 On page 2-5 of that Guidance Manual it  
14 defines -- and they are lengthy but I'll go into a bit of  
15 it -- risk assessment.

16 THE CHAIRPERSON: Excuse me. May I  
17 interrupt, Mr. Brophy. So, as fast as you can get to  
18 your question that would be very helpful, because this is  
19 a period -- today is set aside for questioning rather  
20 than presentations.

21 MR. BROPHY: I understand that, Madam  
22 Chair, and I understand I have 20 minutes to do this.

23 THE CHAIRPERSON: You have 20 minutes, but  
24 I'm just encouraging you to get to the question.

25 MR. BROPHY: I will do.

1 "A risk assessment is defined as a  
2 qualitative and quantitative process  
3 conducted by EPA to characterize the  
4 nature and magnitude of risk to  
5 public health from exposure to  
6 hazardous substances, pollutants or  
7 contaminants released from specific  
8 sites. Risk assessments include the  
9 following components; hazard  
10 identification, dose response  
11 assessment, exposure assessment and  
12 risk characterizations."

13 That's a risk assessment. Health  
14 assessment. As defined in ATSDR:

15 "Health assessments are based on  
16 environmental characterization,  
17 information, community health  
18 concerns and health outcome data.  
19 Because of the nature of these  
20 databases, health assessments use  
21 quantitative as well as qualitative  
22 data, focus on medical, public health  
23 and toxicologic perspectives  
24 associated with exposure to a site.  
25 The health assessment specifically

1 addresses community health concerns,  
2 e.g. sensitive populations, possible  
3 disease outcomes, and evaluates  
4 relevant community-specific health  
5 outcome data."

6 That is the short definitions. Again, I  
7 refer you to the guidelines which states they are to do  
8 an assessment to create a baseline data.

9 I don't believe, in my humble opinion,  
10 that a health risk assessment is specific to that  
11 guideline. I think what they are asking for is a public  
12 health assessment as the Agency, ATSDR, does in the  
13 United States, and that is a very comprehensive process  
14 of putting together that health assessment. I would like  
15 some clarification.

16 Have they complied with that guideline by  
17 doing two risk assessments?

18 MR. GILLIS: I'll ask Dr. Magee to speak  
19 to that, please.

20 DR. MAGEE: Thank you very much, Mr.  
21 Gillis. Yes, I'm aware of the distinction in the ATSDR  
22 guidance between a risk assessment and a public health  
23 assessment.

24 We are here today to evaluate the human  
25 health and environmental effects of a proposed project.

1 It hasn't happened yet. It's something that may or will  
2 occur in the future.

3 The gentleman is correct in describing the  
4 elements of a public health assessment, but one cannot do  
5 a public health assessment of a project that hasn't  
6 happened yet. All you can do before the fact to get  
7 information about whether a project may proceed without  
8 affecting human health is to do a human health risk  
9 assessment.

10 So, the gentleman is correct, we've done a  
11 human health risk assessment and not a public health  
12 assessment, but all you can do at this stage in the  
13 project is to do the former and not the latter.

14 THE CHAIRPERSON: Mr. Brophy?

15 MR. BROPHY: I don't necessarily agree  
16 with that, Madam Chair. You can do a public health  
17 assessment. I was a member of JAG's Health Studies  
18 Working Group. We were working towards that end when we  
19 were pushed aside in favour of the CLC committee.

20 That process was delayed throughout the  
21 life of JAG. Health Canada, in their wisdom, decided  
22 that we would not follow the Agency, ATSDR's, public  
23 health guidance. What they were doing was putting  
24 together what they referred to as the "Sydney Model" that  
25 would be used across this country for future sites.

1                   That fell in limbo. Maybe Health Canada  
2                   can answer as to what became of that and what became of  
3                   the health assessment that this community was promised.  
4                   And, again, I emphasize the purpose of that guideline was  
5                   to create baseline data. You need that baseline data ---

6                   THE CHAIRPERSON: Mr. Brophy, I'm going to  
7                   -- I'm afraid I'm going to have to interrupt. I'm going  
8                   to ask if you have any additional questions. The  
9                   information you're providing us, the Panel definitely  
10                  would like to hear it, but this is not the day in which  
11                  we hear it.

12                  Do you have any -- and I know you are  
13                  going to be presenting to us. Do you have another  
14                  question for the Chair or a question of clarification  
15                  around Dr. Magee's response?

16                  MR. BROPHY: I do, Madam Chair. Do you  
17                  not need baseline data in order to determine whether what  
18                  you are doing on the site is creating the health risks  
19                  that he so willing talks about?

20                  THE CHAIRPERSON: And I would like to add  
21                  a question of clarification for my own purposes. I don't  
22                  know whether I was following everything in the initial  
23                  question.

24                  The public health assessment, Dr. Magee,  
25                  you're suggesting that's something that takes place after

1 a project is in place? Is it not -- so it's not  
2 equivalent to a baseline health status assessment?

3 MR. DUNCAN: Just for clarification, Mr.  
4 Brophy was wondering about environmental baseline  
5 associated with human health. Section 5.9.6 of the EIS  
6 does describe existing environmental conditions  
7 associated with the community health and it's got a  
8 number of parameters that are described there associated  
9 with community health.

10 Mr. Magee can talk specifically about  
11 inputs to the risk assessment in terms of baseline that  
12 was considered for the risk assessment work which he  
13 described earlier, and I'd ask him to do that or answer  
14 specifically the chairperson's question.

15 DR. MAGEE: Yes, thank you, Mr. Duncan.

16 THE CHAIRPERSON: While answering my  
17 question, would -- if you could start with that, please,  
18 and Mr. Brophy's question was the requirement -- what  
19 kind of requirement for baseline health assessments is  
20 required. Is that right, Mr. Brophy?

21 MR. BROPHY: That's affirmative. It's my  
22 contention you need the baseline data, that's the  
23 starting point for -- to determine whether people's  
24 health is being affected throughout the cleanup.

25 THE CHAIRPERSON: Thank you. Dr. Magee?

1 DR. MAGEE: Yes, thank you very much,  
2 Madam Chair. The terms "public health assessment" and  
3 "human health risk assessment" certainly do have  
4 different meanings.

5 If we were in a town that had, let's say,  
6 an operating plant -- you know, let's say it's a coke  
7 oven, it's operating -- one could come in and say, "That  
8 coke oven is operating today, let's do a public health  
9 assessment." That's assessing the impacts of the  
10 situation that is at hand causing potential emissions.

11 We don't have that for this situation. We  
12 are here in this situation to evaluate the health impacts  
13 of a proposed project. In that instance one does not do  
14 a public health assessment, one does a human health risk  
15 assessment which evaluates what the incremental risk  
16 would be to human health associated with the proposed  
17 activities.

18 Risk assessment done north and south of  
19 the border by provinces, states and federal governments  
20 always is an incremental risk assessment.

21 Now, the EIS, however, does go further.  
22 My human health risk assessment stops with incremental  
23 estimates of risk over and above the baseline. So, when  
24 we talk of cancer risk, for instance, that's the excess  
25 lifetime cancer risk associated with the proposed

1 activities.

2 Everyone knows that regardless of which  
3 community you go to there is a baseline level of human  
4 health impacts going on from whatever sources. Risk  
5 assessment is always done to assess the increment that is  
6 laid on top of that.

7 Now, we did have a mandate to talk about  
8 baseline conditions. As Mr. Duncan has indicated, that  
9 information is in that particular section of the EIS. We  
10 also have gone further and in our health risk assessment  
11 defined, for instance, what the baseline level of cancer  
12 risk is in the communities and then estimated the  
13 increment and said, could you detect that increment.

14 And my calculations which you can see in  
15 the latter sections of the human health risk assessment  
16 are that the estimated increment to the cancer rate is  
17 less than one additional case. As a matter of fact, it's  
18 like something on the order of .0001 case over the entire  
19 course of the project.

20 So, whether the baseline is high, low or  
21 medium, the project itself will not cause an increase in  
22 cancer rates that one could detect. It simply is so low,  
23 it's lower than one additional case over a lifetime.

24 THE CHAIRPERSON: Thank you, Dr. Magee.  
25 Mr. Brophy, do you have additional questions at this

1 time?

2 MR. BROPHY: No further questions, Madam  
3 Chair, but I leave it to the Panel's judgment whether the  
4 answers provided actually do answer to that requirement  
5 of the guideline, and I thank you very much.

6 THE CHAIRPERSON: Thank you, Mr. Brophy.  
7 Mr. Harper?

8 --- QUESTIONED BY MR. DUFFERIN HARPER

9 MR. HARPER: Thank you, Madam Chair. I  
10 should identify for everyone that I am a lawyer  
11 representing certain area residents next to the Tar  
12 Ponds/Coke Ovens Sites. In that regard I have four  
13 issues I'd like to address.

14 Madam Chair, you had raised questions the  
15 other day with respect to the issue associated with who's  
16 responsible for the long-term liability associated with  
17 the site, and my first question is, who is responsible or  
18 liable for long-term monitoring of the off-site  
19 contaminants after the 25-year period as set out in the  
20 MOU?

21 MR. POTTER: I guess I'll have to refer  
22 back to the MOA and the mandate provided to the Agency.  
23 Our mandate is to manage and remediate the site that is  
24 defined in the MOA, which includes the parameters or the  
25 site limits that are identified.

1                   We -- if I'm understanding the question,  
2                   we are not monitoring any off-site impacts because we've  
3                   not identified any off-site impacts that we're addressing  
4                   with our project.

5                   MR. HARPER: Well, as a follow-up question  
6                   then, as I understood Madam Chair's questions they dealt  
7                   with concern over the integrity of the cap, for example,  
8                   and what would happen if the integrity was somewhat  
9                   compromised in the future.

10                  My question then would be, what protective  
11                  measures will be in place in the event that the cap  
12                  integrity is somehow affected in the future and/or there  
13                  are a determination that there is off-site contamination  
14                  that is occurring from that property, or from those  
15                  properties?

16                  MR. POTTER: On the first question, the  
17                  MOA identifies that the long-term care, maintenance and  
18                  monitoring responsibility rests with the Province.

19                  Currently the Sydney Tar Ponds Agency has  
20                  a mandate -- our mandate right now is to essentially take  
21                  us to the end of the first 10 years to complete the  
22                  remediation portion.

23                  The long-term monitoring and maintenance  
24                  would, in all likelihood, fall with the Province and  
25                  remain there with probably some other agency or existing

1 government department.

2 The question about any off-site impacts  
3 that may arise, if I've got that correct, is addressed in  
4 the MOA, that if for some reason there is an unexpected  
5 or unforeseen event, where that circumstance would arise  
6 -- and I want to make it clear that, you know, the design  
7 that we've put in place, the procedures, the cleanup, the  
8 environmental engineering containment system, is all done  
9 on the basis that we'll be controlling all of the  
10 contaminants on our site and we do not expect that.

11 As I say, in the MOA there are -- there is  
12 a clause that does allow for the fact that if something  
13 unexpected were to show up and were determined to be  
14 coming from our site, there is a clause to address that  
15 and it would reflect back on the parties to go back and  
16 the two funding parties to address.

17 MR. HARPER: By way of clarification as to  
18 what you just stated, Mr. Potter, I think you said long-  
19 range maintenance in all likelihood would fall within the  
20 ambit of the province after 10 years.

21 Is it the Sydney Tar Ponds Agency, is that  
22 going to be the agency that will be responsible for  
23 monitoring for the 25-year period after the operation, or  
24 will it be the province?

25 MR. POTTER: The Sydney Tar Ponds Agency

1 is a special operating agency under the provincial  
2 government infrastructure. We are a provincial agency.

3 Currently our mandate is essentially to  
4 take us out to the first 10-year-period during the  
5 remediation. The agency may remain. The agency may roll  
6 into an existing government department.

7 That responsibility may just simply be  
8 taken over by a government department. I can't speculate  
9 in what will happen, but it all will remain within the  
10 provincial responsibility.

11 MR. HARPER: So, at this point, is the  
12 Sydney Tar Ponds Agency able to advise what entity or,  
13 more particularly, what department within the province  
14 will be responsible for the ongoing monitoring and  
15 maintenance of this project after the 10-year operation  
16 phases?

17 MR. POTTER: I think we should just  
18 assume, for the purposes of the review, that the agency  
19 will remain. There's -- it could change, but for all  
20 intents and purposes the Sydney Tar Ponds Agency will be  
21 the ones responsible until that gets changed.

22 MR. HARPER: Madam Chair asked various  
23 questions about whether or not the site was, in essence,  
24 a walkaway site, I think that term was used, and her  
25 concern was what would happen at the end of the 25-year

1 period and whether or not there was the potential for the  
2 structures that were in place to break down.

3 My question is, are there, or will there  
4 be, any additional monetary safeguards, i.e. bonds,  
5 reclamation bond, something like that, in place to cover  
6 ongoing maintenance costs or remediation costs of the  
7 structure should it break down in the future?

8 MR. POTTER: Could you define "future"?

9 MR. HARPER: After 10 years.

10 MR. POTTER: The MOA speaks to the 10-year  
11 period for the remediation and the 25-year maintenance  
12 and monitoring period.

13 MR. HARPER: Okay, then let's go after the  
14 25-year period as set out in the memorandum, would there  
15 be any funds set aside for the potential breakdown of the  
16 system after that date?

17 MR. POTTER: Our response yesterday was  
18 that the best avenue for pursuing that would be with the  
19 Nova Scotia Department of Transportation and Public Works  
20 who are appearing, I believe, on Friday, and will be  
21 addressing, I would suspect, that question.

22 MR. HARPER: Madam Chair, the next --  
23 another issue I would like to address, in response to, I  
24 believe it was, Health Canada's question this morning,  
25 Mr. Gillis indicated that some of the sample analysis

1 that was going to be taken, with respect to the air  
2 monitoring of activities on the Tar Ponds sites and the  
3 Coke Ovens sites, I believe he said included both real-  
4 time sampling and sampling over a longer period of time.

5 My question is, in response to the panel's  
6 submission or IR-11, the Sydney Tar Ponds Agency had  
7 indicated they will publish air-monitoring data within 24  
8 hours of receiving it, and if that's the case, and yet  
9 there is real-time monitoring going on, why is not the  
10 data or why it is not the intent of the Sydney Tar Ponds  
11 Agency to publish the data immediately upon receipt, and  
12 why would they wait 24 hours before making it public?

13 MR. GILLIS: Could you give us a moment to  
14 get IR-11, please. I'm going to get Mr. Kaiser to  
15 address that question.

16 MR. KAISER: Thank you.

17 The 24-hour period is typically used for  
18 data validation. In other words, before we publish data,  
19 and this is pretty standard, we would want to ensure that  
20 the data has been validated and is correct before we send  
21 it out for public distribution.

22 MR. HARPER: Well then could you then  
23 explain to me what kind of data evaluation -- what the  
24 process is to evaluate data based on real-time  
25 monitoring?

1                   MR. KAISER: The process would differ,  
2                   depending on the type of instrument being used to collect  
3                   the real-time data.

4                   As well, there are steps that are needed  
5                   to both record and provide the data in a format where it  
6                   can be made publicly available, and for that reason, as  
7                   the data is moved through the chain, it must be validated  
8                   or ensure that it is correct before it goes for wide  
9                   distribution.

10                  THE CHAIRPERSON: If I can just interject  
11                  with a question here, Mr. Kaiser, can you remind me, has  
12                  the panel been provided, and we probably have, with  
13                  information that explains exactly which parameters can  
14                  undergo real-time monitoring and which can't? That must  
15                  be somewhere in the EIS. Is it in the air quality  
16                  monitoring information you provided to us? It's not a  
17                  trick question, I genuinely can't remember.

18                  MR. KAISER: At present, I can't recall if  
19                  we have adequately covered the process in its entirety in  
20                  the submissions that we've made to the panel to date, but  
21                  what I can do is I can explain, if you would like, a  
22                  typical process that's followed when we undertake any  
23                  construction activity on the site.

24                  THE CHAIRPERSON: No, that wasn't really  
25                  what I wanted at this point, though. Maybe Mr. Harper

1 wants that but I just wondered if there was a list of air  
2 quality parameters that you will be monitoring, or which  
3 ones can be monitored, by means of real-time monitoring,  
4 that was all, and I thought you may have already given  
5 that to us. And if you haven't, then I'd be happy to  
6 receive that later.

7 MR. KAISER: I'll certainly have to get  
8 back to you as, depending again on the activity we are  
9 undertaking, those parameters will change slightly. So  
10 it's not always the same parameter that we would monitor.

11 THE CHAIRPERSON: No, I can appreciate  
12 that. I was just interested in which ones can be  
13 monitored in real time.

14 I have been told that I have not been  
15 clear in acknowledging exactly when undertakings are --  
16 need to go into the record, so it's been hard for the  
17 people doing the transcript. So I guess that is that you  
18 are -- this is an undertaking and that you will provide  
19 us with a list of the air quality parameters that can be  
20 monitored in real time.

21 MR. KAISER: Certainly, we will do that.

22 THE CHAIRPERSON: Mr. Harper, sorry, I  
23 took some of your time. I'll give some of it back to  
24 you.

25 MR. HARPER: That's fine, Madam Chair. As

1 a follow-up to that request, for those parameters that  
2 will be monitored in real time, I would ask that there be  
3 an explanation of what the validation process will be,  
4 and why it will take 24 hours for those results to be  
5 made available to the public.

6 MR. KAISER: We'll be happy to do that.

7 THE CHAIRPERSON: So we'll add that to the  
8 original undertaking, make that one undertaking. So  
9 which parameters can be monitored with real time and what  
10 your rationale is with respect to the time you will need  
11 before you release that to the public, and whether there  
12 is any of that monitoring that, in fact, could be made  
13 available immediately.[u]

14 MR. KAISER: Certainly.

15 MR. HARPER: Thank you.

16 I want to move to the PCB contamination in  
17 the Tar Ponds. In response to, I believe it's, IR-12,  
18 the Chair indicated that the most thorough assessment of  
19 the PCBs was contained in the Jacques Whitford 1996  
20 report. And I think Mr. Potter went on to indicate that  
21 he was very confident that the agency knew all of the PCB  
22 levels throughout the ponds.

23 I reviewed that 1996 Jacques Whitford  
24 report, and, from what I can gather, there are at least  
25 five bore holes with levels of PCBs greater than 50 ppm

1 at the greatest depth measured at the bore hole, and I've  
2 identified the actual bore hole numbers in an Information  
3 Request that I put forward in writing. And I would  
4 submit that the Jacques Whitford 1996 report has no  
5 analysis of the PCBs below those specific bore holes in  
6 which there was identified PCBs greater than 50 ppm.

7 And my question, then, assuming my premise  
8 is correct and I can explain where that came from, is, I  
9 put it to the Tar Ponds Agency that it is possible that  
10 the PCBs in the Tar Ponds have been underestimated.

11 THE CHAIRPERSON: The Public -- your  
12 Public Comment, Mr. Harper, did you give us a number? Do  
13 you know the number?

14 MR. HARPER: I'm sorry, it was Public  
15 Comment 35.

16 THE CHAIRPERSON: Thank you.

17 MR. HARPER: The specific reference to the  
18 bore holes was identified in issue 3, and the bore hole  
19 numbers were 7833, 7839, AB70, AB71 and AC09. All of  
20 those bore holes had the highest PCB -- sorry, had PCB  
21 concentrations that exceeded 50 mgs at this deepest  
22 depth, three of which the highest PCB concentrations were  
23 at the deepest location. There was no further sampling  
24 below that.

25 So thus my question, which is, is it

1 possible that the PCBs in the Tar Ponds have been  
2 underestimated?

3 MR. GILLIS: I'd ask Mr. Kaiser to answer  
4 that question, please.

5 MR. KAISER: Thank you, Mr. Gillis.

6 The discussion is or the points raised, I  
7 guess, to a certain degree become moot because our  
8 approach here will be to remove areas where the PCBs are  
9 located, and we will do that by going right to till, and  
10 we will, in that manner, remove all of the sediments that  
11 contain PCB, even if there is a situation where there are  
12 PCB concentrations below the depth to which the testing  
13 bore hole was drilled.

14 MR. HARPER: Madam Chair, I thought there  
15 was -- at least 11 percent of the PCB contaminant in  
16 sediments greater than 50 percent were not going to be  
17 removed, so I take issue with Mr. Kaiser's explanation,  
18 and I would ask him again to answer the question.

19 Whether it's moot or not, the question was  
20 is it possible that PCB concentrations in the Tar Ponds  
21 have been underestimated.

22 MR. KAISER: Just to correct my earlier  
23 statement, I guess I did respond from the perspective of  
24 removal and destruction of PCBs in the areas identified.

25 As well, and as has been described many

1 times over the past few days, we will be treating the  
2 other sediments with S&S. So we will also treat to full  
3 depth. So again, the treatment will take place right to  
4 till and we will capture and immobilize any PCB sediments  
5 there, as well.

6 MR. HARPER: Madam Chair, I would ask that  
7 my question be responded to.

8 THE CHAIRPERSON: Can I ask the Chair if  
9 you wish to add anything more to that answer in terms of  
10 the question being are you confident that you know the  
11 full extent of PCBs in the north and south ponds.

12 I would also remind you that, as you know,  
13 you have made an undertaking to come back to the panel  
14 with the total quantity of PCBs, the mass, the total mass  
15 of PCBs in the north and south ponds, and you could  
16 provide additional information with that in terms of your  
17 confidence level that that's about that figure that you  
18 will be providing to us, if you can't answer that  
19 question right now.

20 MR. HARPER: Madam Chair, I think more  
21 specifically my question was, based on the research to  
22 date is it possible that the PCBs in the Tar Ponds have  
23 been underestimated as opposed to the confidence  
24 associated with it. That's a different question that Ms.  
25 May asked.

1 MR. KAISER: At this point in time, we  
2 have a very high degree of confidence in our  
3 determination of the quantities, and we will respond to  
4 the undertaking.

5 THE CHAIRPERSON: I have a question from  
6 Dr. LaPierre.

7 DR. LAPIERRE: I would like to find out if  
8 the areas identified are within the area identified for  
9 the questioning -- that PCBs located at depth in sampling  
10 are within the two areas that you propose to remove PCB  
11 from, or are they from another area in the Tar Ponds.  
12 Can you confirm where those bore holes are? You may not  
13 be able to do that now.

14 MR. GILLIS: We can certainly take that in  
15 an undertaking.

16 You have referred to specific bore holes  
17 in your question. Perhaps you could repeat those for us,  
18 thank you.

19 MR. HARPER: Certainly. The bore holes  
20 that I referred to were -- again, this is from the  
21 Jacques 1996 report -- bore holes 7833, 7839, AB70, AB71  
22 and AC09.

23 MR. GILLIS: Thank you very much.

24 THE CHAIRPERSON: So we have an  
25 undertaking from the Chair to provide information as to

1 the location of those bore holes and how they relate to  
2 the two areas that are going to be removed, correct?[u]

3 MR. GILLIS: That's correct.

4 MR. HARPER: Madam Chair ---

5 THE CHAIRPERSON: Can I just take a  
6 moment, please, Mr. Harper, I just have -- I'm sorry,  
7 that was an issue unrelated. Yes, Mr. Harper.

8 MR. HARPER: Thank you. I guess I  
9 understand there's a large degree of confidence  
10 associated with the results as has been indicated. I'm  
11 not sure if my question has been answered. I don't know  
12 if I keep having to repeat it or not, but I leave it out  
13 there, Madam Chair, that I put to you it has not yet been  
14 answered, specifically as the possibility that the PCBs  
15 in the Tar Ponds have been underestimated. But I will  
16 move on.

17 THE CHAIRPERSON: I'm prepared to add that  
18 question -- to ask you if you will answer that question  
19 as part of the undertaking to provide us with the  
20 information of the total mass of PCBs. Are you willing  
21 to take that as part of that undertaking?

22 MR. GILLIS: We'll certainly provide some  
23 statistical validation of that information as we go  
24 forward which should address Mr. Harper's question more  
25 specifically.

1 THE CHAIRPERSON: Thank you.

2 MR. HARPER: My next question therefore is  
3 if the PCBs have been underestimated, how does that  
4 affect the risk associated with the remediation of the  
5 Tar Ponds and the Coke Oven sites?

6 MR. GILLIS: I'll ask Dr. Magee to address  
7 that issue, please.

8 DR. MAGEE: Yes, thank you, Mr. Gillis.

9 I can respond in two ways. One is that in  
10 the environmental evaluation area of endeavour, we never  
11 know exactly what the true concentration is of any  
12 constituent in soil or sediment or what-have-you, and so  
13 one of the ways that we take that into account is to  
14 always use the upper 95th confidence interval on the data  
15 we have, and that's because we don't have 100 percent  
16 surety that we know the mean concentration of any  
17 constituent, so that gives us an extra level of  
18 protection when we do our risk assessment work. So  
19 that's the first part.

20 The second part is that we have modelled  
21 the emissions of PCBs from all of the various excavation  
22 and stabilization activities, and the risks are so low  
23 that if the PCB concentrations were 100, 1000 or even, I  
24 think, probably 10,000 times higher, the risk would still  
25 be well within the project's significant levels. So it

1 makes no difference whatsoever.

2 THE CHAIRPERSON: Mr. Harper, even giving  
3 you back some of the time I stole from you, that does  
4 bring you to the end of -- a bit over 20 minutes. Do you  
5 have other questions? Will you be coming back in the  
6 second round?

7 MR. HARPER: I do.

8 THE CHAIRPERSON: All right. Thank you.  
9 Debbie Ouellette is our next questioner,  
10 and following Debbie it will be Marlene Kane, which will  
11 probably just about take us up to 5 o'clock.

12 --- QUESTIONED BY MS. DEBBIE OUELLETTE

13 My name is Debbie Ouellette, and I'm a  
14 former Cedric Street resident, so I know what  
15 contamination that comes off the site can do to a family,  
16 but my concerns are they are monitors, real-time air  
17 monitors. That means that they pick up the  
18 contamination, like right off -- right at the moment,  
19 where -- a stationary air monitor means they're the  
20 background levels if there's contamination that comes off  
21 the site.

22 I want to know if you can guarantee, in  
23 writing, that these air monitors and real-time air  
24 monitors will be on the whole time work will be done on  
25 the Coke Ovens site and Tar Ponds for 24 hours a day and

1 7 days a week.

2 MR. GILLIS: I'm going to ask Mr. Kaiser  
3 to address this question, please.

4 MR. KAISER: As we have demonstrated in  
5 the past, when we are conducting any construction  
6 activity on the site, we will run the air-monitoring  
7 systems, whether they be the real time or fixed stations,  
8 in complete accordance with the regulatory requirements,  
9 whatever they may be, because they will vary depending on  
10 the activity. But certainly our air monitoring system  
11 will be very robust, and we will collect as much  
12 information as we are required to collect.

13 MS. OUELLETTE: I'm sorry, that doesn't  
14 answer my question.

15 My question is when activity on the Coke  
16 Oven site and Tar Ponds, when you decide to work on these  
17 sites, will the real-time air monitors and stationary  
18 monitors be on while work is being done.

19 MR. KAISER: Yes.

20 MS. OUELLETTE: For the 24 hour day period  
21 and 7 days a week?

22 MR. KAISER: We will operate our air-  
23 monitoring equipment when we are conducting construction  
24 activities on the site.

25 MS. OUELLETTE: You're still not giving me

1 a time limit, because let's say you disturb the cooling  
2 pond -- they did that the other day and they certainly  
3 didn't inform the residents first, which they ended up  
4 with headaches and didn't know where they were coming  
5 from -- there was a zincy smell in the air, which the air  
6 monitors, did they pick up that smell?

7 MR. KAISER: It is correct that the other  
8 day or actually a few days last week we conducted some  
9 activity at the cooling pond. We did run air-monitoring  
10 equipment, we did not have any exceedences or any issues  
11 whatsoever associated with that activity.

12 MS. OUELLETTE: That's the answer I knew  
13 that you would give me, for the simple reason naphthalene  
14 and ptyalin, under a cover of the Domtar tank, released  
15 exceedents in the air monitors. But why weren't these  
16 air monitors on 7 days a week, 24 hours a day? You only  
17 put them on a certain time in that hour, so you have 45  
18 minutes that you pick up nothing. That could be a real  
19 health hazard to the people living in around these sites.

20 THE CHAIRPERSON: And your follow-up  
21 question is?

22 MS. OUELLETTE: We want a guarantee that  
23 these air monitors -- our only protection, Mrs. Chair, is  
24 that they rely on the monitors to tell us when the  
25 exceedents leave the sites. In the past, we've only

1 found out maybe 2 or 3 days later, 7 days later, that  
2 there was exceedents in the air monitors, and we have no  
3 protection and we have no way of knowing, if they don't  
4 take them to the lab till like 5 or 6 days later. So we  
5 just want a guarantee 'cause that's all the guarantees we  
6 have are these air monitors.

7 THE CHAIRPERSON: Have you anything to add  
8 to your reply with respect to the agency's commitments  
9 that you'll be making to the community with respect to  
10 when you'll be operating air monitoring?

11 MR. KAISER: If it would be helpful, Madam  
12 Chair, I could try to explain to the group, and certainly  
13 to the questioner, how the air monitoring is conducted,  
14 and hopefully explain in enough detail that there's a  
15 better understanding of why certain instruments do not  
16 run continuously for 7 days a week or whatever length of  
17 time.

18 THE CHAIRPERSON: Can you give a very  
19 brief outline and then we'll go back to Ms. Kane (sic)  
20 for her next question. Can you do it very briefly at  
21 this stage?

22 MR. KAISER: I believe so, yes.

23 THE CHAIRPERSON: Thank you.

24 MR. KAISER: When we conduct activities at  
25 the site, we go into a construction mode where we bring

1 in the real-time equipment to make sure that as we  
2 conduct those activities we do not create any  
3 difficulties in the surrounding environment.

4 As we have been doing for many years now,  
5 prior to that, we have samplers that are at fixed  
6 stations, that are located around our site, and they run  
7 in accordance with what's called the National Air  
8 Pollution Surveillance System, and it also follows those  
9 protocols.

10 What is going on now and has been going on  
11 for quite some time is we collect data, and we compare  
12 our data to both other areas as well as other activities.  
13 That instrumentation typically runs on a 24-hour cycle  
14 once every 6 days.

15 As I've said, when we go into a stage of  
16 construction activity, we bring in real time hand-held  
17 instruments that are used up close, collect the  
18 information as it's -- you know, as any emissions might  
19 be created, and monitor what those levels are.

20 We vary the type of instrumentation or the  
21 parameters that we measure, depending on what we expect  
22 to see from the construction activity. Typically, we're  
23 concerned about dust or total suspended particulate.

24 As I've said, I guess, the two methods are  
25 used, and they're used in a way that they tend to

1 complement each other so that we have a better picture of  
2 what the ongoing conditions are at our site, as well as a  
3 better picture of any impacts that we might create as we  
4 do work on our site.

5 So the reason that some monitoring  
6 equipment isn't just turned on and left on is that  
7 there's no particular value in approaching it that way.  
8 All you're doing is generating a lot of data that you  
9 can't necessarily compare to any particular activity you  
10 might have undertaken at any particular time.

11 We, of course, continue to proceed down  
12 the road where we gather more information about our site,  
13 and we gather more information about our activities, and  
14 if we reach some point in time where, you know, we can  
15 make changes in our approach that may give better  
16 assurance to the community, we would certainly endeavour  
17 to do that wherever possible.

18 THE CHAIRPERSON: Thank you, Mr. Kaiser.  
19 Ms. Oulette, I apologise for referring to you as Ms.  
20 Kane.

21 MS. OUELLETTE: That's okay.

22 THE CHAIRPERSON: Ms. Kane, I apologise to  
23 you, as well.

24 Would you like to ask another question?

25 MS. OUELLETTE: Concerning the air

1 monitors, in the past -- I know how they work. I  
2 videotaped them when they weren't on, I videotaped when  
3 they took down the byproducts building and the consultant  
4 lied to me, he said they were on and they weren't on.

5 A lot of the times when they've disturbed  
6 the Coke Oven site in the past, we were victims of really  
7 naphthaleney smells, there was benzene smells, there was  
8 -- really at high amounts. We took one sample of  
9 naphthalene, the sample was 9,960, that was just one  
10 sample, and we had tar-like smells every time they  
11 disturbed the site.

12 My concern is, if they put in an  
13 incinerator and they only turn the air monitors on every  
14 6 days, we have no protection the 5th day, the 4th day,  
15 the 3rd day. And this is why we need better protection  
16 when they want to take quality and the air that controls  
17 these sites. We really need better purification than  
18 that because ---

19 THE CHAIRPERSON: And do you need -- have  
20 you another question -- like to get you to your question?

21 MS. OUELLETTE: My biggest concern was the  
22 air monitors, and you still -- they're going to come on  
23 every 6 days, sometimes every 12 days. It's not good  
24 enough for us any more because we do have health effects  
25 that do affect the public and we don't have any

1 protection.

2 Now, when they start to serve in the Coke  
3 Oven site and the Tar Ponds, and people end up getting  
4 sick or they have rental properties, are the governments  
5 going to step in and help these people, because people  
6 are not going to want to move into the area or live in  
7 chintzy apartments, or they don't want to live in their  
8 homes when they disturb these sites. Is the government  
9 going to step in and help these people, because it  
10 certainly did happen to me?

11 MR. POTTER: Madam Chair ---

12 THE CHAIRPERSON: Yes, Mr. Potter.

13 MR. POTTER: --- if I may respond, I  
14 guess, in a general nature. The Sydney Tar Ponds Agency  
15 is very, very committed to air monitoring and emission,  
16 odours coming off of our site. I think it's safe to say  
17 if there's one area that we spend the most time on it  
18 would be air monitoring. We work extremely closely with  
19 the Provincial Department of Environment, Nova Scotia  
20 Department of Health, the Medical Officer of Health,  
21 Chief Medical Officer of Health, Health Canada.

22 We spend a lot of time on protocols,  
23 guidelines, criteria, procedures, methodologies. We're  
24 currently looking at, you know, expanding our  
25 methodologies right now with some new technologies.

1                   We are making every effort we can to  
2                   ensure that air monitoring is a priority with the agency,  
3                   in all activities that we do on site.

4                   We recognize that yes, there will be  
5                   odours. I think we've addressed that in some of our IRS  
6                   in the past that, you know, odours will be noticed during  
7                   the project, dust will be noticed during the project, but  
8                   the important aspect is that we make sure that we are --  
9                   have the clear set of protocols in place. Those  
10                  protocols will identify when we take certain actions.  
11                  We've done that in the past with other projects we've  
12                  done on the site, and we'll continue to do that.

13                  I just want to re-emphasize that, you  
14                  know, it's a very big concern for the public, it's a big  
15                  concern for us, so we will address it appropriately.

16                  THE CHAIRPERSON: Thank you, Mr. Potter.  
17                  Do you have any additional questions?

18                  MS. OUELLETTE: The other day they put up  
19                  a slide and I really didn't understand. It showed a  
20                  level of arsenic maybe 30, maybe 50, and then at the end,  
21                  when they -- I'm not sure if they burnt it, it was 89.  
22                  Like why would the arsenic level be higher?

23                  THE CHAIRPERSON: This would be in  
24                  reference to metal contents in the bottom ash?

25                  MS. OUELLETTE: It was a slide that they

1 had put up, and I really couldn't see the numbers from  
2 where I was at, but I was just wondering why the arsenic  
3 levels would be higher.

4 MR. GILLIS: I believe that was with  
5 respect to the bottom ash concentration buildup, is that  
6 right?

7 THE CHAIRPERSON: It was a bottom ash  
8 question, and it was, I think, some clarification, a  
9 follow-up question with respect to an Information Request  
10 that had gone forward from the panel, and you showed the  
11 diagram and the table.

12 MR. GILLIS: I'll ask Dr. Brian Magee to  
13 give the explanation for that.

14 DR. MAGEE: Yes, thank you very much.

15 The plan is to take the sediment out of  
16 the ponds, as we know, and to condition it to get the  
17 consistency appropriate for a feed into the incinerator,  
18 and also to control the moisture.

19 When we add the bottom ash from the  
20 incinerator, something like arsenic, just as an example  
21 -- when it goes into the incinerator most of that arsenic  
22 will end up, won't be combusted, it won't come out up  
23 into the air because we need to control that. Where it  
24 will end up will be in the bottom ash which we will take  
25 back and use to condition the next batch of feed

1 material. So we're looking to add a little but it levels  
2 off.

3 So the first two or three times you use  
4 that incinerator bottom ash to condition the next batch  
5 of the sediment, it goes up a little bit, a little bit,  
6 and then after three or four or five different rounds  
7 through the incinerator it stabilizes.

8 It's the same arsenic, we haven't created  
9 any arsenic. It has to do with burning the organic  
10 material which then makes the total volume of the  
11 material that the arsenic is mixed with is now a lot  
12 lower, right, because we burned the PCBs, we burned the  
13 PAHs, that's been converted into CO2 and water and goes  
14 out the stack. So the arsenic is residing in a matrix  
15 that is less massive, so that means the concentration  
16 goes up.

17 We're not creating arsenic, we're just  
18 squishing it into a smaller space which makes the  
19 concentration go up a little bit.

20 MS. OUELLETTE: That was my point, I said  
21 here the arsenic level is higher, it's 89 -- like the  
22 arsenic level, why would it be higher?

23 Like I moved a whole house, a whole street  
24 because of high levels of arsenic in my basement that  
25 seeped in. Like wouldn't this arsenic be a concern, a

1 chemical that would bother people that if it was just  
2 left in the air?

3 MR. GILLIS: I'll ask Dr. Magee to address  
4 that question as well.

5 DR. MAGEE: Well, again, we're not  
6 creating additional arsenic. The total amount of arsenic  
7 that's in all of the sediments that are going to be taken  
8 up to the incinerator is fixed. It's not going up. What  
9 we're doing is we're taking it up to the incinerator with  
10 the PCBs and the PAHs. It just goes along for the ride,  
11 as it were. It goes up to the incinerator, it drops down  
12 into the bottom ash, it comes back in a truck and gets  
13 put back in and stabilized.

14 The concentration goes up a little bit  
15 because we push the atoms of arsenic into a smaller mass  
16 of total material by burning off the PAHs and the coal  
17 finds and so forth and so on. So it's the same arsenic  
18 atoms are going up to the incinerator, being put in a  
19 container and brought back and stabilized, no net  
20 increase, no net loss, goes up, comes back, gets  
21 stabilized.

22 MS. OUELLETTE: So you bring this back to  
23 the Tar Ponds, is that what you're doing?

24 DR. MAGEE: I'm sorry, you'll have to  
25 repeat that.

1 MS. OUELLETTE: You're bringing back this  
2 material to the Tar Ponds?

3 DR. MAGEE: Yes, that's correct.

4 MS. OUELLETTE: So arsenic levels in the  
5 Tar Ponds could be really high, and then if you're going  
6 to leave that open, isn't it going to be a health  
7 concern? Because it certainly was for me, but ---

8 DR. MAGEE: I'm sorry, you'll have to  
9 repeat the question, I was being bombarded in three  
10 directions.

11 MS. OUELLETTE: I'm just saying you're  
12 going to bring back that high level of arsenic back to  
13 the Tar Ponds, it's going to sit there, it's a health  
14 hazard. It's going to cause a health hazard in my books.  
15 It certainly happened to me, but my next question would  
16 be ---

17 THE CHAIRPERSON: Excuse me, just one  
18 moment. Could the Chair just clarify what happens to the  
19 arsenic when it's returned in the bottom ash to the Tar  
20 Ponds.

21 MR. GILLIS: Yes, and I'd ask Don Shosky  
22 to explain the materials handling that the mass goes  
23 through.

24 MR. SHOSKY: Thanks, Mr. Gillis.

25 At the Tar Ponds location, the bottom ash

1 or clean soil that comes down, that has the arsenic  
2 concentrations that you're concerned about, goes into the  
3 Tar Ponds, is stabilized with cement, which causes a  
4 reaction to occur which allows that arsenic to not be  
5 mobile.

6 The materials, when they're placed in the  
7 Tar Ponds will be placed in such a fashion as to minimize  
8 dust and things of that nature to ensure that there are  
9 not dust releases that may potentially contain arsenic.

10 Those, there'll be mitigation control  
11 measures in place which will keep that from happening, as  
12 well as having the additional air monitoring for those  
13 particular parameters.

14 So the arsenic will be placed in an  
15 engineered contained system and all along that process  
16 dust issues and things like that will be controlled  
17 through engineering controls.

18 THE CHAIRPERSON: Ms. Oulette, you've got  
19 a couple of minutes left, so if you'd like to ---

20 MS. OUELLETTE: Okay. Another one is  
21 Frank's -- this was in his presentation the day that he  
22 was saying it.

23 You stated that the Domtar tank contains  
24 coal tars, a product that you can buy at Canadian Tire.  
25 This product, is it listed on the outside of the

1 container that the material from the Domtar tank, that's  
2 what you're going to use from these containers at  
3 Canadian Tire? Are you saying that they used -- the  
4 Domtar tank, the material, you can buy this stuff at  
5 Canadian Tire?

6 MR. POTTER: The reference was to the fact  
7 that the coal tar material in the Domtar tank would  
8 resemble typical coal tar emulsions that you would buy at  
9 Canadian Tire for sealing a driveway or perhaps a  
10 foundation wall, not identical but, you know, similar to  
11 that type of material. That was the reference in the  
12 opening remarks on the Saturday morning.

13 MS. OUELLETTE: Yeah. If the waste from  
14 the Domtar is no worse than what we buy at Canadian Tire,  
15 then why did it cost more money to ship 88 blue  
16 containers by rail to be destroyed?

17 Parker Dunham was supposed to let the  
18 residents know where these containers went. As yet, he  
19 has told no one. So Frank, can you tell me where the  
20 final resting place where these -- the Domtar waste went,  
21 and how it was destroyed.

22 MR. POTTER: The Domtar tank material has  
23 been properly shipped to an approved licensed facility  
24 authorized to destroy the material. That material is  
25 presently in the process of being destroyed. Upon

1 confirmation of certification of the material being  
2 destroyed, we will notify people of the final outcome of  
3 that.

4 MS. OUELLETTE: That was about a month or  
5 so ago. Like you know where it went, we just want to  
6 know where it went and how it was destroyed.

7 MR. POTTER: It's being destroyed at a  
8 licensed facility. We will not ---

9 MS. OUELLETTE: Where?

10 MR. POTTER: --- identify the facility.  
11 It's being properly destroyed at a licensed facility.  
12 Upon completion of that destruction, we will notify the  
13 residents of the outcome of that destruction.

14 THE CHAIRPERSON: Ms. Oulette, that does  
15 conclude your 20 minutes, so I thank you very much for  
16 your questions. Do you have more questions, will you  
17 wish to come back for a second round?

18 MS. OUELLETTE: I'm not sure yet.

19 THE CHAIRPERSON: All right. Thank you.  
20 Marlene Kane.

21 --- MS. MARLENE KANE

22 MS. KANE: Good afternoon. My name is  
23 Marlene Kane.

24 First of all, I'd like to know why is it  
25 stated in the EIS that there are 120,000 tonnes of PCB

1 contaminated sediments when there has only ever been  
2 50,000 tonnes of PCB contaminated sediment.

3 THE CHAIRPERSON: Could you clarify for me  
4 why you're making that distinction?

5 MS. KANE: Yes, I'd like to know if any  
6 further testing has been conducted to identify any more  
7 PCBs that we don't know about.

8 MR. GILLIS: I'll ask Don Shosky to speak  
9 to that with respect to some of the engineering  
10 considerations that went into that number.

11 MS. KANE: Into 120,000 tonnes?

12 MR. GILLIS: That is correct.

13 MS. KANE: Okay.

14 MR. SHOSKY: Yes. The reason that that  
15 number went from 50 to 120,000 tonnes is there was  
16 analysis made of sloughing factors that would occur  
17 during the excavation process. And as we stated earlier,  
18 during the discussions earlier this week, there was a  
19 commitment made by the Tar Ponds Agency to remove all  
20 that material.

21 Unfortunately, it doesn't come out as a  
22 nice block of material, and you'll have some sloughing,  
23 so that over-excavation of that material is a part of the  
24 proposed plan for thermally treating that material.

25 MS. KANE: But PCB contaminated sediments

1 are defined after they've been excavated if they're over  
2 50 ppm. So if you anticipate that the dilution from  
3 excavation will bring them below 50 ppm, then is it  
4 accurate to state you will be destroying 120,000 tonnes  
5 of PCB contaminated sediments?

6 MR. POTTER: I'm not sure, perhaps you  
7 weren't here the other day, there was a question asked  
8 about are we -- as regarding excavation and the blending  
9 process, and the statement I made was that we were  
10 committed to taking 120,000 tonnes of the sediment from  
11 the Tar Ponds.

12 I guess you're correct if we're really  
13 careful about the language it's not 120,000 tonnes of  
14 sediment contaminated with PCB, it's 120,000 tonnes of  
15 sediment we have to remove to get the roughly 50,000  
16 tonnes of sediment contaminated with PCBs above 50 ppm.

17 MS. KANE: Okay. So it's not 120,000  
18 tonnes of PCB contaminated sediments that will be  
19 incinerated.

20 MR. POTTER: Correct. We're incinerating  
21 120,000 tonnes of sediment. The summer, as you know, in  
22 the way that the plume is, especially in the north pond,  
23 we have uncontaminated sediment on top that, you know, we  
24 will have to remove. That will go to the incinerator and  
25 yes, indeed, it wouldn't be classified as a PCB material

1 but it will be going through the process of being  
2 treated.

3 THE CHAIRPERSON: If I can just add a  
4 point of clarification. Yes, the panel actually did  
5 pursue exactly your questioning, and we were pursuing it  
6 on, and we made reference to Public Comment 49 with a  
7 series of questions there.

8 MS. KANE: I did hear those, yes.

9 THE CHAIRPERSON: You were there, so you  
10 heard that.

11 MS. KANE: Yes.

12 THE CHAIRPERSON: And so I understand that  
13 we got a clear statement from the The Chair that, in  
14 fact, they will be taking all of that 120,000 tonnes  
15 without testing -- it will be going without sampling, am  
16 I correctly interpreting what you told us?

17 MR. POTTER: Yes.

18 THE CHAIRPERSON: Oh good.

19 MS. KANE: Considering the expense of  
20 incineration, why are you now suggesting -- I mean, aside  
21 from the PCBs, why are you now suggesting that you will  
22 incinerate all excavated sediments, not just sediments  
23 over 50 ppm?

24 I realize you just kind of answered that  
25 question, but I'm wondering, because it's not

1 economically responsible to incinerate this material  
2 when, in fact, what you've stated there is only 3,500  
3 tonnes of PCBs within that larger amount. Would it not  
4 be more responsible to try to remove the contaminants  
5 from the 120,000 tonnes and dispose of them in a  
6 different -- using a different technology?

7 MR. GILLIS: I'd refer this question to  
8 Don Shosky, he'll talk about some of the engineering  
9 considerations involved in doing just that.

10 MR. SHOSKY: When we reviewed our  
11 situation out there in quite a bit of detail, in order to  
12 excavate those areas out again we would receive a lot of  
13 sloughing from additional areas, and we expect to have  
14 additional materials that we would have to burn.

15 The actual calculations of pure PCBs that  
16 we found out there were pretty low, certainly less than 4  
17 tonnes total, so it's around 3.8 tonnes of actual PCB  
18 oils.

19 So it's a conservative way to approach it,  
20 the Tar Ponds Agency decided to do that. There are  
21 difficulties when you go through an excavation process to  
22 -- in a sediment environment to segregate things. As  
23 you've suggested, there is a cost involved with that, and  
24 when we did the evaluation we felt that that was an  
25 appropriate assumption to make.

1 MS. KANE: But other technologies, as  
2 stated actually in the JAG workbook, which I think it was  
3 called Considering Technologies, it talks about the  
4 sediments being processed, for example, first by thermo-  
5 desorption to evaporate off all the contaminants, and  
6 then condense those evaporates. They would then be  
7 destroyed by another technology such as plasma or  
8 hydrogen reduction or another suitable method. Would  
9 that not be more economically responsible if you're only  
10 talking about 3,500 tonnes of PCB contaminated material  
11 -- sorry, PCB material?

12 MR. POTTER: I guess we have to go back to  
13 the -- I think we have to go back to the MOA again and  
14 the project that's been defined and described and funded  
15 through the MOA. That's the project we've assessed.

16 The EIS was subsequently required to  
17 review again alternative means which we do address in the  
18 EIS report. The project that's before us today is the  
19 project that identifies, you know, removal of the PCB  
20 material, the 120,000 tonnes, the tar cell material, the  
21 Coke Oven brook sediment, and taking that to the  
22 incinerator, and that's the project we are focusing on.

23 If you have a question relative to the  
24 EIS alternative means that we covered, the tables that  
25 are in the EIS report, we could answer a specific

1 question on that, but I'm not sure if I can answer the  
2 previous question.

3 MS. KANE: Would that not just be a  
4 question about alternatives, then, that certainly were  
5 the #1 choice in the JAG workshop -- workbook  
6 deliberations that took place within the community, 1754  
7 respondents, that was option 3.

8 THE CHAIRPERSON: Ms. Kane, can I verify  
9 your question with respect to alternative means of  
10 carrying out the project -- sorry, alternatives to the  
11 project, your question is about the economic feasibility  
12 of those alternatives, is that -- I do have a question  
13 from Mr. Charles. Maybe we'll get him to answer -- to  
14 ask it and maybe that will add to this as well. Yeah,  
15 just a moment.

16 MR. CHARLES: Am I mistaken, but when  
17 you're taking that 120,000 tonnes out and burning it,  
18 you're also burning PAH's are you not? It's not just  
19 PCB's that you're burning?

20 MR. POTTER: That's correct.

21 MR. CHARLES: So there would be some other  
22 benefit ---

23 MR. POTTER: Yes.

24 MR. CHARLES: --- doing the 120,000  
25 tonnes?

1 MR. POTTER: Yes, there is.

2 MS. KANE: And I think my question would  
3 be then, if you're going to destroy some of the PAH's why  
4 aren't you destroying all of them?

5 MR. POTTER: I'd like to go back to I  
6 think what was a previous question -- I think that's a  
7 new question -- but I'd like to go back and have Mr.  
8 Shosky try to address the previous question and we'll  
9 come back to that question again.

10 MR. SHOSKY: I'm going to take a moment to  
11 go through Public Comment 14 which was our response to  
12 technology vendor about why their particular technology  
13 was not selected for this project. And I think it's  
14 worth remembering at this point in time that this process  
15 of selecting technologies has gone on for quite some  
16 time.

17 It started out with reviewing  
18 approximately 100 different technologies for application  
19 here. It was narrowed down to 14, ultimately ten. And  
20 then reviewed again as part of the EIS efforts to come up  
21 with the best possible solution. So a lot of  
22 technologies were reviewed in this process. And through  
23 that process I think that there was a narrow down of a  
24 number of different options at the end which was narrowed  
25 down to a few options which is what the EIS was based on.

1                   So for the other technologies that are not  
2 part of this, all I'll say is that an evaluation has been  
3 performed on all those technologies and that the position  
4 is is that based on our information that was the best set  
5 of technologies put forward at this time. Because it  
6 started from a list of over 100.

7                   MS. KANE: I'm not here to endorse the  
8 technology. I'm just suggesting if there'd be another  
9 alternative that would be economically feasible. Just as  
10 an aside, the thermal desorption was a proven technology  
11 during bench scale testing that was conducted by the  
12 consultants and government. If I could move on, then, to  
13 my next point.

14                  MR. POTTER: Madam Chair, I think there's  
15 a question we're leaving out there. The why not burn all  
16 of the agents.

17                  MS. KANE: No, I didn't say burn it. I  
18 said destroy, as was the JAG recommendation.

19                  THE CHAIRPERSON: I confess, I have --  
20 you're saying there's an additional question that you  
21 have not been able to address yet? I'm sorry, I've lost  
22 it if there was one.

23                  MR. POTTER: If Ms. Kane could repeat the  
24 question make sure I'm clear on it. If you just want to  
25 repeat it. I heard something about all of the PAH's.

1 MS. KANE: Just in relation to what Mr.  
2 Charles was saying, how there'd be an additional benefit  
3 of destroying the PAH's as well. I said well, you know,  
4 if that's the case why would we not aim to destroy all of  
5 the sediments in the Tar Ponds which is what the  
6 community recommended. That was their choice.

7 MR. POTTER: The -- I think I indicated in  
8 the -- my opening on Saturday morning that that was a  
9 consideration at -- that governments had contemplated.  
10 The cost of removing and treating, destroying the  
11 contaminants was estimated to be roughly, I think I said,  
12 twice the existing cost of the project right now. And  
13 that the decision of the government was that there was  
14 not a sufficient benefit to spending that extent of money  
15 to accomplish no net benefit from an environmental point  
16 of view.

17 MS. KANE: Thank you but I'm not quite  
18 sure how you come to the conclusion that it's twice as  
19 much because I've never seen how you've worked that out.  
20 Is that available to -- for us to see how it -- how you  
21 decided it was twice as much?

22 MR. POTTER: The RAER document was the  
23 basis for generating those numbers. There were, I think  
24 as we responded in the past, other costs that we have to  
25 add in for what we -- I think we referred to the term as

1 project costs that we've talked about in the past. And  
2 -- but the basis for generating those numbers to come at  
3 the -- arrive at the roughly double the cost was  
4 generated initially from the RAER work.

5 MS. KANE: So then can you provide the  
6 detailed costing of how you arrived at that -- at the  
7 cost being twice as much to remove and destroy all the  
8 contaminants in the Tar Ponds?

9 MR. POTTER: Madam Chair, we're coming  
10 back with another undertaking for costs. We'll try and  
11 incorporate some of those numbers in there so that it's  
12 clear where that ultimate doubling factor comes into  
13 play. [u]

14 THE CHAIRPERSON: Thank you very much.

15 MS. KANE: Thank you.

16 THE CHAIRPERSON: For clarity, that goes  
17 -- that gets -- I think we should make this a new  
18 undertaking just to be clear on the record. So you're  
19 undertaking to provide some more information on costs to  
20 -- around the costing of removing and destroying all of  
21 the sediments in the north and south Tar Ponds.

22 MS. KANE: The starting point for the  
23 development of a criteria where the guidelines -- I'm  
24 talking about, sorry, site specific target levels -- the  
25 starting point for the development of the criteria where

1 the guidelines of the CCME, the SSTL's were finalized in  
2 consultation with regulators and based on risk  
3 assessments conducted as part of this EIS, speaking about  
4 CCME, I'd have to read a few sentences just to clarify my  
5 point. In 1997 the Federal Government stated in  
6 correspondence that:

7 "Where the Federal Government  
8 contributes funds to a project  
9 or where Federal wastes are  
10 involved, projects will have to  
11 comply with existing Federal  
12 regulations and policies, except  
13 in instances where Provincial  
14 regulations, standards or policies  
15 are more stringent. Therefore,  
16 as a minimum any CCME guideline  
17 will apply and JAG will build them  
18 into its criteria."

19 In keeping with the Federal Government's  
20 commitment to the CCME guidelines as a minimum, I'd like  
21 to know why the SSTL's are not -- let me re-phrase that,  
22 how much more stringent are your final SSTL's than the  
23 CCME guidelines?

24 MR. KAISER: Perhaps it would be  
25 worthwhile at this stage to sort of go over again the

1 steps we took to arrive at the SSTL's and the purpose of  
2 the SSTL's. And I will do that briefly.

3 We went out and did our site assessment  
4 work. We characterized our site quite fully. We  
5 determined where the contaminants were located. We then  
6 went out and did human health and economical risk  
7 assessment work which determined based on the possible  
8 receptors and the possible pathways what the risk is at  
9 present.

10 From that work the ERA and HHRA  
11 information was turned into numbers that were listed as  
12 our site specific target levels or SSTL's. The SSTL's  
13 are used to determine what remedy can be applied. The  
14 SSTL's are not clean up criteria. We simply use the  
15 SSTL's to say that okay, if we have a certain risk posed  
16 by a certain contaminant on the site located at a certain  
17 location that could come in contact with a certain  
18 receptor, then we must address that risk.

19 We addressed that risk by applying a  
20 certain remedy. If the remedy is effective then we  
21 eliminate that risk. For that reason, at the end of the  
22 day when we apply the remedy to your site -- in other  
23 words, when we go in and do land farming or capping or  
24 SNS or incineration or whatever it is, we will eliminate  
25 the risk and we'll also basically move beyond the SSTL

1           because it is not a clean up criteria. So when we come  
2           back and re-evaluate whether or not the remedy has been  
3           effective, or in other words, we come back to see if we  
4           have cleaned up or managed our site, we will not be  
5           comparing to an SSTL. We will compare to a criteria  
6           number that will be given to us by a regulatory agency.

7                       MS. KANE: Thank you. In keeping with the  
8           Federal Government commitment to the CCME guidelines as a  
9           minimum, I'd like to ask why with regards to siting and  
10          the incinerator at Victoria Junction, why you're not  
11          using the 1,500 metres siting criteria which is required  
12          for incineration facilities in the CCME guidelines?

13                      MR. POTTER: Madam Chair, I believe I've  
14          responded to this question previously but the response  
15          was that we will address and follow all appropriate  
16          regulatory requirements at the time of the licensing of  
17          that facility. The guideline again as I mentioned  
18          before, we feel is not appropriate for this situation.  
19          That the guideline that's being referenced is a 1992  
20          document for permanent facilities and as I say we will  
21          follow all appropriate guidelines and all appropriate  
22          requirements of the regulatory agencies at the time of  
23          permitting that facility.

24                      MS. KANE: Have you taken into  
25          consideration the mobile PCB -- I'm just curious -- the

1 mobile PCB incineration guidelines which are from 1990?

2 MR. DUNCAN: Just in summary, we did look  
3 at a number of jurisdictions and regulatory requirements  
4 associated with siting of temporary mobile PCB  
5 incinerators. In the siting study that was conducted as  
6 part -- as appended to the project description, we went  
7 through a number of legislation -- pieces of legislation  
8 and jurisdictions that do speak to the siting of mobile  
9 PCB incinerators. And talked specifically about the  
10 difficulty in finding standard references for siting  
11 criteria associated with these types of facilities.

12 The CCME requirements as indicated by Mr.  
13 Potter were for a fixed permanent hazardous waste  
14 facility which in this situation doesn't apply to the  
15 facility that we're -- that's being proposed as part of  
16 the project.

17 MS. KANE: Well, I'm not -- sorry.

18 THE CHAIRPERSON: No, do -- well, you have  
19 come to the end of your 20 minutes. I was about to ask a  
20 question of clarification, however, based on that. So I  
21 will do that. The mobile PCB guidelines, that's a  
22 Federal set of guidelines that's been referenced, is that  
23 correct? And what circumstances did they apply? Those  
24 are regulations, are they not? Not guidelines?

25 MR. DUNCAN: We're just doing a double-

1 check but we believe that the Federal PCB mobile  
2 regulations that we're referring to talk about the  
3 operations and -- of a PCB incinerator on Federal  
4 properties. That's the reference, I believe, that you're  
5 making.

6 THE CHAIRPERSON: And it's your intention  
7 that when you site the incinerator on the VJ lands that  
8 those lands will not be Federal lands? That's your  
9 intention?

10 MR. DUNCAN: I think as Mr. Potter  
11 indicated either yesterday or Saturday, that those lands  
12 will be Provincial lands and under the jurisdiction --  
13 the incinerator will be operated under the jurisdiction  
14 and the requirements of the Nova Scotia Department of  
15 Environment and Labour.

16 THE CHAIRPERSON: And that is the plan at  
17 the moment but that's not -- there's not commitment at  
18 the moment from the owner of those lands to transfer them  
19 to the Province? I'm sorry. I know we're going over  
20 some things you said yesterday and I don't always  
21 remember it but just to get this clear.

22 MR. POTTER: There is a Letter of Intent  
23 from the Province to the current land owner indicating  
24 that we have an interest in having control of that  
25 property when we get to the point of doing the

1 incineration there for I think purposes we've talked  
2 about before, being able to have access and control of  
3 the use of that land so that's correct, that's the extent  
4 of it. There's not been anything further than that?

5 THE CHAIRPERSON: Well, perhaps we might  
6 explore with the -- with a provincial regulator how the  
7 Provincial regulatory regime works different from the  
8 Federal. That might be of interest to the panel, I  
9 think.

10 Thank you very much, Ms. Kane. That  
11 brings us nicely to 4:58. So we are now going to take a  
12 break until 6:00.

13 Can I, before you go, with the people who  
14 are present, I'd just like to double-check who I have who  
15 are still interested in coming back for a second round of  
16 questioning. Let me just go through them please.

17 I understand not Environment Canada and  
18 not Health Canada. Am I wrong? Environment Canada. I  
19 was wrong. Yes, you're down for -- Health Canada? Do  
20 they wish to come -- do you wish to come back for a  
21 second round? Save Our Health Care Committee, yes.  
22 Grand Lake Roads Residents, yes. Sierra Club of Canada,  
23 yes. I see Mr. Ignasiak, yes. Eric Brophy -- Mr.  
24 Brophy? No. Mr. Harper, you said yes. Ms. Ouellette  
25 and Ms. Kane, yes. And I will check with Ms. Hendricksen

1 on whether we have additional names.

2 Thank you very much. We'll see you again  
3 at 6:00.

4

5 --- Upon recessing at 5:01 p.m.

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CERTIFICATE OF COURT REPORTERS

We, Janine Seymour, Philomena Drake, Sandy Adam, Gwen Smith-Dockrill and Ruth Bigio, Court Reporters, hereby certify that we have transcribed the foregoing and that it is a true and accurate transcript of the evidence given in this Public Hearing, SYDNEY TAR PONDS AND Coke Ovens SITES REMEDIATION PROJECT, taken by way of digital recording pursuant to Section 15 of the Court Reporters Act.

---

Janine Seymour, CCR  
Philomena Drake, CCR  
Sandy Adam, CCR  
Gwen Smith-Dockrill, CCR  
Ruth Bigio, CCR

Tuesday, May 2, 2006 at Halifax, Nova Scotia