

PUBLIC HEARING  
SYDNEY TAR PONDS AND COKE OVENS SITES  
REMEDIATION PROJECT

JOINT REVIEW PANEL

---

V O L U M E 4

---

HELD BEFORE: Ms. Lesley Griffiths, MCIP (Chair)  
Mr. William H.R. Charles, QC (Member)  
Dr. Louis LaPierre, Ph.D (Member)

PLACE HEARD: Sydney, Nova Scotia

DATE HEARD: Wednesday, May 3, 2006

PRESENTERS: Public Works Canada:  
Mr. Ken Swain  
Ms. Margaret Kenny  
Mr. Randy Vallis  
Mr. John Appleby  
Mr. Bruce Hilchey

---

Recorded by:  
Drake Recording Services Limited  
1592 Oxford Street  
Halifax, NS B3H 3Z4  
Per: Mark L. Aurini, Commissioner of Oaths

1 --- Upon commencing at 9:01 a.m.

2 THE CHAIRPERSON: Good morning, ladies  
3 and gentlemen.

4 I'd like to welcome you to this next day  
5 of hearings. We have three presentations scheduled for  
6 today from Public Works Canada and from NRCan and from  
7 Fisheries and Oceans.

8 But first, if we can begin with some  
9 housekeeping items.

10 So, I will turn to the proponents and ask  
11 if you have anything you wish to submit to us.

12 MR. POTTER: Not this morning, Madam  
13 Chairperson.

14 THE CHAIRPERSON: Okay. Thank you.

15 I would like to welcome the Presenters  
16 from Public Works Canada and ask you to begin your  
17 submission.

18 --- (PUBLIC WORKS CANADA) PRESENTATION BY KEN SWAIN

19 MR. SWAIN: Good morning, Madam Chair.

20 My name is Ken Swain and I'm the Atlantic  
21 Regional Director for Public Works and Government  
22 Services Canada, Office of Greening Government  
23 Operations.

24 I'm also the Federal Project Director for  
25 the Sydney Tar Ponds and Coke Ovens Remediation Project.

1 I grew up in Cape Breton, and I worked  
2 extensively elsewhere and now I live and work in Sydney.

3 In my work I've had almost 30 years  
4 experience in management consulting and audit of  
5 intergovernmental agreements and major projects including  
6 areas of accountability, assurance and advisory services.

7 I would like to take the opportunity to  
8 introduce those seated at my table.

9 Margaret Kenny is Director General of  
10 PWGSC's Office of Greening Government Operations and has  
11 had extensive experience in federal policy and the  
12 environment. She has been involved in this initiative  
13 for several years.

14 To her right is Bruce Hilchey. He's our  
15 Senior Legal Counsel for the project. Bruce supported  
16 the negotiation of the Memorandum of Agreement for this  
17 initiative and had responsibility for negotiation of its  
18 subsidiary agreements.

19 Bruce has over 30 years experience in  
20 Natural Resources, Aboriginal and Construction Law. He  
21 also has experience in legal issues associated with  
22 management and divestiture of contaminated sites.

23 To his right is Randy Vallis. Randy is  
24 our Senior Project Manager for the initiative. Randy has  
25 over 30 years experience in the environmental management

1 and remediation field and in contaminated site assessment  
2 and cleanup.

3 His work has included the Argentina  
4 Project, The Confederation Bridge and the cleanup of  
5 former DEW line sites. And to his right is John Appleby.

6 John is our Senior Environmental  
7 Assessment Manager for this initiative, and John has 25  
8 years experience in resource management and environmental  
9 assessment, including extensive major project experience.

10 I'd like to begin my remarks by -- to the  
11 Panel by thanking you, Ms. Griffiths and Dr. LaPierre and  
12 Mr. Charles for your significant work and diligence,  
13 which has allowed us to come together and -- over the  
14 past few days and the coming weeks to discuss the  
15 environmental acceptability of this project.

16 I would also like to thank those members  
17 of the public, special interest groups and governments  
18 who have recognized the importance of this Project to the  
19 people of Sydney, and who have spent a great deal of time  
20 developing an in-depth understanding of the complex  
21 issues surrounding this initiative.

22 The undertaking being proposed by the  
23 Sydney Tar Ponds Agency is not a simple one. This  
24 exercise touches deeply upon many issues. They include  
25 human health, the natural environment, the local and

1 regional economy, and the overall sense of well-being and  
2 comfort associated with living and working in Sydney.

3 I'd like to talk about PWGSC for a moment.

4 PWGSC has been assigned a lead role on the  
5 part of the Government of Canada by virtue of its mandate  
6 and experience, and as the primary common service arm of  
7 the federal government.

8 In fulfilling this role in the past, our  
9 department has managed such projects as the cleanup of  
10 the Argentia US naval base in Newfoundland. We are a  
11 primary service provider to Indian and Northern Affairs  
12 Canada in its efforts to remediate multiple contaminated  
13 sites in Northern Canada, and we are also the lead -- the  
14 federal lead for the Confederation Bridge project between  
15 New Brunswick and Prince Edward Island.

16 As some of you may know, we are not new  
17 to the Sydney Tar Ponds and Coke Ovens Sites and  
18 surrounding environs. For example, we manage the North  
19 of the Coke Ovens Human Health Risk assessment on behalf  
20 of Health Canada.

21 We also provided management expertise  
22 during the phased environmental site assessment of the  
23 sites currently under consideration, and a variety of  
24 environmental and engineering services to early stages of  
25 the site preparation initiatives for this Project.

1                   Our expertise in the management and  
2                   remediation of contaminated sites is well recognized  
3                   throughout the government and industry, and we are  
4                   pleased and proud to be able to bring our collective  
5                   experience to this initiative as well.

6                   I would like now to speak about the  
7                   Memorandum of Agreement which governs this initiative.

8                   In February of 2004, The Government of  
9                   Canada agreed that improving the environmental sites --  
10                  quality of the sites was necessary, and they agreed to  
11                  commit up to \$280 million dollars to the cleanup, as well  
12                  as some further funding for its own operational  
13                  obligations during the cleanup.

14                  At about the same time, the Government of  
15                  Canada started negotiations with the Province of Nova  
16                  Scotia toward the realization of a cost shared initiative  
17                  aimed at managing or eliminating environmental risk  
18                  associated with the sites. After these negotiations  
19                  concluded, the Minister of PWGSC, on behalf of the  
20                  Government of Canada, and the Premier of Nova Scotia, on  
21                  behalf of the Province of Nova Scotia signed a Memorandum  
22                  of Agreement on May 12, 2004, detailing the federal and  
23                  provincial commitments to the Project.

24                  This MOA also provided an initial scope to  
25                  the project, defined applicable timelines for its

1 implementation, defined other matters, and specified  
2 requirements respecting the development of project  
3 management and governance frameworks.

4 The MOA is specific with regard to the  
5 scope of the Project. Upon signing the MOA, the  
6 signatories agreed that the Project would include those  
7 main elements of the proposed Project which is currently  
8 before the Panel. To recap, these include:

- 9 - The removal and destruction of PCBs from  
10 the tar ponds as well as the removal and  
11 destruction of the contents of the tar  
12 cell on the Coke Ovens site with a proven  
13 technology such as high temperature  
14 incineration in a single use dedicated  
15 facility;
- 16 - The in-place treatment of the remaining  
17 contaminated material using proven  
18 technology such as bioremediation,  
19 solidification or other appropriate  
20 technology;
- 21 - The subsequent engineered containment of  
22 both sites;
- 23 - The site restoration and landscaping  
24 compatible with the natural surroundings  
25 and future use; and

1 - Provision for the ongoing future  
2 maintenance and monitoring of the sites  
3 for 25 years after completion of the  
4 Project.

5 This MOA also recognized the importance of  
6 establishing appropriate implementation agreements with  
7 the Province of Nova Scotia to accommodate and reflect  
8 comprehensive governance and accountability frameworks.

9 These agreements and the related  
10 frameworks were to be developed respecting the  
11 fundamental principles of sustainable development,  
12 protection of human health and the environment and  
13 sustainable economies.

14 The subsidiary agreements required by the  
15 MOA included: An interim governance and funding approval  
16 agreement; and an agreement concerning the process for  
17 undertaking preventative and preliminary works.

18 These two agreements have been negotiated  
19 and concluded as one agreement which governs -- this  
20 agreement governs our federal/provincial activities from  
21 the start of our work together until March 2007.

22 We refer ---

23 THE CHAIRPERSON: Mr. Swain, could I just  
24 interrupt you for a sec?

25 I just wonder if you could slow down just

1 a fraction, because you're reading from a text and I  
2 would like to really be able to follow. Just slightly  
3 slower.

4 MR. SWAIN: I'll do that. I may know it a  
5 little bit better myself by heart, so -- anyway the first  
6 two agreements were an interim governance and funding  
7 approval agreement and an agreement concerning the  
8 preventative and preliminary works.

9 And these two agreements were concluded as  
10 one agreement, and that's called an Interim Cost Share  
11 Agreement, and that has governed the start of our work  
12 together -- from the start of our work together until  
13 March 2007.

14 Two other implementation agreements are:  
15 An agreement describing in detail the specific elements  
16 of the Project -- and we refer to that as a Project  
17 Description agreement -- and a cost-share agreement for  
18 the entire Project.

19 And these two agreements are not yet  
20 concluded and they're only able to be concluded after  
21 completion of this environmental assessment and the  
22 government's consideration of the report of the Panel.

23 We were also required to conclude an  
24 agreement to carry out a joint environmental assessment.

25 This federal/provincial agreement provides

1 the framework for the joint environmental assessment that  
2 we are undertaking now, and that agreement was concluded  
3 between the Canadian Environmental Assessment Agency and  
4 Nova Scotia Environment and Labour.

5 And finally we were required to enter into  
6 an agreement to jointly appoint an independent engineer,  
7 setting out the duties of the independent engineer and  
8 the terms and conditions of the appointment.

9 That agreement was concluded and is in  
10 effect now and the independent engineer was appointed in  
11 October of 2005.

12 I've provided the Panel this morning with  
13 binders which contain these agreements, which have been  
14 concluded and with three of the management frameworks we  
15 have developed.

16 We are utilizing these tools to ensure  
17 that we meet our accountability and reporting  
18 requirements and our obligations to citizens that value  
19 is being achieved and that the funds have been utilized  
20 for their intended purpose.

21 These documents are subject to current and  
22 ongoing review and will undoubtedly take into account the  
23 deliberations after the receipt of the report of Panel  
24 recommendations.

25 So, what's the role of Public Works and

1 Government Services Canada in the initiative?

2 PWGSC has been assigned some of Canada's  
3 accountabilities for the Project and lead role in various  
4 aspects. Our role is to co-manage the administration of  
5 cost shared funds with the Nova Scotia Department of  
6 Transportation and Public Works, in accordance with the  
7 Memorandum of Agreement.

8 From the project's inception to its final  
9 completion we must ensure that the Project fits within  
10 the parameters identified in the MOA and the subsidiary  
11 implementation agreements. We must also make certain  
12 that the Project complies with federal and provincial  
13 requirements, including those related to environmental  
14 assessment.

15 In the latter regard, PWGSC is also a  
16 Responsible Authority for the Project pursuant to the  
17 Canadian Environmental Assessment Act. In this regard we  
18 play the lead role in the conduct of the Comprehensive  
19 Study Phase of the Assessment Process, which commenced in  
20 February 2005.

21 The outcomes of that phase directly  
22 resulted in the initiation of the current Panel process  
23 on May 2, 2005. At that time, a Ministerial Report was  
24 provided from our Minister to the Minister of Environment  
25 responsible for the Canadian Environmental Assessment

1 Act. This Report was accompanied by a letter from the  
2 PWGSC Minister recommending the Minister of Environment  
3 to refer the environmental assessment to a joint  
4 independent panel review process; a process that we are  
5 now undertaking.

6 PWGSC has also actively participated in  
7 and chaired a group of federal authorities and expert  
8 departments over the course of the Panel process to date.  
9 We refer to this as an interdepartmental discussion  
10 group.

11 The group has the overall role of ensuring  
12 that federal issues and areas of concern in relation to  
13 the environmental assessment have been adequately and  
14 effectively examined by all participants.

15 In addition to PWGSC, these participants  
16 have included: Environment Canada, Health Canada,  
17 Transport Canada, Fisheries and Oceans Canada and Natural  
18 Resources Canada.

19 These five departments provide scientific  
20 and regulatory advice in their domain with respect to the  
21 proposed project and its potential impact on health and  
22 the environment.

23 Our colleagues from Justice Canada have  
24 provided and will continue to provide all of the federal  
25 participants with advice to ensure that we are respecting

1 and complying with our legal obligations.

2 In addition, Enterprise Cape Breton  
3 participated in our discussions relative to their mandate  
4 for economic development and advocacy in the community.

5 So, what are the Project Parameters as  
6 laid out in the initiative.

7 The initiative has been negotiated and is  
8 defined in the Memorandum of Agreement. As we previously  
9 indicated, an agreement was required for interim  
10 governance and funding for the undertaking of preliminary  
11 and preventative works. These activities were to be  
12 funded out of the \$400 million dollars identified in the  
13 Memorandum of Agreement.

14 And the preliminary works refer to: The  
15 creation and establishment of the implementing agency,  
16 the Sydney Tar Ponds Agency, and the funding for its  
17 development and operations.

18 Such activities as the development of the  
19 detailed Project Description and the Environmental Impact  
20 Statement.

21 The costs related to the independent  
22 engineer's appointment and work over the duration of the  
23 Project.

24 Development of work breakdown structures,  
25 risk assessment strategies and a variety of requisite

1 management frameworks, legal costs and funding most  
2 activities related to this Panel Review process.

3 The preventative works refer to four other  
4 initiatives identified by the MOA and include: The  
5 realignment of the Whitney Pier water main from a  
6 location on a part of the site which was contaminated to  
7 a clean portion of the site.

8 The realignment of the Coke Ovens Brook  
9 from a contaminated stream bed to a newly constructed  
10 site, which includes newly created fish habitat. This  
11 work began last year and will be completed in 2006.

12 The decommissioning of the Cooling Pond  
13 formerly comprising part of the SYSCO operations will  
14 begin this year, and the construction of a protection  
15 barrier across the north Tar Pond at Battery Point will  
16 also begin this year.

17 I should point out at this time that these  
18 projects have been independently assessed under the  
19 Canadian Environmental Assessment Act, and are  
20 specifically part of the Project now before the Panel.

21 These developments are interesting in and  
22 of themselves. All are crucial to overall success of  
23 remediating the study area and improving local  
24 environments.

25 What's also important to understand,

1           however, is that these works including the Sydney Tar  
2           Ponds Agency's project management costs, the independent  
3           engineers costs and the other costs I referred to are  
4           also out of the \$400 million dollar amount allocated for  
5           the initiative, and they account for approximately \$72.5  
6           million dollars of the agreed upon funding.

7                         The MOA limits total funding to 400  
8           million, so I feel it's important to point out now that  
9           we have approximately \$327.5 million dollars of funding  
10          available for the Project currently being assessed by the  
11          Panel, and not \$400 million, as is commonly quoted in  
12          some media and elsewhere for the entire initiative.

13                        To elaborate briefly on this point, a  
14          crucial component to the assessment of alternatives to  
15          the project and alternative means of carrying out the  
16          Project is the principle of economic feasibility.

17                        This principle is required pursuant to the  
18          Canadian Environmental Assessment Act and its'  
19          consideration is also a requirement of the Environmental  
20          Impact Statement guidelines.

21                        In this regard, it is necessary to  
22          reiterate that our mandate is to manage the total  
23          Government of Canada financial commitment, not to exceed  
24          \$280 million dollars of the total \$400 million dollars.

25                        We consider economically feasible

1 alternatives to the project and economically feasible  
2 alternatives means of carrying out the Project, then, as  
3 being those alternatives which are affordable and within  
4 that funding envelope.

5 It's also an appropriate time to raise a  
6 related but distinctly different principle and that's of  
7 technical feasibility. It's also referred to by the  
8 Canadian Environmental Assessment Act and the EIS  
9 guidelines.

10 In this regard, the MOA is specific with  
11 regard to undertaking the Project using proven  
12 technology. As the federal lead department for the  
13 initiative, PWGSC takes this to mean technology  
14 previously successfully employed for projects of a  
15 similar size and nature. In this regard, we feel it's  
16 crucial that this be taken into consideration as the  
17 Panel develops related recommendations.

18 In terms of geographic extent, the MOA  
19 limits the Project subject to approved funding to the  
20 federally and provincially owned portions of the South  
21 and North Pond of Muggah Creed to Battery Point and the  
22 federally and provincially owned portions of the Coke  
23 Ovens site, including Mullins Bank.

24 PWGSC is satisfied that the footprint for  
25 the proposed Project is contained inside these

1 boundaries.

2 To summarize these points, we are  
3 satisfied that the proposed Project meets the parameters  
4 defined by the MOA.

5 To us, a project of this significance  
6 cannot be successful without the community's  
7 participation. We appreciate the opportunity afforded to  
8 the community to be fully engaged in this process and we  
9 want to move this initiative forward, one step further,  
10 by making sure that the community will benefit from the  
11 Project's activities.

12 To that effect, the Agency, the Sydney Tar  
13 Ponds Agency, has developed a comprehensive economic  
14 benefits strategy and we are confident that many local  
15 businesses will have the opportunity to directly benefit  
16 as a result.

17 As specified in the MOA, governments are  
18 also committed to hold discussions with the First Nation  
19 communities to enable meaningful economic participation  
20 in the Project. Over the past two years the Governments  
21 of Canada, Nova Scotia and of First Nations held  
22 discussions on the involvement of aboriginal owned  
23 companies in the Project.

24 This led to the signing of a Protocol  
25 Agreement on October 28th of last year. This agreement

1 will facilitate ongoing discussions with First Nations  
2 communities concerning future opportunities for  
3 meaningful participation in the Project, leading to the  
4 development of an aboriginal procurement strategy.

5 In this regard, we are pleased to see that  
6 Nova Scotia recently approved and tendered an aboriginal  
7 set-aside for a preventative works project, the  
8 decommissioning of the Sysco Cooling Pond, which is  
9 valued at several million dollars.

10 In addition, we are also committed to see  
11 the Project area rehabilitated to enable future  
12 development. In this regard, we have been working with  
13 various stakeholders, including the Province of Nova  
14 Scotia and the Cape Breton Regional Municipality to help  
15 facilitate future land use planning for this land in the  
16 heart of Sydney.

17 The implementation of those agreements and  
18 some of the adaptive management tools and frameworks  
19 required by the MOA are aimed at ensuring financial,  
20 managerial, legal and environmental accountability on the  
21 part of the governments over the course of project  
22 delivery. They've paved the way for the remediation and  
23 subsequent long-term management of the sites.

24 In real terms, this means that all  
25 necessary mechanisms are now in place to successfully

1 manage the Project as it is currently described, or with  
2 modifications depending upon the outcome of the Panel  
3 process and subsequent government decision making.

4 In closing remarks, we would confirm that  
5 we support this initiative, as proposed and being  
6 reviewed, subject to any required modifications which may  
7 be derived from consideration of your report of  
8 recommendations. We anxiously await your report as we  
9 move forward with this.

10 We are committed to full compliance with  
11 all federal and provincial requirements that affect our  
12 initiatives and we are committed to successful  
13 achievement of the cleanup. I know that our federal  
14 colleagues in Environment Canada, Health Canada,  
15 Transport Canada, Natural Resources Canada and Fisheries  
16 and Oceans Canada share this commitment with us.

17 I would like to thank the Panel and the  
18 participants at the hearing today and over the last few  
19 days for all your attention.

20 I look forward, as we all do I'm sure, to  
21 a successful outcome.

22 I'll now invite any questions which the  
23 Panel may have. Thanks.

24 THE CHAIRPERSON: Mr. Swain, thank you  
25 very much for your presentation.

1                   Before we do move to the questioning  
2 process, I am going to call a break for 20 minutes.

3                   You submitted a binder to us last night  
4 during -- while we were sitting in the hearings. We  
5 haven't had a chance to look at the contents of this, and  
6 for that reason we would like to confer before we begin  
7 the questioning.

8                   So, it is now 9:21. We will return and  
9 resume at 9:40.

10 RECESS: 9:21 A.M.

11 RESUME: 9:41 A.M.

12                   THE CHAIRPERSON: The Panel is going to  
13 proceed with questions.

14                   Before we do that, I know we've been  
15 receiving some questions regarding the process that will  
16 be used after the Panel questions.

17                   So, I would just like to clarify that.  
18 After the Panel has finished its questions to the  
19 Presenters, we will then proceed with questions from  
20 other participants, and as per our procedures for the  
21 hearing, the order of questioning will be -- the  
22 proponent, The Sydney Tar Ponds Agency, will be asked if  
23 they have any questions, and we will then move to the  
24 order that was on the roster that we were using  
25 yesterday.

1                   This means that the federal government,  
2 provincial government and municipal government will be  
3 asked if they have any questions. Following that,  
4 priority will be given to questions from other registered  
5 participants and before we start that process I may just  
6 go over the list of registered participants that I have,  
7 just to remind you who you are. Although, I'm sure you  
8 know.

9                   And after that, I will call for questions  
10 from anybody else who isn't registered.

11                   When you come to ask a question, we're  
12 going to again -- we'll see how much time we have. I  
13 will ask you to limit yourself. to come up and use the  
14 standing microphone in front of us, and I will ask you to  
15 limit yourself to one question and one follow-up  
16 question.

17                   If time allows, and there's still  
18 interest, I will go back and we can have a second round  
19 of questions.

20                   Now, in terms of the questions that the  
21 Panel is going to put to the Presenter, before we left  
22 for the break, I alluded to the fact that we had received  
23 the binder from the Presenters, the supporting documents  
24 submitted to the Joint Review Panel, May 3rd, and we had  
25 not had a chance to see this.

1                   These documents will be put on the public  
2 registry, where other participants will have a chance to  
3 review them, and therefore it is possible that we may  
4 need to ask you to return at some other point during the  
5 Panel process, to answer questions after, after we, and  
6 other participants, have had a chance to review these  
7 documents.

8 PUBLIC WORKS AND GOVERNMENT SERVICES CANADA (KEN  
9 SWAIN)

10 --- QUESTIONED BY THE JOINT REVIEW PANEL

11                   THE CHAIRPERSON: So, I guess the first  
12 question that I would like to ask, if you could clarify  
13 for us, in both actual dollar figures and percentages,  
14 exactly how the cost sharing is going to work in terms of  
15 the amounts that the federal government has committed to  
16 the preventative works and the amounts that have been  
17 committed to the Project that we are assessing, for the  
18 amounts and the split that that constitutes.

19                   MR. SWAIN: Yes, I can do that. The  
20 Memorandum of Agreement has cost ---

21                   THE CHAIRPERSON: Could you move a little  
22 closer to the mike, move it a little closer to you, so  
23 that you get a little louder.

24                   MR. SWAIN: The Memorandum of Agreement  
25 provides, under the Project Funding Component, which is

1 Section 2, an indication that the total cost of the  
2 Project shall not exceed \$400 million dollars, and that's  
3 Clause 2.1.

4 Clause 2.2 indicates that Nova Scotia  
5 shall contribute to the cost of the Project the lesser of  
6 40 percent of the actual cost incurred, or \$120 million  
7 dollars. And Canada shall contribute to the cost of the  
8 Project an amount that will not exceed \$280 million  
9 dollars.

10 In effect, what that means is that there's  
11 a 60/40, 60 percent federal, 40 percent provincial cost  
12 sharing ratio for the first \$300 million dollars. At  
13 that point the funding for the Project as laid out in the  
14 Memorandum of Agreement is 100 percent federal funding  
15 for the next \$100 million dollars.

16 THE CHAIRPERSON: This means that -- the  
17 cost sharing on the preventive works, how are you  
18 applying that?

19 MR. SWAIN: Yes, the ---

20 THE CHAIRPERSON: Do you apply it for  
21 units within that? The preventive works have been shared  
22 60/40?

23 MR. SWAIN: 60/40, yes.

24 THE CHAIRPERSON: And could you just get  
25 the dollars amounts for that, then?

1 MR. SWAIN: The current estimated cost of  
2 the preventive works are in the range of \$17 million  
3 dollars. These numbers fluctuate a little bit based upon  
4 the refinement of engineering estimates.

5 So they'll be shared 60/40. Sixty percent  
6 federal, 40 percent provincial.

7 THE CHAIRPERSON: So, this means that of  
8 the three of the -- now, just repeat for me the amount of  
9 money that you are saying is now left for the  
10 implementation of the Project that we have before us?

11 MR. SWAIN: \$327 and a half million  
12 dollars is the latest budgetary estimate.

13 THE CHAIRPERSON: So this means that the  
14 amount that's going to be cost shared 60/40 is 227.5  
15 million, and the last one hundred million is going to be  
16 a federal contribution.

17 MR. SWAIN: That's correct.

18 THE CHAIRPERSON: Could you explain  
19 whether, in fact -- where these dollar figures that are  
20 in the agreement are in 2004 dollars or are they indexed  
21 in some way?

22 MR. SWAIN: They were 2004 dollars.

23 THE CHAIRPERSON: I think it would be  
24 helpful to us and to other people in the hall, if you  
25 could fairly briefly walk us through the high points of

1 the supporting documents that you have provided.

2 MR. SWAIN: Sure, I can do that.

3 I've provided two -- as I referred to in  
4 the presentation -- two of the implementation agreements  
5 that we've concluded.

6 One is what's referred to as an interim  
7 cost share agreement, and that deals with our initial  
8 governance and funding arrangements that's between the  
9 Province of Nova Scotia, the federal government and it  
10 includes the Sydney Tar Ponds Agency, as part to that  
11 agreement, as they had specific responsibilities and  
12 reporting requirements.

13 That interim cost share agreement  
14 identifies the funding provisions, but it's intended to  
15 cover the activities related to the preliminary works,  
16 which included the establishment of the Implementing  
17 Agency, the Environmental Assessment and a number of  
18 other administrative and operational activities required  
19 to manage the project, and it actually included the four  
20 preventative works -- projects that we referred to.

21 So, that's the Interim Cost Share  
22 Agreement. It's structured consistent with the  
23 provisions of federal policy and federal accountability  
24 requirements with respect to a typical federal/provincial  
25 transfer payment arrangement.

1                   It respects those policies. It was  
2 negotiated with the Province of Nova Scotia over a period  
3 of several months, following the Public Works' assignment  
4 as federal lead of the Project, and it was effectively  
5 concluded late in 2004.

6                   The second agreement that I've provided  
7 you is -- and the duration of that agreement is to March  
8 2007. Just in context, we knew that this environmental  
9 assessment was required and we knew that the  
10 characteristics of the Project and the requirements for  
11 conducting the Project may change as a result of this  
12 environmental assessment. So, we decided that we would  
13 negotiate an interim agreement for the first approximate  
14 three year period of the initiative to deal with the  
15 activities so that we can move forward with creation of  
16 the infrastructure to manage the initiative and the  
17 preventive works projects.

18                   The second agreement that I've included in  
19 the binder I have before you is the Independent Engineer  
20 Agreement. And we were required, pursuant to the  
21 Memorandum of Agreement, to jointly appoint an  
22 Independent Engineer to essentially serve as a monitor, a  
23 watch-dog, if you will, on behalf of both federal and  
24 provincial governments, to assess that the engineer  
25 progress, the physical progress, the financial matters,

1 environmental compliance, those issues were being  
2 addressed by the Sydney Tar Ponds Agency during the life  
3 of the initiative.

4 That agreement is accompanied by a  
5 contract which has some confidential provisions, and the  
6 cost of the independent engineer's work over the 10 year  
7 life of the initiative is currently estimated to be about  
8 \$12 million dollars.

9 We can give you more information on the  
10 roll of the independent engineer if you so desire after.

11 The third document that you have in your  
12 binder is a Project Management Framework. And the  
13 purpose of a Project Management Framework is basically to  
14 refer us back to the Memorandum of Agreement, to consider  
15 how it should be managed in the context of effective  
16 project management requirements and effective project  
17 management practices.

18 What it does it lays out our  
19 accountabilities in respect of the Project from a federal  
20 perspective. It lays out provincial accountabilities for  
21 the Project, which consider the responsibilities of the  
22 Memorandum of Agreement, and it identifies that some of  
23 these are singular -- singularly federal  
24 responsibilities, some provincial responsibilities, while  
25 a number of them are joint responsibilities.

1                   There's a table, the third page in of that  
2                   framework, which identifies the federal/provincial joint  
3                   responsibilities.

4                   As you drill deeper into that document you  
5                   can see that there is an identification of the  
6                   Independent Engineer's responsibilities in a bit more  
7                   detail. As well, there's identification of going down to  
8                   committee structure and the responsibilities of  
9                   individual senior managers.

10                  In addition, there's a schematic in there,  
11                  which outlines the overall management structure for the  
12                  project and how things fit together.

13                  There third document -- the fourth  
14                  document, second framework, is called a Results Based  
15                  Management and Accountability Framework.

16                  This framework is built on a federal  
17                  policy and on a policy which requires some form of risk  
18                  assessment to ensure that essentially you are managing  
19                  all accountabilities and obligations and reporting  
20                  requirements for the Project.

21                  Again, it identifies and segregates the  
22                  accountabilities of the parties and ensures that we have  
23                  an appropriate structure built, so that we can meet our  
24                  responsibilities on behalf of the federal government, as  
25                  providing federal oversight of the Project, as well as

1 meeting our management, accounting and reporting  
2 requirements.

3 If you refer to the first long page, the  
4 first 8 1/2 x 14 page, which is page 12 of that document,  
5 you can see that we've built a logic model which  
6 essentially, if you take a bit of a look at that, it  
7 essentially describes the key elements of the Project and  
8 then builds up through to the outcomes on behalf of the  
9 Government of Canada.

10 The purpose of this is to ensure,  
11 typically, that we are achieving the proper outcomes and  
12 achieving results and value for money for taxpayers  
13 dollars.

14 So that is the Results Based Management  
15 Accountability Framework. It's a form of risk management  
16 and assessment that we use for the Project.

17 The fifth framework, again deals with  
18 risk. It's a Risk Based Audit Framework, and it's the  
19 last document in your binder. It's drilling down more  
20 into an auditing and verification exercise, where we want  
21 to make sure that we have appropriate controls in place  
22 to continue to monitor and account for the funding and  
23 for the outcomes that are required from the Project.

24 It lays out some requirements for  
25 procurement audits, it deals with audit and evaluation

1 issues, and we certainly intend to make sure that there  
2 is appropriate accountability and control over the  
3 outcomes here.

4 We know that we have a responsibility to  
5 do that, and we also know that we are certainly going to  
6 be subject to evaluation and subject to audits over the  
7 course of the Project, and we want to be prepared for  
8 those.

9 The first of those will happen in the  
10 third quarter of this year, when we have an independent  
11 audit and evaluation being conducted on the Project  
12 activities to date.

13 THE CHAIRPERSON: Thank you. Obviously  
14 there's a fair bit of detail in this document and we will  
15 be interested to take a closer look at it, and as I say  
16 may need -- have further questions.

17 I would -- I wonder if you could walk me  
18 through your involvement or Public Works Canada's  
19 involvement with the developments of the Project that is,  
20 in fact, being assessed now in terms of the selection of  
21 that particular option. If you could just tell me how  
22 much involvement you had in that.

23 Now, in the EIS on page 2-80, there's a  
24 reference to -- there's a brief description of the  
25 process whereby the RAER options were -- some additional

1 government generated options were added to the RAER  
2 options, and those were evaluated and the current Project  
3 was selected from that.

4 There is a reference to the fact that you  
5 participated in the recosting of the -- some of the RAER  
6 options, of redoing those cost estimates.

7 I'm just wondering, can you tell me how  
8 much involvement in that, and when you became involved in  
9 the evaluation or if you became involved in the  
10 evaluation of those options, noting that the -- in the  
11 Memorandum of Agreement, which -- that process is noted  
12 as taking place in 2003 -- but the Memorandum of  
13 Agreement was signed in 2004, and is it somewhat more  
14 general in terms of its scope, in terms of the actual  
15 technologies used, than what appeared to be the result  
16 that was coming forward in 2003.

17 MR. SWAIN: Yes. Just give me one moment.

18 During that period before our assumption  
19 of responsibility for leading the federal interest in the  
20 file, with the signing of the Memorandum of Agreement in  
21 May of 2004, up until that period -- and I believe I  
22 referred to it in our presentation to some extent -- we  
23 are a common service provider for the Government of  
24 Canada, and we did participate in some of these  
25 activities in providing some analysis, some support, and

1 as required by our client departments, who, in that case,  
2 were Environment Canada and Health Canada.

3 So our role would have been limited to one  
4 of support, but not of decision making.

5 THE CHAIRPERSON: Did you participate  
6 though in the -- in providing advice with respect to  
7 recosting some of those RAER options?

8 MR. SWAIN: I believe we did. I'll ask  
9 Randy Vallis to give you a bit of an explanation on that  
10 issue.

11 MR. VALLIS: Yes, back in June 5 of 2003,  
12 our engineers provided a report with respect to the  
13 preliminary risk analysis of the Sydney Tar Ponds and  
14 Coke Ovens site ---

15 THE CHAIRPERSON: Excuse me, could you  
16 move closer to the mike.

17 MR. VALLIS: Our mandate back in 2003, was  
18 Public Works provided, was to review the cost estimates  
19 presented in the RAER and to identify the likely range of  
20 project costs, should any confirmation of considerations  
21 of options proceed.

22 Our engineers sat down and reviewed all of  
23 the options in terms of project management costs and  
24 those items of that nature, and we provided back to them  
25 what we expected some of the issues that they should

1 consider. But as for the actual decision of which  
2 options to choose or select that was not in our mandate.

3 THE CHAIRPERSON: Thank you. Can I -- a  
4 point of clarification on the Memorandum of Agreement,  
5 1.2, the -- what's included in the project.

6 The first bullet -- just for  
7 clarification, the project shall include the removal and  
8 destruction of PCBs from the Tar Ponds.

9 I presume which PCBs are to be removed was  
10 not specified here, so -- as well as the removal and  
11 destruction to the contents of the tar cell, with a  
12 proven technology such as high temperature incineration  
13 in a single use dedicated facility.

14 I just want to know how is that to be  
15 interpreted? Is the single use dedicated facility a  
16 qualifier of the example of high temperature  
17 incineration, or is it a requirement of any proven  
18 technology to be use for the removal and destruction? I  
19 guess you could interpret it either way or the way that's  
20 -- but I'm sure you had some intent in mind.

21 MR. SWAIN: Your first question, removal  
22 of PCB's it is as is said, we did have a discussion about  
23 this outside of the negotiation. We weren't directly  
24 involved in the negotiation ourselves. We were  
25 supporting it. It does not indicate all PCB's but of the

1 PCB's the second item I believe you're correct. The  
2 single use dedicated facility is a qualifier to the high  
3 temperature incineration.

4 THE CHAIRPERSON: And not to any other  
5 technology that might be used for the removal and  
6 destruction?

7 MR. SWAIN: That's correct.

8 THE CHAIRPERSON: So we might want to put  
9 a comma after prudent technology? For each -- yeah. I  
10 guess a kind of follow up question for that is in terms  
11 -- are we to assume from this Memorandum of Agreement  
12 that any -- if any other version of the project, if the  
13 project does not, in fact, involve the removal and  
14 destruction of PCB's of some unidentified amount of PCB's  
15 from the Tar Ponds, if there were to be, for any reason  
16 whatsoever, a wish to change the description of the  
17 project to eliminate the removal and destruction of PCB's  
18 from the Tar Ponds, what would that do to this funding  
19 agreement, this Memorandum of Agreement?

20 MR. SWAIN: Yes, I believe I can answer  
21 that. The scope of the project as is defined under  
22 Clause 1.2 is preceded by the phrase "subject to a joint  
23 environmental assessment, the project shall include...".  
24 We respect the fact that this environmental assessment is  
25 a critical part of the planning process for the project

1 and we await the report of recommendations to have  
2 governments make decisions. We -- a part of that process  
3 as is required by the Canadian Environmental Assessment  
4 Act is that we require to get governor and council  
5 approval for the decisions in moving forward with the  
6 project.

7 Irrespective of whether or not there are  
8 any changes, as part of our direction we were directed  
9 that if there are changes to the project, to the scope of  
10 the project as is defined in the direction we have for  
11 which this scope is consistent with that, then we also  
12 have to go back to cabinet, the Federal cabinet with  
13 option or options for their consideration. So any  
14 decisions arising from our review of the recommendations  
15 will be subject to cabinet approval.

16 THE CHAIRPERSON: So do I understand that  
17 to mean that this -- that there is -- that the  
18 possibility of considering some change to the project  
19 that would result in it falling somewhat outside this  
20 list of five bullets, is potentially possible. You have  
21 contemplated that. It doesn't mean that this gets torn  
22 up and you're right back to square one? And does it say  
23 that in the Memorandum of Agreement somewhere?

24 MR. SWAIN: Yes, the -- we understand that  
25 -- in fact we understand, we believe there's an

1 alternative presented in the Environmental Impact  
2 Statement. And I think that wording "subject to a joint  
3 environmental assessment" was to consider the fact that  
4 this scope of project as is defined in the MOA may  
5 change. And we would be required to go back to Federal  
6 Ministers on our behalf to get approval for any changes.  
7 It would be their decision to approve or not.

8 THE CHAIRPERSON: Okay, thank you.

9 MR. CHARLES: I guess just for the benefit  
10 of all of us here today, the project has a cap on it of  
11 four hundred million and you've spent seventeen million  
12 as I -- am I correct, in that's what you said so far in  
13 preventative works or preliminary works?

14 MR. SWAIN: The ---

15 MR. CHARLES: I wasn't sure I caught the  
16 right figure.

17 MR. SWAIN: Not quite that much. The  
18 preventative works are in progress. One -- the one of  
19 lesser value is the Whitney Pier water line and that one  
20 is complete. The rerouting of the Coke Ovens Brook is in  
21 progress. And the other two have just been put out to  
22 tender. So the majority of that, approximately seventeen  
23 million dollars (\$17,000,000) is yet to be spent. To  
24 date, I believe the total expenditure on the project  
25 including this environmental assessment and the

1 operations -- the creation and operations of the  
2 implementing agency and other activities including the  
3 independent engineer is probably in the -- we don't have  
4 the detailed claims to date but it's probably in the  
5 range of about eleven to twelve million dollars (\$11 to  
6 12,000,000).

7 MR. CHARLES: Okay, I appreciate that  
8 information. I guess I was more concerned with the rest  
9 of the four hundred million. Do you consider that secure  
10 funding?

11 MR. SWAIN: To the extent that it's been  
12 approved in a budget but again according to the Act we're  
13 required to go back to governments with the options to  
14 proceed and those will be decisions of Ministers.

15 MR. CHARLES: So it's not a done deal?

16 MR. SWAIN: Not yet.

17 MR. CHARLES: Okay, the binder that you've  
18 given us does provide some details about institutional  
19 controls that you're trying to put into place. And I  
20 guess my question is, will the funding that is  
21 forthcoming as the project proceeds be tied to  
22 performance criteria?

23 MR. SWAIN: Yes, that's correct. The --  
24 there are performance criteria embedded in those  
25 frameworks.

1 MR. CHARLES: Because I haven't had a  
2 chance the read the thing in detail yet so that's the  
3 reason I had to ask the question. And the independent  
4 engineer, would one of his functions or her functions be  
5 passing judgment on performance and whether or not things  
6 have been completed in a satisfactory way.

7 MR. SWAIN: Yes, I can ask Randy Vallis to  
8 give a bit more complete description of the role of the  
9 independent engineer in some detail exactly what the  
10 independent engineer's responsibilities are, if you  
11 require that. Essentially they're to judge the physical  
12 and financial progress of the project to ensure that the  
13 physical project is progressing. That the engineering is  
14 being done and the works are being carried out in  
15 accordance with the design and as well, there are  
16 financial monitoring features in there to ensure that the  
17 funding is being used for its intended purpose.

18 And to ensure that we have -- there will  
19 be a cost to complete mechanism to ensure that the cost  
20 to complete the project is in line with the funding  
21 allocation that we have. If that's not sufficient, I can  
22 ask Randy if you want.

23 MR. CHARLES: No, that's fine for the  
24 moment. We may be coming back to you at a later date in  
25 any event but I guess my main question was to whom does

1 the independent engineer report?

2 MR. SWAIN: The independent engineer  
3 reports to Public Works and Government Services Canada  
4 and the Nova Scotia Department of Transportation and  
5 Public Works.

6 MR. CHARLES: So it's not to the Tar Ponds  
7 Agency necessarily?

8 MR. SWAIN: No the independent engineer is  
9 monitoring the activities of the Sydney Tar Ponds Agency  
10 and reporting to governments.

11 MR. CHARLES: That's what I wanted to make  
12 sure about.

13 MR. SWAIN: There's a bit, again, in the  
14 project management framework. There's perhaps a bit  
15 better explanation of that if you refer to that  
16 particular document.

17 MR. CHARLES: All right. Well, I'll wait  
18 till I read the document and then if I have any further  
19 questions we can go to it. The -- we had some discussion  
20 over the last couple of days about monitoring and how  
21 long any monitoring of the project effects would go on.  
22 And I -- my understanding is that there will be a  
23 monitoring period of 25 years running from the completion  
24 date of the project which we assume will be ten years so  
25 if you add 25 to that it means 35 years. And is Public

1 Works going to be involved in the monitoring aspect of  
2 the project?

3 MR. SWAIN: The current project you have  
4 before you has -- or the Memorandum of Agreement  
5 certainly has a mandate for PWGSC to be leading the  
6 Federal interest for the duration of the project,  
7 including the maintenance and monitoring period. The  
8 actual responsibility for dealing with monitoring will be  
9 the Province of Nova Scotia's. Upon completion of the  
10 project and it's referred to in the Memorandum of  
11 Agreement an issuance of a Certificate of Project  
12 Completion -- in other words when the remediation is  
13 completed, the Province of Nova Scotia will be required  
14 to take ownership of the sites. And at that point the  
15 responsibility for maintenance and monitoring of the  
16 sites and for dealing with any liabilities associated  
17 with them will be -- will rest with the Province. There  
18 is one exception to that which is the safeguard that we  
19 built in in the event of -- and it's referred to in  
20 Section 6.0 of the MOA in the context of final  
21 provisions. And that basically is in event there is a  
22 significant unforeseen issue or a required emergency  
23 response where in the opinion of an independent engineer  
24 there is some impairment of the project and in that case,  
25 in other words, from something completely unforeseen like

1 a natural disaster or an act of God, then the parties are  
2 required -- in other words, the Federal and Provincial  
3 governments are required to sit together and deal with  
4 that issue.

5 MR. CHARLES: And what happens in the --  
6 possible but we hope will never happen situation -- of a  
7 process or a technology being used that doesn't work.  
8 It's not a natural event. It's not an act of God. It's  
9 just a process that everyone thought would work but  
10 doesn't seem to work. What happens then? Who pays?  
11 What happens?

12 MR. SWAIN: Well, I think that would be --  
13 that may also be covered and obviously there would have  
14 to be some negotiation about this under Section 2.6. It  
15 would fall within 2.6 or 2.7 of the Memorandum of  
16 Agreement.

17 MR. CHARLES: You'd have to go back to  
18 cabinet and get more money?

19 MR. SWAIN: Well, we would -- I guess we  
20 would have to address the impact of that situation at the  
21 time. As well, there is a provision in the project  
22 management -- that's -- the Memorandum of Agreement there  
23 is a provision in the project management framework. It's  
24 on page 5 of that framework and it talks about default.  
25 Issues of default and there are two issues there. One is

1 called non-specified default where there's non-critical  
2 integrity or insurance issues which the implementing  
3 agency in Nova Scotia would have to deal with. And  
4 there's also a category of default referred to as  
5 specified default. And that's where there is some  
6 critical financial failure or project abandonment for  
7 which both parties would be responsible for resolution.  
8 So there are features in the agreements and the  
9 frameworks that we've developed to deal effectively with  
10 instances of that nature.

11 MR. CHARLES: So the agreement does take  
12 care of that eventuality if it were to happen but it's  
13 subject to sort of negotiation between the two funding  
14 parties?

15 MR. SWAIN: That's correct.

16 MR. CHARLES: I guess the other element  
17 that was raised was the issue about bonding provisions  
18 and the possibility of having to pay compensation at some  
19 point in time if the effects of the project are such that  
20 other people suffer some kind of economic harm or other  
21 harm. Is there anything in your agreements that you're  
22 aware of that provides for bonds to be put up by any of  
23 the contractors or anything like this?

24 MR. HILCHEY: Just -- to answer that  
25 question very quickly, if there are problems we'll be

1 going against the experts who are advising us that this  
2 is a project that works. In other words, we are relying  
3 on professionals that have expertise and if things go  
4 wrong they'll be served with Statements of Claim and  
5 we'll be going after them. For bonding that again is an  
6 issue that the Agency, the Proponent is handling all the  
7 contracting and the normal procedures that are used by  
8 the Province of Nova Scotia with respect to bonding,  
9 we've been told will be followed by the Agency in  
10 awarding contracts.

11 MR. CHARLES: So the Public Works doesn't  
12 have any particular conditions or provisions relating to  
13 bonding? You're relying on the Government of Nova Scotia  
14 or the Proponent to take care of that?

15 MR. HILCHEY: That's correct.

16 MR. CHARLES: Thank you very much.

17 THE CHAIRPERSON: Before handing over to  
18 Dr. LaPierre, I'd like to just ask a follow-up question  
19 on monitoring. You may very well have said this and if  
20 so, I apologize. It must have gone over my head. I just  
21 want to be clear as to, at what point does the active  
22 involvement of Public Works and with respect to kind of  
23 auditing performance on the projects and does it -- did  
24 you say that at the completion of the construction that  
25 then that's the end of the contract with the independent

1 engineer? That's my first question.

2 MR. SWAIN: No, I think -- I believe  
3 Public Works and Government Services Canada  
4 responsibility deals with the scope of the project which  
5 includes the 25 years monitoring and maintenance.

6 THE CHAIRPERSON: All right. So all the  
7 way through to the end of that 25 years you will still be  
8 performing this role of insuring adequate performance of  
9 the duties under the agreement, is that right?

10 MR. SWAIN: That will be our  
11 responsibility, yes.

12 THE CHAIRPERSON: Thank you.

13 DR. LAPIERRE: Thank you. I do have a few  
14 questions. I asked you to beg with me because I had a  
15 glance right quite quickly through some of your reports  
16 but I did look at the liability and the technical work,  
17 framework and I have just two questions. One of them is  
18 would the engineer that you're hiring -- you indicated he  
19 reports to both your department and to the Province. But  
20 would he be also reporting to the Citizens Committee,  
21 liaison strategy, could they tap into that engineer for  
22 advice because you do in your framework ensure a  
23 community liaison structure.

24 MR. SWAIN: Yes, it's possible. Certainly  
25 the Community Liaison Committee meets weekly or monthly,

1           excuse me and there are presentations and from time to  
2           time they request others to come and provide them with  
3           advice and provide them with some reports so I think that  
4           would be considered if the request came from the  
5           Community Liaison Committee to have that.

6                         DR. LAPIERRE: Another issue is Issue 4,  
7           page 9 of your management framework in which you identify  
8           that you'll adhere to standards and protection of  
9           environmental laws. I guess what I would ask is, would  
10          you require that all environmental standards meet or  
11          exceed Federal requirements.

12                        MR. SWAIN: Could you just give us one  
13          second here? Yes, we will meet or exceed the standards  
14          that are required for the project.

15                        DR. LAPIERRE: And that would also include  
16          the siting of -- and permitting of incinerator.

17                        MR. SWAIN: In the event that they were  
18          required under Federal law.

19                        DR. LAPIERRE: The next question I have is  
20          -- relates to project of this nature. Have you  
21          experience with such projects before, such as  
22          stabilization and incineration as they relate to a marine  
23          environment?

24                        MR. SWAIN: I'll ask Randy Vallis to speak  
25          to that issue.

1 MR. VALLIS: We haven't been involved  
2 personally as in our department to the best of my  
3 knowledge in stabilization, ourselves. But we do have  
4 people who are working with our department who have  
5 specific involvement who have come from private sector  
6 working with government, with stabilization. As for  
7 incineration, again, it's the same situation. We do, in  
8 Argentina we are involved in incineration there or should  
9 I say, low thermal desorption of some contaminants there.  
10 And personally I've had involvement with Goose Bay  
11 incineration.

12 DR. LAPIERRE: So are you satisfied that  
13 the EIS demonstrate that careful consideration has been  
14 given to the projects for post-technologies and  
15 alternatives for this project.

16 MR. SWAIN: I believe we were  
17 fundamentally relying on the work of the panel in that  
18 regard.

19 DR. LAPIERRE: I just wanted to know if  
20 you had done your own assessment.

21 MR. SWAIN: I believe this reverts back to  
22 our mandate and our primary responsibility is to  
23 administer the funds in relation to the project and the  
24 ensure that there is appropriate Federal oversight and  
25 that we have in place accountability and reporting

1 mechanisms to track all those. For issues related to the  
2 science and the Federal implication in those areas, we  
3 would rely on the mandates of our colleague departments  
4 in Environment and Health and Natural Resources Canada.  
5 And others to provide us with that guidance. And to  
6 provide the Federal lead, if you will, in those  
7 particular areas.

8 DR. LAPIERRE: Thank you. In the MEK  
9 document, the study shows that -- you did mention in your  
10 report -- and the study shows that showing use of land  
11 near the VJ site. And then there's a map -- I don't  
12 really have it in my mind -- but it stops at the boundary  
13 of the Phalen site. I guess the question I have, are you  
14 satisfied that the assessment of the current uses,  
15 resource uses is complete and satisfactory within that  
16 report?

17 MR. SWAIN: I guess, again, Dr. LaPierre,  
18 I would fall back on our mandate in respect of that and  
19 we would rely on the judgment of our colleague  
20 departments.

21 DR. LAPIERRE: And I guess my final  
22 question is, are your dollars department dollars or  
23 Treasury Board dollars?

24 MR. SWAIN: Could you clarify what that  
25 means?

1 DR. LAPIERRE: Have they been Treasury  
2 Board approved?

3 MR. SWAIN: Oh, excuse me. We had to seek  
4 Treasury Board approval for the initial implementation of  
5 the preventative works and preliminary activities. And  
6 when we looked at how we would approach this at the start  
7 of the initiative when we took over responsibility for  
8 the initiative with the signing of the MOA, we realized  
9 that we couldn't really go forward and satisfy all of the  
10 accountability requirements of Treasury Board with  
11 respect to the complete project.

12 As well we realized we had to get some of  
13 these accountability mechanisms in place to be able to  
14 get the full allocation. So at this point, what we were  
15 able to secure from Treasury Board was the funding for  
16 the interim cost share agreement for those preventative  
17 preliminary works that will bring us up to March, 2007.  
18 What are process at this point is briefly, upon receipt  
19 of report of panel recommendations the Provincial and  
20 Federal governments will be required to enter into a  
21 negotiation to see how we respond to the report of panel  
22 recommendations.

23 Once we have effectively seen what or  
24 developed what our options are at that point, we'll be  
25 required to go back to -- on our side to Federal Cabinet

1 with a cabinet submission to see that they approve the  
2 options selected or give guidance in that area. Give  
3 direction in that area. The next step in that process is  
4 that we'll have to go back to Treasury Board to seek the  
5 balance of the Government of Canada's two hundred and  
6 eighty million dollar (\$280,000,000) commitment or some  
7 other amount. If we're given direction by cabinet to  
8 seek some other amount.

9 DR. LAPIERRE: Thank you.

10 THE CHAIRPERSON: I just have a few more  
11 questions relating to the socio-economic effects of the  
12 project. I know this is something that you are  
13 interested in and you've referenced that. Well, first of  
14 all in your written submission to the panel which was  
15 Public Comment 37 it uses some of the same language  
16 that's found in the EIS, namely -- I quote, "Site  
17 restoration and landscaping compatible with the natural  
18 surroundings and future use." This is going to be a  
19 requirement for performance of this project. Do you have  
20 any comments about that requirement and are you, in fact,  
21 satisfied that the project that's as proposed and that  
22 the detail that we have in the -- that's been presented  
23 to us, in fact meets that requirement from your  
24 perspective?

25 MR. SWAIN: Yes, our understanding is that

1 the proposed future use of the site would be a mixture of  
2 park land and industrial commercial uses. And we're  
3 satisfied that the project as proposed can accommodate  
4 those particular uses. As well, we've had further  
5 discussions with other stakeholders on that matter with a  
6 view to getting clear vision on that.

7 THE CHAIRPERSON: Do you have any concerns  
8 about the viability of the proposed future uses on these  
9 sites with respect to the capacity of the capped and  
10 contained sites to support those uses in a way that is  
11 economically feasible?

12 MR. SWAIN: Yes, we do and I believe we're  
13 addressing them as we move forward.

14 THE CHAIRPERSON: My question -- so my  
15 question was do you have some concerns and you say yes --  
16 is that right, you are agreeing that you do have some  
17 concerns regarding the viability of future uses?

18 MR. SWAIN: Certainly, we're engaged in --  
19 I'll give you some context here. When we looked at some  
20 other significant contaminated sites last fall in the  
21 United States, one of the messages that was very strong  
22 and clear that we received from stakeholders in those  
23 communities was that you need to develop a clear vision  
24 of future site use as a means of insuring that something  
25 positive is out there.

1                   When we come back from those trips we did  
2                   find that we were able to initiate and facilitate some  
3                   discussion amongst a variety of stakeholders in the local  
4                   community. Initially that included the Cape Breton  
5                   Regional Municipality, their planning department as well  
6                   as the Province of Nova Scotia, some representation to  
7                   Sydney Tar Ponds Agency and it progressively has involved  
8                   other stakeholders in the community including the  
9                   university. Including the airport authority, the port  
10                  authority, the Chamber of Commerce and some other  
11                  entities.

12                  Basically there's a concept with CBRM and  
13                  they may perhaps be able to speak to this more  
14                  definitively in that there's a -- there is a view that  
15                  there is a corridor between the harbour in Sydney running  
16                  to the north of Grand Lake Road as far out as the airport  
17                  that they would like to get some strategic vision for the  
18                  future of CBRM. And the Sydney Tar Ponds and Coke Oven  
19                  sites lie within that corridor. Certainly some of those  
20                  entities including the airport authority and the port  
21                  authority and the university have their own strategic  
22                  direction but their long term objectives, although  
23                  they're certainly in control of them may also impact some  
24                  of the desired uses or some of the way that that corridor  
25                  which is in that adjacent or parallel to Grand Lake Road

1           how it may be developed.

2                               So from a strategic viewpoint we're  
3           discussing now -- we've established some -- a steering  
4           committee and a working committee to deal with that and  
5           we understand that the CBRM may take charge of that land  
6           use planning exercise. From our perspective, I believe  
7           the -- there certainly is concern about the use of the  
8           Tar Ponds site. I believe our -- that's where the  
9           parkland component of the future intended use may come  
10          in. The industrial commercial component may be more  
11          applicable to the Coke Oven site. So what we want to do  
12          is participate in the development of that overall concept  
13          but we want to make sure that any restrictions or any  
14          requirements to effectively protect the integrity of our  
15          sites are dealt with in the context of that broader land  
16          use planning exercise.

17                           THE CHAIRPERSON: Do you have any concerns  
18          about if there were a possibility that there would be a  
19          hiatus between the completion of the remediation project  
20          and the actual development of future land uses?

21                           MR. SWAIN: I believe we will still have,  
22          as I referred to earlier, responsibility for dealing with  
23          the ongoing monitoring and maintenance of the site so I  
24          believe that we will still be keeping an eye and making  
25          sure that there aren't any issues which affect the

1 integrity of the sites that we have control over.

2 THE CHAIRPERSON: Thank you very much, Mr.  
3 Swain.

4 MR. CHARLES: Just a follow-up on this  
5 monitoring, I may have misunderstood you earlier in terms  
6 of who has responsibility for the monitoring. I thought  
7 you just said now that Public Works would still be  
8 involved in monitoring. Now I'm not sure what period of  
9 time you're talking about but before I thought you said  
10 it would be turned over to the Province.

11 MR. SWAIN: Perhaps I misspoke. Certainly  
12 our responsibility will be one of oversight and insuring  
13 that the monitoring and maintenance of the site takes  
14 place in accordance with the requirements of the design  
15 which is to be developed in detail. But certainly as far  
16 as the responsibility for the monitoring it will be a  
17 Provincial responsibility, perhaps delegated to the  
18 Sydney Tar Ponds Agency but certainly the ownership of  
19 the sites reverts to the Province upon completion of the  
20 ten year project so that would be a Provincial  
21 responsibility. Our responsibility would be to make sure  
22 it happens.

23 MR. CHARLES: So you're looking at a three  
24 tiered possible monitoring system with the Tar Ponds  
25 Agency at the bottom, Nova Scotia supervising them and

1           them and then the Feds supervising Nova Scotia. Is that  
2           -- I mean, I'm simplifying it, I know but that's the way  
3           it sounds.

4                       MR. SWAIN: It's probably part of the  
5           checks and balances that are necessary in something of  
6           this nature.

7                       MR. CHARLES: Okay. Thank you.

8                       THE CHAIRPERSON: I would now turn to the  
9           Proponents, Sydney Tar Ponds Agency. Do you have any  
10          questions for Public Works Canada?

11                      MR. POTTER: Not at this time, Madam Chair  
12          but I would like to ask if we could revisit that later on  
13          depending on some of the questions that may be put to  
14          PWGSC, we have a chance to come back and ask questions at  
15          the end.

16                      THE CHAIRPERSON: So I'm now going to open  
17          up the questioning until 11:00 to people in the hall and  
18          as indicated yesterday, I'm -- I've -- most of the faces  
19          here look very familiar so you heard me say this  
20          yesterday, as you know, we -- I expect -- I fully expect  
21          that all questioning will be carried out in a concise and  
22          courteous manner. And so we are going to go by the order  
23          of the roster and just so you know, I won't necessarily  
24          throughout -- all the way through to May 19th, I may  
25          change this up so you may not always have to wait to the

1 end if you happen to be unlucky enough.

2 But for today, I'm going to use this order  
3 so I'm just going to ask is there any other  
4 representative of the Federal Government agencies who  
5 have any questions they'd like to place to the  
6 presenters? Are there any representatives of the  
7 Provincial Government have a question? CBRM, the  
8 Municipality? Okay, we can move directly to our  
9 registered participants. I'm just going to go over this  
10 list once. I'm sure you can remember roughly what order  
11 you're in. Mr. Donald Deleskie, the Return to Sender  
12 Coalition. I don't believe he's here. Cape Breton Save  
13 Our Health Care Committee, if you have a question. So in  
14 this one round, one question and a follow-up please.

15 PUBLIC WORKS AND GOVERNMENT SERVICES CANADA

16 --- QUESTIONED BY SAVE OUR HEALTH CARE COMMITTEE

17 MS. MACLELLAN: We will have a follow-up  
18 question as well. Who will make the final decision --  
19 this is from me through the Chair to Public Works -- who  
20 will make the final decision on the panel's findings?

21 MR. SWAIN: We, Public Works and  
22 Government Services Canada will leave the development of  
23 options in considering the panel recommendations along  
24 with the involvement of other Federal departments. And  
25 the decisions will be decisions of the Ministers of the

1 Government of Canada.

2 MS. MACLELLAN: So I'm having a little bit  
3 of difficulty hearing you. Perhaps maybe when -- you can  
4 speak into the mike a little bit better but am I to  
5 understand then that Public Works will make the decision  
6 and refer it back to Ministers for a decision?

7 MR. SWAIN: We will develop, through  
8 negotiations with the Province of Nova Scotia what the  
9 option or options may be in moving forward with the  
10 project and the decisions will be referred to Federal  
11 cabinet on behalf of the Government of Canada.

12 MS. MACLELLAN: So essentially, it will be  
13 a Federal decision?

14 MR. SWAIN: On our part, it will be a  
15 Federal decision. On the part of the Province of Nova  
16 Scotia it will be a Provincial decision.

17 MS. MACLELLAN: But at no point in time  
18 will the Federal Government walk away given the fact that  
19 60 percent of the funding comes from the Federal  
20 Government and all of -- and since Federal Government  
21 represents all of Canada and all of us Canadians, you  
22 will guarantee me that at no point in time will you walk  
23 away and let the Province have the final decision on the  
24 panel's findings?

25 MR. SWAIN: We have the responsibility to

1 manage ourselves in accordance with the Memorandum of  
2 Agreement and I don't believe the Federal Government will  
3 walk away. That's our current understanding. There is a  
4 legally binding Memorandum of Agreement that commits the  
5 Federal Government to this initiative.

6 MS. MACLELLAN: Yeah, I'm just asking this  
7 because somewhere on the web I found a little blip on an  
8 agreement that said that the panel decision would  
9 ultimately be in the hands of the Province. And it  
10 concerned me so much so that I put a letter to the  
11 Commissioner of Sustainable Development and the Auditor  
12 Generals' office and asked her to clarify this for us.

13 MR. SWAIN: No, this joint  
14 Federal/Provincial funding. So it's embodied in the  
15 Memorandum of Agreement that we have. The commitment's  
16 there.

17 MS. MACLELLAN: Thank you.

18 THE CHAIRPERSON: Thank you. Just to  
19 clarify, the Panel does not make a decision. The Panel  
20 makes -- prepares a report which includes  
21 recommendations. Just for use of mike purposes and the  
22 audibility and also because -- in fact, questions are  
23 being addressed through The Chair, when you answer if you  
24 answer to the Panel then you will be directed at the mike  
25 and it will be a little bit more audible, though I

1 appreciate why you wish to encompass the questioner as  
2 well. Kipin Industries is not here. Is that correct?  
3 Grand Lake Road Residents. Anybody here who has a  
4 question? Yes, Mr. Marmon.

5 --- QUESTIONED BY GRAND LAKE ROAD RESIDENTS

6 MR. MARMON: Dr. LaPierre asked if  
7 environmental laws would be followed and of course, the  
8 response was yes. But as CCM guidelines are not laws but  
9 guidelines, is Public Works responsible to ensure CCM  
10 guidelines will be followed as a condition of Federal  
11 funds being used on this project?

12 MR. SWAIN: I'd like to ask Randy Vallis  
13 to take that question please.

14 MR. VALLIS: As the implementing agency  
15 the STPA are required to respond and to carry out all  
16 applicable rules, regulations, guidelines and standards.  
17 Whatever they may be and they will be doing and applying  
18 those regulations to this project. And obviously we and  
19 Federal Government and Provincial Government will select  
20 legislation that is of the highest standards.

21 MR. MARMON: Thank you.

22 THE CHAIRPERSON: Cement Association of  
23 Canada. Portland Cement -- stop me if somebody's here on  
24 this list. Portland Cement Association. Cape Breton  
25 University. Dr. Ron MacCormick. Sydney Academy, Cape

1 Breton Chapter of JCI. Sydney and Area Chamber of  
2 Commerce. Cape Breton Partnership. Eco Canada. Sierra  
3 Club, do you have a question?

4 PUBLIC WORKS AND GOVERNMENT SERVICES CANADA

5 --- QUESTIONED BY SIERRA CLUB OF CANADA

6 MR. MARCOCCHIO: Thank you, Madam Chair.  
7 I'm asking a question on behalf of the Sierra Club of  
8 Canada. My name is Bruno Marcocchio.

9 THE CHAIRPERSON: Could you tip the mike  
10 so that we can ---

11 MR. MARCOCCHIO: Is that clear?

12 THE CHAIRPERSON: I don't know if it  
13 raises at all. You're a tall person.

14 MR. MARCOCCHIO: I'll lean in. Is that  
15 better?

16 THE CHAIRPERSON: It can be used as a  
17 hand-held mike, is that correct.

18 MR. MARCOCCHIO: No. Oh, actually it can.  
19 Yesterday, Madam Chair, Marlene Kane raised the Federal  
20 commitments that were made as part of the JAG process,  
21 that any Federal money spent on the project requires that  
22 the CCME guidelines are adhered to as a minimum. I have  
23 two letters here, one from the Honourable Sergio Marquis  
24 dated April 1977, where the Minister reiterates that at  
25 minimum, CCME guidelines will be adhered to in the

1 remediation of the Tar Ponds. And a second letter from  
2 David Anderson, the Minister of Environment to then MP  
3 Peter Mancini, both of which reiterate the Federal  
4 Government's commitment to comply at minimum with these  
5 CCME guidelines.

6 I'm not sure whether now is the  
7 appropriate time to enter these or during our evidence.  
8 I'll leave that with you, but my questions to Public  
9 Works and Government Services Canada are -- and I want to  
10 ask them, specifically, whether these guidelines, not  
11 legislation at minimum that had been promised us as a  
12 community, particularly with respect to a 1,500 metre set  
13 back from residential dwellings. But also that all  
14 contaminated sediments greater than 50 parts per million  
15 of PCB's will be excavated from the Tar Ponds and that  
16 the CCME Human Health Risk base soil quality guidelines  
17 will be adhered to in the remediation of the Sydney Tar  
18 Ponds and Coke Ovens.

19 MR. SWAIN: In answering these questions I  
20 would expect that we'd have to have a consult with  
21 Environment Canada on these issues and would like to ask  
22 for an undertaking to get back to provide the answers.

23 THE CHAIRPERSON: Okay, thank you. Well,  
24 we'll enter that into the record as a formal undertaking  
25 that you will provide an answer after consultation with

1 Environment Canada with respect to compliance or with  
2 CCME guidelines that were specified in the question. [u]  
3 Thank you. Do you have a follow-up question?

4 MR. MARCOCCHIO: Yes, there's a follow-up  
5 question that relates to this. It was another point that  
6 was raised yesterday. And that is a confusion about the  
7 boundaries of the project. It's our understanding from  
8 the Memorandum of Agreement that it includes the Tar  
9 Ponds. And that there's no specific reference to the  
10 eastern bank and this is particularly relevant with  
11 respect to the PCB contamination that has been  
12 acknowledged to exist under the slag pile that is  
13 continuous. That area for at least 100 metres to the  
14 east of the Tar Ponds was in fact, once part of that  
15 estuary.

16 And there is no artificial distinction  
17 drawn at the -- that edge of the slag pile and there's  
18 clearly contamination there. So my question to Public  
19 Works and Government Services Canada since this is  
20 Federal monies and they have a responsibility and  
21 oversight that they have outlined here today, to discuss  
22 if they would the responsibilities, particularly with  
23 respect to the migration of those PCB materials, hot  
24 spots in the unremediated areas directly adjacent, the --  
25 underneath the slag piles that are part of the Tar Ponds?

1 MR. SWAIN: I'll ask Bruce Hilchey to  
2 address that issue.

3 MR. HILCHEY: Those -- I believe the area  
4 you're talking to is the SYSCO site. SYSCO site.

5 MR. MARCOCCHIO: It's the area directly to  
6 the east of the shoreline of the Tar Ponds. These -- all  
7 of this area is the SYSCO site so I'm a little confused  
8 by your question.

9 MR. HILCHEY: And the Federal Government  
10 has taken the position that that's the responsibility if  
11 there is any responsibility of the -- of SYSCO.

12 MR. MARCOCCHIO: The question was the  
13 specific responsibility of the Federal Government and its  
14 agent, the Public Works and Government Services Canada  
15 with respect to the contamination and migration in the  
16 groundwater into the harbour, post-remediation if this  
17 area is not addressed.

18 MR. HILCHEY: Again, I can only rely on  
19 the advice of our experts that they are addressing it if  
20 it has an impact on the Tar Ponds but what is underneath  
21 the SYSCO site is SYSCO's land. It's their  
22 responsibility.

23 THE CHAIRPERSON: Thank you, Mr.  
24 Marcocchio for that question. Mr. Ignasiak, do you have  
25 a question.

1 MR. MARCOCCHIO: Madam Chair, my question  
2 about when the appropriate time to put these into  
3 testimony hasn't been responded to.

4 THE CHAIRPERSON: I think you could put  
5 them in now.

6 MR. MARCOCCHIO: Thank you.

7 THE CHAIRPERSON: Thank you.

8 MR. IGNASIAK: Madame Chair, one quick  
9 question. In his presentation, Mr. Swain has stated on  
10 at least two occasions that solidification stabilization  
11 of tar pond sediment is a proven technology.

12 Could he identify the source of  
13 information on the basis of which the Public Works and  
14 Government Services Canada concluded that solidification  
15 stabilization of tar pond sediment is a proven  
16 technology?

17 MR. SWAIN: Just one second. I'm just  
18 looking for the reference in my presentation. I believe  
19 the only place I mentioned in my presentation about -- in  
20 reference to -- was in reference to solidification, and  
21 it was quoted from the scope of the project detail in the  
22 Memorandum of Agreement, and it refers to:

23 "The in-place treatment of the remaining  
24 contaminated material using proven  
25 technology such as fire remediation,

1                   solidification or other appropriate  
2                   technology."

3                   As I had indicated previously, this is an  
4                   agreement that was negotiated between the federal and  
5                   provincial governments. The responsibility for Public  
6                   Works and Government Services Canada came in after that  
7                   agreement was negotiated, so the federal responsibility  
8                   up to that point was primarily with Environment Canada  
9                   and Health Canada, so I think I would have to refer that  
10                  question to Environment Canada to provide an appropriate  
11                  response.

12                  THE CHAIRPERSON: Well, for the purposes  
13                  of the Panel, I guess, a clarification is that you have  
14                  not -- the position -- that you've taken a position that  
15                  the stabilization and solidification for the purposes of  
16                  this project is a proven technology. Is that right?

17                  It's not that you're saying it isn't, but  
18                  that you haven't made a decision with respect to that?  
19                  Did you not answer Dr. LaPierre on that question that  
20                  you're looking for some guidance from the Environmental  
21                  Review?

22                  MR. SWAIN: Yes, we are supporting the  
23                  initiative in the project. The proposed project is  
24                  consistent with the scope of the project as outlined in  
25                  the Memorandum of Agreement, and we are relying on the

1 recommendations of the Review Panel to deal with issues  
2 such as this.

3 THE CHAIRPERSON: Thank you. Is there  
4 anyone here from Bennett Environmental or from the New  
5 Waterford and Area Fish and Game Association with a  
6 question?

7 Before I return to the top of the list for  
8 one more quick round, I will just speak to the proponent  
9 because you had indicated it's possible you might have a  
10 question.

11 --- QUESTIONED BY SYDNEY TAR PONDS AGENCY

12 MR. POTTER: Yes. I think the PWGSC has  
13 been clear on this, but I do want to ask the question one  
14 more time. Does PWGSC support the project?

15 MR. SWAIN: Yes. I'll answer that. We do  
16 support this project subject to any modifications which  
17 may be considered as an outcome of this Environmental  
18 Assessment process.

19 THE CHAIRPERSON: Returning to the list,  
20 unless I hear otherwise, I assume there's nobody here  
21 from Federal Government, Provincial Government or CBRM  
22 with a question now. The Save Our Health Care Committee,  
23 do you have one more question before we break?

24 --- QUESTIONED BY CAPE BRETON SAVE OUR HEALTH CARE

25 COMMITTEE

1 DR. ARGO: Thank you very much. I'm  
2 concerned -- my particular concern has always been with  
3 incineration and the health effects of incineration. I  
4 am concerned that incineration will be applied -- the  
5 wording is the it's a proven technology, and in terms of  
6 the technology, that may be so, but the after effects of  
7 incineration, if you will, are also proven.

8 Has this been -- in making the decision to  
9 include incineration as a proven technology in the  
10 Memorandum of Understanding, has any consideration been  
11 given to the after effects of incineration, the health  
12 effects to the people?

13 MR. SWAIN: Yes, I believe that's why that  
14 reference is in the Memorandum of Agreement. Certainly  
15 there has -- there was significant discussion in the  
16 development of the Memorandum of Agreement, I understand,  
17 with Environment Canada and Health Canada, and the reason  
18 why we're before this panel is to deal with that very  
19 issue, and in any discussion from the Federal Government,  
20 we again would refer to our federal colleagues, primarily  
21 in Environment Canada and Health Canada, to address  
22 issues of that nature.

23 THE CHAIRPERSON: Thank you. Mr. Marmon,  
24 do you have another question? Is there another question  
25 from the Sierra Club?

1 --- QUESTIONED BY SIERRA CLUB OF CANADA

2 MR. MARCOCCHIO: Thank you. The  
3 contamination from the Coke Ovens and the steel plant has  
4 been shown to be flowing and continuous off the Coke  
5 Ovens and Tar Ponds site into the residential  
6 communities.

7 Can Public Works and Government Services  
8 Canada please undertake to provide the Panel with its  
9 view that the joint governments are responsible for the  
10 care and control of this contamination?

11 MR. SWAIN: Could we get some further  
12 clarification on that? I'm not sure that I understand  
13 the question.

14 THE CHAIRPERSON: Could you ask what -- is  
15 there something specific you wish to have ---

16 MR. SWAIN: Could he repeat the question,  
17 please?

18 THE CHAIRPERSON: Oh. Could you repeat  
19 the question, please?

20 MR. MARCOCCHIO: Certainly. The  
21 contamination from the Coke Ovens and the steel plant has  
22 been shown to be flowing and continuous off the Coke  
23 Ovens and Tar Ponds site into the residential  
24 communities.

25 Can Public Works and Government Services

1 Canada please undertake to provide the Panel with its  
2 view that the joint governments are responsible for the  
3 care and control of this contamination?

4 MR. SWAIN: To the best of our  
5 understanding, I believe that there are -- there is no  
6 off-site migration to properties, but we would rely on  
7 the Sydney Tar Ponds Agency and our federal colleagues to  
8 address that issue.

9 THE CHAIRPERSON: Thank you, Mr. Swain.  
10 Do you have a very quick follow-up question for that?

11 MR. MARCOCCCHIO: Well, just -- yes. It's  
12 clear that there is migration from the Tar Ponds site  
13 into the community and eastward from the Coke Ovens site  
14 into the community that were referenced in the EIS, where  
15 it was pointed out that the appropriate regulators should  
16 be -- should address these issues, which is the genesis  
17 of this question to Public Works and Government Services  
18 Canada. It's rather confusing and stunning that they  
19 appear to be not aware of these issues outlined in the  
20 EIS.

21 So the question is are you aware of those  
22 issues and what action and what responsibility with  
23 respect to care and control does Public Works and  
24 Government Services Canada undertake?[u]

25 MR. SWAIN: Again I believe there's an

1 opportunity for us to discuss this with Environment  
2 Canada and Health Canada, and in so doing, I would expect  
3 that with your approval, we'll have an undertaking to do  
4 that.

5 THE CHAIRPERSON: Okay. We will take that  
6 as an undertaking. Thank you very much for that  
7 question.

8 DR. MARCOCCHIO: Thank you.

9 THE CHAIRPERSON: I will ask Mr. Ignasiak,  
10 and then I apologize, I forgot to put a call for  
11 questions from the public, but I will do that. Mr.  
12 Ignasiak, do you have another question? You have no  
13 other questions.

14 Are there members of the public in the  
15 hole[?] who have questions who are not registered  
16 participants? Yes. Please come forward to the mike.

17 --- QUESTIONED BY MS. ADA HEARN

18 MS. HEARN: My name is Ada Hearn. Thank  
19 you for your time. You said earlier that if things go  
20 wrong and the project fails, you have statements of claim  
21 from contractors and will go after them. Correct?

22 MR. HILCHEY: Yes.

23 MS. HEARN: Okay. Well, when the first  
24 clean-up failed, did you recoup money lost from those  
25 contractors who built the first incinerator, the failed

1 incinerator?

2 MR. HILCHEY: Well, at that time, it was -  
3 - Public Works wasn't involved in that project. Okay?  
4 We've -- I think that we've learned lessons from what has  
5 happened in the past. I couldn't speak -- I couldn't  
6 give you an answer on that. That wasn't -- it wasn't  
7 something we were involved with.

8 MS. HEARN: Who was?

9 MR. HILCHEY: I believe that was a  
10 provincial initiative.

11 MS. HEARN: So you do have guarantees to  
12 go after these contractors if this project fails?

13 MR. HILCHEY: Well, again, in any -- in  
14 any contracting situation, you start off hiring the best  
15 people that you can, the best experts, and we feel that  
16 based on what we've heard from the Sydney Tar Ponds  
17 Agency and its experts, that they are the best in the  
18 world.

19 Now, after that, it's a question of the  
20 contracting -- contractors doing the work as it's  
21 engineered, and in a project -- on any project, there can  
22 be unknowns, and we feel that there's a process in place  
23 to deal with unknowns before they get out of hand. But  
24 25 years ---

25 THE CHAIRPERSON: Could I perhaps -- oh,

1 I'm sorry.

2 MR. HILCHEY: I'm just saying, in 10 years  
3 from now, 25 years from now, we expect that this project  
4 will be there and it will be -- its integrity will be  
5 maintained and that there will not be any problems.  
6 Otherwise, we wouldn't be going into it at this point.

7 THE CHAIRPERSON: Well perhaps I could ask  
8 a follow-up question, if I may, to that. I guess -- I  
9 think what is being asked here is what involvement Public  
10 Works Canada in terms of your whole risk management  
11 approach that you're taking -- what role would ensuring  
12 that appropriate whatever, guarantees, bonding, what kind  
13 of insurance policies with respect to what -- do you have  
14 a role in making sure that those -- are they part of the  
15 tools that are used in ensuring the -- that the federal  
16 money is wisely invested in this whole project?

17 MR. SWAIN: I'll give an answer to that.  
18 Certainly I think we do have effective controls. We do  
19 provide advice with respect to contract law and  
20 construction law. We implement many -- many major  
21 projects in the federal system and deal with  
22 deficiencies, minor or major, on the part of contractors.

23 In this particular case, I'd also point  
24 back to the responsibilities of the independent engineer.  
25 They're on the job and have been engaged to work for the

1 duration of the project to deal with such issues as  
2 ensuring that appropriate contracting is carried out.  
3 They have a requirement to review all tender documents  
4 and all design to make sure that there are effective  
5 mechanisms in place to protect the public monies that are  
6 being used on this project.

7 THE CHAIRPERSON: Thank you. Did you have  
8 one more ---

9 MS. HEARN: Can I ask it quickly?

10 THE CHAIRPERSON: --- very quick question,  
11 and then I need to ---

12 MS. HEARN: Okay. Given the reduction in  
13 the environmental funding and/or environmental projects  
14 in the federal budget and the treasury funding that is in  
15 place until 2007, will this reduction -- how will this  
16 reduction affect your project? Thank you.

17 MR. SWAIN: We have no reason to believe  
18 that any of the -- any of the decisions -- I guess with  
19 respect to the recent budget is the reference -- will  
20 have any impact on our funding that has been allocated  
21 for this project. As far as I referred to earlier, we  
22 have a Memorandum of Agreement that provides for a  
23 federal contribution of up to two hundred and eighty  
24 million dollars (\$280,000,000) and that is what we expect  
25 to manage.

1 THE CHAIRPERSON: Is there anybody else  
2 from the public who has one question who hasn't asked  
3 one? Yes. And then I am going to call a brief break  
4 before our next presenter.

5 --- QUESTIONED BY MS. DEBBIE OUELETTE

6 MS. OUELETTE: Hi. My name is Debbie  
7 Ouelette, and I just heard you say that you don't think  
8 there's any migration coming off the Coke Ovens site and  
9 Tar Ponds. Is this true?

10 MR. SWAIN: I indicated that we would come  
11 back with some information in response to that issue.

12 MS. OUELETTE: Well if my memory corrects  
13 me, in September of 2001, they held a public meeting at  
14 Leisure Gardens, and their own employee for  
15 Transportation and Public Works stated -- and I'm pretty  
16 sure her name is Jason Bryson -- I'm not sure if I got  
17 the last name right -- that the same substance that was  
18 in the brook was the same substance that was in the  
19 Frederick Street homes. And this -- the brook that she  
20 was talking about would be the Frederick Street brook,  
21 and the homes that I'm talking about would be Frederick  
22 Street homes.

23 THE CHAIRPERSON: So perhaps you could  
24 take that input into consideration when you respond as  
25 you've undertaken to do so.

1 MR. SWAIN: I would just like to make a  
2 comment.

3 THE CHAIRPERSON: Sure.

4 MR. SWAIN: I believe she's referring to  
5 the Provincial Department of Transportation and Public  
6 Works, and we are with the Federal Department of Public  
7 Works and Government Services Canada.

8 THE CHAIRPERSON: Okay. Thank you for  
9 that clarification.

10 MS. OUELETTE: Yeah, I don't know who I'm  
11 referring to. I thought it was Public Works and  
12 Transportation and Public Service that said that. But I  
13 also have her on video stating that, so if you want that,  
14 I can provide it to you.

15 THE CHAIRPERSON: Thank you. I am going  
16 to cut off the questioning now. And I want to thank  
17 Public Works. As I said, we may need to come back with  
18 questions.

19 If the representatives of Fisheries and  
20 Oceans are here, you are scheduled to start at 11:00.  
21 I'm wondering if we can take a brief break, whether your  
22 timing will allow that.

23 Okay. We're going to take a 15-minute  
24 break, and then we will return at 11:15.

25 RECESS - 11:04 a.m.

1 RESUME - 11:20 a.m.

2 THE CHAIRPERSON: We'll resume. Before I  
3 turn to our next presenter, I'd just like to apologize to  
4 Public Works Canada. I don't think I thanked the  
5 presenters properly for their presentation and also for  
6 answering questions, so I pass those thanks on.

7 Our next presenters are from Fisheries and  
8 Oceans Canada.

9 --- (PRESENTATION BY DEPARTMENT OF FISHERIES AND OCEANS  
10 CANADA) CAROL ANN ROSE

11 MS. ROSE: Good morning. I'd like to  
12 first start off by introducing the representatives from  
13 Department of Fisheries and Oceans. Let's start with  
14 myself. I'm Carol Ann Rose, Acting Regional Director of  
15 Oceans and Habitat Branch, working with the Maritimes  
16 Region and based in Dartmouth, Nova Scotia.

17 I have with me -- and I'll go to my right  
18 -- Dr. Philip Yeats, Head of the Marine Chemistry  
19 Department with DFO, Maritimes Region. Dr. Yeats has  
20 extensive experience in marine contaminants including  
21 research in Sydney Harbour.

22 Next to Dr. Yeats is Mark MacLean. Mark  
23 is our Senior Environmental Analyst for environmental  
24 assessment in major projects, who has been coordinating  
25 DFO's involvement in the review of this project.

1                   Next is Gus van Helvoort. Gus is the Area  
2 Director for Eastern Nova Scotia of Department of  
3 Fisheries and Oceans, Maritimes Region.

4                   Next is Craig Hominick. Craig is the Area  
5 Habitat Coordinator for Eastern Nova Scotia.

6                   And Henry Caracristi is our Senior  
7 Engineering Technologist with Diadromous Fish Division at  
8 BIO in Dartmouth.

9                   I'd like to thank the Panel for providing  
10 DFO with the opportunity to participate in this review  
11 process. As a Federal Department with expert information  
12 related to Sydney Tar Ponds and Coke Ovens Remediation  
13 Project, DFO would like to take a few minutes to explain  
14 our overall mandate, our involvement in the review of  
15 this project, and identify a couple of issues that DFO  
16 would like to see addressed.

17                   I will not be going into any detail on our  
18 comments provided during the review of the EIS during  
19 this presentation, but DFO staff will be available for  
20 any questions from the Panel or the public during the  
21 panel hearings.

22                   DFO's overall mandate can be broken down  
23 into three main areas: sustainable fisheries and  
24 aquaculture, safe and accessible waterways, healthy and  
25 productive aquatic ecosystems.

1                    Fisheries and Oceans Canada is a science-  
2                    based department which uses research to develop Canada's  
3                    aquatic resources in a sustainable way. DFO, through the  
4                    Canadian Coast Guard, is helping to keep our waters safe  
5                    and accessible for mariners and all Canadians.

6                    For healthy and productive aquatic  
7                    ecosystems, DFO is working to keep our oceans, lakes and  
8                    rivers healthy, productive and sustainable through  
9                    various programs such as Eastern Scotian Shelf Integrated  
10                    Management Initiative, Bras d'Or Lakes Collaborative  
11                    Environmental Planning Initiative, and Habitat Management  
12                    Stewardship Framework.

13                    We also work with partners to ensure  
14                    strong and consistent environment rules and standards.  
15                    For example, since 1978, responsibilities for the  
16                    Fisheries Act have been shared between DFO and  
17                    Environment Canada. DFO is responsible for provisions of  
18                    the Act that protect fish, fish habitat and the  
19                    management of fish, whereas Environment Canada is  
20                    responsible for ensuring the prevention of polluting  
21                    substances from entering waters frequented by fish.

22                    Under DFO's mandate, there are a number of  
23                    core activities administered by a number of branches  
24                    within DFO. Oceans and Habitat Management Branch is  
25                    responsible for the management of fish habitat,

1 environmental assessment, the Oceans Act, and Species at  
2 Risk Act. The Environmental Assessment and Major  
3 Projects Division of Oceans and Habitat Management Branch  
4 is the lead for DFO's involvement in the review of this  
5 project.

6 The Science Branch is involved in  
7 fisheries and ecosystem research, oceanography,  
8 international studies and technology transfer, and has  
9 been involved in the review of this EIS.

10 Fisheries and Aquaculture Management  
11 Branch is responsible for numerous Acts and Regulations  
12 including the Fisheries Act and its regulations and the  
13 enforcement of those pieces of legislation. Fisheries  
14 Management and Aquaculture Branch looks after management  
15 activities concerning commercial fisheries, recreational  
16 and aboriginal fisheries, as well as aquaculture in  
17 collaboration with the provinces.

18 The Coast Guard is in charge of  
19 navigational aids, search and rescue and Maritime  
20 security.

21 Canadian Hydrographic Services, which is a  
22 part of our Science Branch, does seabed mapping and  
23 hydrographic charts and publications of those charts.

24 Small Craft Harbours Branch works to keep  
25 federal harbours open and in good repair.

1                   At this time, I'd like to hand the  
2 presentation over to Dr. Yeats to discuss DFO research  
3 relevant to this project.

4                   DR. YEATS: Thank you. My name is Phil  
5 Yeats. I'm a Marine Chemist at the Bedford Institute and  
6 have been there working on contamination problems and  
7 contaminant research for more than 30 years, and I'm  
8 currently responsible for management of the Institute's  
9 Chemical Contaminants Program.

10                  My job here is to take a few minutes and  
11 briefly review some of the recent research we have  
12 conducted in Sydney Harbour.

13                  Beginning in 1999, DFO Science, in  
14 collaboration with scientists from Environment Canada,  
15 Trent University, Dalhousie University and the National  
16 Research Council, led a multi-disciplinary research  
17 program to assess the environmental effects of  
18 contaminants in Sydney Harbour.

19                  This work was conducted to reassess the  
20 levels that resulted in closure of the lobster fishery in  
21 the early 1980s to identify other potential impacts of  
22 contaminants in the harbour and to generate data that  
23 could be used to develop monitoring tools to monitor  
24 possible detrimental effects on the harbour from  
25 remediation of the Tar Ponds site.

1                   The information presented here is from the  
2 Toxic Substances Research Initiative Project No. 93,  
3 which is available on the Project Registry.

4                   This work began with the collection of  
5 sediment samples, water samples and benthic macro fauna  
6 samples throughout Sydney Harbour, including both arms of  
7 the harbour and the area that's been referred to as the  
8 trunk. No samples were collected from the Tar Ponds  
9 themselves, which were considered outside the scope of  
10 this research.

11                   Work that we did that should be relevant  
12 to this review includes the identification of chemicals  
13 of concern and their concentrations within Sydney Harbour  
14 water and sediments, the development of analytical  
15 methods to trace and predict the transfer and fate of  
16 multiple contaminants within the harbour, an assessment  
17 of the cumulative effects of toxic substances on the  
18 marine ecosystem, and an assessment of the natural  
19 remediation capacity of the sediments.

20                   The work of DFO and our partners resulted  
21 in several tools which can be used to identify and  
22 monitor changes in Sydney Harbour. The research resulted  
23 in the production of maps for contaminant distributions  
24 and concentrations, maps of mensic diversity and  
25 microbial activity which can be used as baseline -- all

1 of which can be used as baseline data for monitoring of  
2 habitat recovery after remediation.

3 Through the sediment sampling, we were  
4 able to identify areas where the sediments exceeded  
5 regulatory quality -- environment quality guidelines or  
6 the CCME Guidelines that have been referred to several  
7 times, and through the analysis of sediment core samples,  
8 we were able to establish historical records of  
9 contaminant inputs such as PAHs, PCBs and metals.

10 Through a review of the physical  
11 oceanography and understanding of the chemistry of the  
12 sediments, a Contaminant Sediment Transport Model for  
13 PAHs in Sydney Harbour was developed.

14 Now the next three slides illustrate a few  
15 of these results. This is one of the maps that we have  
16 produced which show current levels of contaminants in  
17 Sydney Harbour. These can be used to establish baseline  
18 conditions prior to any remediation work and to help  
19 identify potential monitoring locations.

20 This map shows the levels of naphthalene,  
21 a polycyclic aromatic hydrocarbon, or a PAH, in Sydney  
22 Harbour's official sediments.

23 The CCME Guidelines for naphthalene is 34  
24 micrograms per gram, so only -- the only part of this  
25 picture of the naphthalene concentrations that would be

1 above the guidelines is the area that shows up in red on  
2 this plot, so a fairly small area of the harbour that's  
3 actually above the guidelines.

4 We have similar maps for other PAHs, for  
5 PCBs, for lead and mercury and other metals, and they all  
6 show a -- qualitatively, a rather similar picture to this  
7 one for naphthalene.

8 This one is on the Historical Record of  
9 Contaminants. This picture of the historical records of  
10 contaminants was based on core samples from marine  
11 sediments collected in 1990 to 2001.

12 By taking a core of marine sediment and  
13 knowing the natural decay rates of some radio nuclei, we  
14 were able to determine the date when each level in the  
15 core was deposited. By determining the amounts of  
16 contaminants in each of the levels, we can identify what  
17 the concentrations of contaminants were at the periods  
18 that they were deposited.

19 This graph illustrates the build-up of  
20 contaminants that occurred at one of these cores in the  
21 central part of the harbour.

22 The plot has -- the plot, just to try to  
23 explain this a little bit, has concentrations of various  
24 contaminants on the vertical axis, and depth in the core  
25 -- surface of the core is on the left and the bottom of

1 the core on the right on the horizontal axis, but the  
2 depths in the core are not expressed as in centimetres  
3 deep in the core, but they're expressed as the dates at  
4 which the deposition occurred.

5 So what we can see here on this plot is  
6 that back in the -- round 1900 or before 1900, the  
7 concentrations at the bottom of the core were at  
8 background levels -- for something like PAH or a PCB,  
9 there was zero -- for metals, there was a small amount  
10 but it was in the natural background -- and that the  
11 concentrations increased throughout the 1900s to some  
12 sort of a maximum of about 20 years or so for virtually  
13 all of the contaminants.

14 And what's interesting to us here is that  
15 since about 1980 or so, there has been decreasing  
16 concentrations from those maximum concentrations up to  
17 the surface of the cores.

18 My final illustration of the kinds of  
19 results we picture is a -- is an output from our PAH  
20 model. Using our understanding of the currents and  
21 tides, this has allowed us to develop predictive models  
22 for PAH transport within the harbour and the movement of  
23 the PAHs out of the harbour.

24 This model needs a knowledge of the  
25 physics, the water circulation, it needs a knowledge of

1 the chemistry of the contaminant of interest, and it  
2 needs knowledge on inputs and concentrations at the  
3 individual sites, and it uses all of these to predict the  
4 distributions of these contaminants in the harbour.

5 This slide just show, for illustrative  
6 purposes, several manifestations of the model output that  
7 comes from this model, and it could be a useful tool in  
8 terms of assessing this situation and monitoring in the  
9 future.

10 So in summary, our studies have described  
11 the distributions of contaminants in the water and  
12 sediments, and with the observed decline in the level of  
13 contaminant concentrations in recently deposited  
14 sedimentary material, we now have -- see that the main  
15 inventory of contaminants resides at 10 to 30 centimetres  
16 deep in the sediments.

17 Further, these inventories continue to be  
18 buried at a rate of about .2 to 2 centimetres per year.  
19 So each year, this -- the most contaminated sediments get  
20 buried even deeper.

21 Also, we found that the Sydney Harbour  
22 sediments possess PAH degrading bacteria, as well as  
23 bacteria with a genetic potential to degrade PCBs. These  
24 will result in a natural degradation of the organic  
25 contaminants present in the harbour sediments. These two

1 factors result in a natural remediation of the sediments  
2 and a burial of the most contaminated sediments, and in  
3 general, some improvement in sediment quality as we  
4 proceed.

5 That's the end of my presentation. I'll  
6 now pass it back to Carol Ann to carry on.

7 MS. ROSE: Thank you, Phil. DFO has  
8 determined that an authorization under the Fisheries Act  
9 for harmful alteration, disruption or destruction of fish  
10 habitat is not required. The severely degraded  
11 environment of the Tar Ponds does not provide for fish  
12 and fish habitat which can support a fishery.

13 DFO, together with Environment Canada, has  
14 conducted research on the distribution and fate of  
15 contaminants in Sydney Harbour. This research has been  
16 made available to the Tar Ponds Agency, the Panel and the  
17 public.

18 DFO staff involved in this research have  
19 reviewed the EIS and provided comment. Other areas of  
20 DFO, such as Habitat Management, have also provided input  
21 on the importance of fish passage.

22 Given DFO's mandate and past experience in  
23 the area, we will offer assistance in developing and  
24 reviewing any required monitoring or follow-up for marine  
25 or fresh water environment.

1                   The preventative works, namely, the Coke  
2                   Ovens Brook Realignment and the main remediation project,  
3                   should result in a restoration of damaged fresh water  
4                   habitat which supports DFO policy objective to achieve a  
5                   net gain of productive capacity of fish habitat.

6                   Given our past research on contaminants in  
7                   Sydney Harbour, DFO raised the need for monitoring of the  
8                   harbour sediments to determine any impacts as well as  
9                   effectiveness of any remediation efforts on the marine  
10                  benthic habitat in the harbour. Questions were raised by  
11                  DFO on the design of the Battery Point barrier and the  
12                  main tar pond channel to ensure a fish passage could be  
13                  maintained after the remediation was completed.

14                  Given the current level of contaminants,  
15                  the Panel may question the need for maintaining or  
16                  improving fish passage through the Tar Ponds.

17                  Upper areas of the watershed, including  
18                  Wash Brook, have good fish habitat. Community groups  
19                  such as the Atlantic Coastal Action Program, Cape Breton,  
20                  have worked with community volunteers to install fish  
21                  habitat enhancement structures in Wash Brook. To date,  
22                  close to 30 habitat improvement structures have been  
23                  installed as well as planting riparian vegetation on the  
24                  Wash Brook.

25                  As part of the Coke Ovens Brook

1 Realignment Project, the proponent has committed to  
2 creating new clean channels with suitable fish habitat  
3 structures. Not only will providing for fish movement  
4 and critical habitat be a step forward in restoring the  
5 local environment, but the presence and health of fish  
6 will be a valuable indicator for the overall health of  
7 the watershed.

8 As a result of our view of the EIS, DFO  
9 would like to see a commitment for monitoring of  
10 contaminants in the harbour to ensure that any potential  
11 increase of contaminants entering the harbour is not  
12 having a long-term negative impact on the marine benthic  
13 habitat.

14 The design of a monitoring program should  
15 arise from a risk assessment of contaminants entering the  
16 harbour as requested by Environment Canada in their  
17 comments to the Panel.

18 DFO would also like to be consulted during  
19 the design and construction of the new channels to ensure  
20 they provide for fish passage to more suitable areas in  
21 the upper reaches of the Wash and Coke Ovens Brook area.  
22 This involves more than just removing barriers, but  
23 ensuring that the channels are optimized to enable fish  
24 to migrate through the system.

25 DFO would also like to see the proponent

1           commit to monitoring fish abundance and health in the  
2           watershed. An understanding of long-term trends in the  
3           fish population will be a valuable indicator for the  
4           overall health of the aquatic system. Thank you.

5           --- QUESTIONED BY THE JOINT REVIEW PANEL

6                         THE CHAIRPERSON: Thank you very much for  
7           your presentation. We are going to begin with questions  
8           from the Panel. If you've seen the schedule, the way  
9           we've organized things is that we will have questions,  
10          and we will break at 12:00 noon and we will come back at  
11          1:00 and resume questions.

12                        I just want to start off with two quick  
13          questions before turning this over to Dr. LaPierre. The  
14          first one is I'm just interested in the photograph of  
15          Wash Brook that you used in the presentation.  
16          Whereabouts is that in Sydney? Not where is Wash Brook,  
17          but where -- where -- those habitat improvements, how far  
18          up?

19                        MR. MCLEAN: ACAP, Cape Breton, was  
20          involved in restoration in the upper areas. I guess it's  
21          down from -- I'm trying to remember the -- Mud Lake area.  
22          So just downstream of that area, there's a trail system  
23          that developed in a suburb area, and I could provide you  
24          with the map showing where the structures are if you'd  
25          like.

1 THE CHAIRPERSON: Yes, I would appreciate  
2 that, please. So we'll take that as an undertaking that  
3 you're going to provide [u] a map showing ACAP fish  
4 habitat structures and improvements on Wash Brook. Okay.  
5 Thank you.

6 My second question for Dr. Yeats was if  
7 you could -- you indicated that there are two processes  
8 going on with respect to existing contaminants in Sydney  
9 Harbour, one being a capping with cleaner sediments, and  
10 the second being the microbial action. Is there a point  
11 at which the two start to work against each other, that  
12 sufficient depth of new cleaner sediments inhibits  
13 microbial action?

14 DR. YEATS: I don't have the actual answer  
15 for that, but it would seem logical that that would  
16 happen. As you get deeper in the sediments, they get --  
17 they will eventually get below the area of biological  
18 activity in general, and so the process would tend to  
19 wind down. But by such a time, they would be quite deep  
20 in the sediment and probably out of any biological  
21 availability, so it may become a moot point that the  
22 biological activity winds down, because it only winds  
23 down in sediments that are so deep, there's no biological  
24 availability anyway.

25 But in theory, it should occur like you

1 say. It would wind down as you got the sediments --  
2 deeper into the sediments.

3 THE CHAIRPERSON: Are you able to predict  
4 forward, if there are no other contamination sources re-  
5 contaminating the harbour, at what point the harbour will  
6 become -- or the lobsters will be clean again?

7 DR. YEATS: I think the only safe way to  
8 project that forward would not be to try to make a  
9 prediction but to predict a general trend, which I think  
10 we can do, that the general trend would be in a direction  
11 of improvement and then to decide on when you would re-  
12 open the lobster fishery by monitoring the levels of  
13 contaminants in the lobster. I think that's the only  
14 safe way to do that, and I would think that would be an  
15 intelligent thing for somebody to undertake into the  
16 future.

17 THE CHAIRPERSON: Are we talking decades?  
18 Centuries? Less than centuries.

19 DR. YEATS: Definitely less than  
20 centuries. It might be as much as decades.

21 THE CHAIRPERSON: All right. Thank you.

22 MR. MCLEAN: Just a follow-up to that. I  
23 don't have all the information, but there has been --  
24 between lobster samplings done in the early 1980s and mid  
25 1990s, Environment Canada did show a reduction in PAH

1 contaminant load in lobsters. These were very small  
2 sample sizes, so the significance of it is questionable,  
3 but it may be a question -- if you're concerned about  
4 decreasing trends in PAHs in lobsters, I think  
5 Environment Canada may have some more information on  
6 that.

7 DR. LAPIERRE: Good morning and thank you.  
8 I would like -- I was pleased to hear that you're going  
9 to be involved with the design of the water brook that's  
10 going to move the water from the site.

11 I do have some concerns with the  
12 construction of that brook, and one of them is, normally  
13 engineered structures tend to be linear and they're quite  
14 different from natural brooks, which meander. And my  
15 concern rests with the bioenergetics of fish that have to  
16 undertake migrations, particularly in the springtime when  
17 you might have a full brook or that channel could be  
18 fully loaded with water.

19 Now, I would -- have you looked at the  
20 species of fish and done any calculations on the  
21 bioenergetic aspects of these fish and what would  
22 consider a natural barrier to stop them from moving  
23 upstream even if you have a channel well designed and in  
24 place?

25 MR. MCLEAN: I'll ask Craig Hominick to

1 give a little bit more information, but right off the  
2 top, we don't have details with regards to flows and fish  
3 energetics. It's something that we work with on a  
4 regular basis when we're designing fish passage  
5 structures, so that it's detailed information we have.

6 So we would be working with the proponent,  
7 but maybe I can pass it over to Craig for a little bit  
8 more information.

9 MR. HOMINICK: Thanks. Yeah, with the  
10 proper design and construction of the channel, we should  
11 be able to provide for fish passage on that site. It's a  
12 fairly low-gradient site, so as far as gradient goes,  
13 it's -- it's one parameter of a fish passage you have to  
14 look at, and it does have sufficient gradient.

15 The use of a deeper center channel within  
16 the wider channel also is, I think, a feature that we'll  
17 be looking for so that during the periods of low flow,  
18 you will concentrate that water towards the center bottom  
19 of the channel to provide for adequate depths.

20 It's also important to note that natural  
21 stream systems do experience periods of extremely low  
22 flows, which can impede fish passage, but these typically  
23 occur outside the migration periods, which would be  
24 primarily during the spring and fall. So in the drier  
25 months, July and August, when flows are quite low, fish

1 aren't typically moving then anyways.

2 As for your question about the higher than  
3 normal flow rates during the springtime, these also occur  
4 in natural systems, and migrating fish tend to hold up at  
5 the mouth of systems and wait for the flow rates to  
6 subside to more suitable levels before moving upstream.

7 As you talked about engineered channels  
8 and their design, you're right, I've seen lots of  
9 channels designed like a ditch, but I've also seen a lot  
10 of fish-suitable channels designed where they can work in  
11 the design with the meander. There's a lot of  
12 engineering expertise within our department that looks at  
13 how to design channels so that they will have the natural  
14 bend and movement to them.

15 In reviewing any type of channel, we do  
16 often -- or we do look at -- we work with the proponent  
17 to ensure that those concerns are addressed and that the  
18 design will be carefully considered when we're looking at  
19 migratory species and anticipated flow rates throughout  
20 the year.

21 And you also asked a question about fish  
22 bioenergetics. And I don't know, Henry, if you want to  
23 just give a small talk about what the department does  
24 have in terms of data on the fish species that would use  
25 that system.

1 MR. CARACRISTI: Okay. In most of our  
2 work that we've designed in this area, most of the  
3 streams and rivers, we design for, let's say, smelt,  
4 gaspereau salmon, eel ---

5 THE CHAIRPERSON: Could you get a little  
6 closer to the microphone or ---

7 MR. CARACRISTI: We've designed for  
8 various migratory fish species like smelt, gaspereau,  
9 salmon and eels. And this would fit fairly good with  
10 this system. Most of our work is done on existing  
11 established rivers and steams. Since this one hasn't  
12 seen a fish in, I don't know, a century, it could be --  
13 anything we do is going to be just a benefit to try to  
14 bring it back. The fish passage design is not -- should  
15 be fairly easy to incorporate into this project. It  
16 shouldn't be a problem at all.

17 DR. LAPIERRE: I guess the issue of a  
18 limited water flow was a concern of mine also, but I  
19 think you've addressed it.

20 There is another concern that as I look at  
21 the design that's being contemplated, there seems to be a  
22 drainage system from the monolith that will bring water  
23 to the channel, and in the eventuality that this water  
24 might have contaminants, will you be responsible for  
25 ensuring the quality of that water?

1 MR. MCLEAN: First, I guess, it's my  
2 understanding that that water would be examined before  
3 released. But when it comes to issues of deleterious  
4 substances entering water frequented by fish, that's  
5 Environment Canada's mandate. We deal mainly with sort  
6 of the physical habitat, but chemical impacts,  
7 Environment Canada has a regulatory authority under the  
8 Fisheries Act to deal with that.

9 DR. LAPIERRE: Okay. Thank you. I  
10 realize that Environment Canada has responsible pollution  
11 prevention provisions under the Fisheries Act.  
12 Regardless, I will ask you this question as your  
13 department mandate does include healthy productive  
14 aquatic ecosystems.

15 Apparently the ecological risk assessment  
16 for the Coke Ovens site has not identified contaminant  
17 ground water as a significant risk for aquatic life. Is  
18 that your understanding, and if so, are you in agreement?

19 MR. MCLEAN: Again, we didn't look closely  
20 at sort of the impact of chemical contaminants in the  
21 fresh water. That being Environment Canada's mandate, we  
22 mainly, in the fresh water systems, focused on the  
23 physical environment.

24 We did provide a review on the chemical  
25 constituents in the harbour given our cooperative

1 research with Environment Canada. So I certainly  
2 couldn't comment on contaminant levels and their impacts  
3 on aquatic species.

4 DR. LAPIERRE: Okay. Your written  
5 submission in PC-29 indicates that:

6 "DFO considers the larger remediation  
7 project as an improvement for fish habitat  
8 that should result in a net gain of fish  
9 habitat."

10 And you did address some of those issues.  
11 How is this possible when there is such a large loss of  
12 habitat with these two ponds?

13 MR. MCLEAN: What DFO considers is we look  
14 at the habitat, the value of the habitat to the fish  
15 species that are present.

16 With the Tar Ponds, we know there are fish  
17 present in there. They tend to be resident species. The  
18 population has been shown not to be particularly healthy.  
19 What we look at as the tradeoff is that large amount of  
20 what we consider unsuitable habitat being lost is being  
21 replaced with a considerable amount of fresh water moving  
22 habitat, which should be clean, at least from a sort of  
23 substrate point of view, which would provide a  
24 considerably higher value for habitat component.

25 And in addition to not only the Coke Ovens

1 Brook remediation, but removing the Ferry Street weir and  
2 opening up the areas of the Wash Brook, which could, we  
3 hope, eventually sort of lead to fish passages there.

4 So when we look at the actual habitat  
5 value and components, we consider it a net gain of fish  
6 habitat even though you're looking at a loss of -- I  
7 don't have the numbers with me, but as far as sort of  
8 value, it's not weighed on a sort of one-to-one basis as  
9 far as square meter to square meter. We look at the  
10 actual physical habitat and the value of that. So the  
11 upstream areas would have a much higher value before  
12 weiring habitat, feed, and spawning habitat potentially  
13 down the road.

14 DR. LAPIERRE: So you're hoping to trade  
15 off quality versus quantity.

16 MR. MCLEAN: Yeah, it's -- it's typical  
17 sort of with DFO if we take, say, an example of removal  
18 of dam systems, DFO typically doesn't require Fisheries  
19 Act authorization for the removal of a dam. In those  
20 cases, though, when a dam is removed, we have the loss of  
21 headwater pond, which is, you know, fish habitat, but  
22 what we trade off, which is what we see as a net gain, is  
23 all the upstream migration through the system once the  
24 dam is removed.

1 DR. LAPIERRE: I guess one more question.

1 Your recommendations include provisions for monitoring of  
2 contaminants in the harbour sediments and implementing --  
3 and implement mitigation if required. Your concern here  
4 is the release of sediments, I would consider, from the  
5 Tar Ponds during the period of active remediation. Is  
6 this correct?

7 MR. YEATS: That would definitely be one  
8 major concern, that during the process of doing this  
9 project they've already predicted that levels of  
10 contaminants would temporarily increase, and so we'd be  
11 concerned about what impact those increased levels of  
12 contaminants during the conduct of the project -- what  
13 they'd have on the harbour.

14 So, we agree with Environment Canada on  
15 this that some additional assessment, risk assessment of  
16 what those risks would be, identification of what  
17 monitoring targets should be and then a monitoring  
18 program is something that's really important.

19 DR. LAPIERRE: I guess my concern is the  
20 practicality of monitoring contaminants in harbour  
21 sediments to assess the need for mitigation. Do you have  
22 any idea how you're going to do that?

23 MR. YEATS: It's the monitoring of  
24 contaminants that would get to the sediments and harm the  
25 [--]. You may monitor it by monitoring the levels in the

1 water or you may monitor the biological effects of some  
2 biological effect measurements. You may not actually  
3 measure the levels as part of the monitoring program, but  
4 that would come from the risk assessment and the design  
5 of the monitoring.

6 If it was found that there was a  
7 substantial input of contaminants and it was causing some  
8 problems, I would think that the approach would be to  
9 figure out how the project could be modified in order to  
10 reduce the input rather than trying to mitigate after it  
11 gets into the sediments.

12 DR. LAPIERRE: I guess that was one of --  
13 my fine point in this question. But the question -- are  
14 you concerned with re-sedimentation, tidal action waves  
15 that might take place and ---

16 MR. YEATS: Well, that is a factor that  
17 occurs, but the observations we have from our dated  
18 sediment course is that those sediments are not being  
19 remobilized to any real extent. If they were being  
20 remobilized, we wouldn't see the good dating of the  
21 sediments.

22 So, those sediments are quite stable,  
23 quite -- you know, they aren't being pushed around by the  
24 tides to any extent, so it doesn't look like there's a  
25 lot of that kind of physical remobilization going on.

1 DR. LAPIERRE: I guess I concur with your  
2 previous comment that it would be maybe more effective to  
3 take a pollution prevention approach and focus on  
4 minimizing the release of sediments from the pond to the  
5 harbour as an initial step.

6 And I guess my question will be, is that  
7 something you're contemplating that should be done?

8 MR. YEATS: That's not my ---

9 MR. MCLEAN: Basically what we're looking  
10 at for the risk assessment and the monitoring is to  
11 verify the Proponent's predictions that there will be no  
12 effects on the harbour from contaminants being released.

13 If we do find that contaminants as part of  
14 that monitoring program are entering the harbour, then  
15 we'd work with our partner, particular Environment  
16 Canada, in looking at potential mitigation with the  
17 Proponent determining what was required for mitigation.

18 DR. LAPIERRE: But wouldn't you anticipate  
19 chemicals entering during the disturbance phases?

20 MR. MCLEAN: That's what understand the  
21 Proponent has predicted. I think they use the  
22 conservative fivefold increase and actually show that  
23 some of the chemicals of concern could have a negative  
24 impact on the harbour.

25 What we wanted was them to take the extra

1 step, if they are identifying a negative effect on the  
2 harbour, to identify what those receptors are and develop  
3 a monitoring program out of that.

4 DR. LAPIERRE: So, will you be requiring  
5 that before the project is initiated?

6 MR. MCLEAN: That's what we're requesting.  
7 We're only a federal authority in this case, so we don't  
8 have any regulatory authority over the project. So, as  
9 an expert department -- and we've worked with Environment  
10 Canada on this issue, and I think Environment Canada as  
11 well as Natural Resources Canada have agreed that this is  
12 what we'd like to see carried through for this project.

13 DR. LAPIERRE: So, you rely on Environment  
14 Canada to enforce your ---

15 MR. MCLEAN: Well, we often work together  
16 on -- as we have with the research, on issues of  
17 monitoring, evaluating monitoring programs, particularly  
18 when we have, you know, dual interests in things like  
19 marine environment where we typically deal with the  
20 physical environment and also some of the research we  
21 have, and Environment Canada has more of the regulatory  
22 mandate for contaminants entering waters frequented by  
23 fish.

24 DR. LAPIERRE: Okay. Thank you.

25 MR. CHARLES: I only have one question.

1 In your presentation, slide presentation, on page 4  
2 there's a "Summary" and then "Recommendations." And this  
3 question comes from a non-technical person, so you may  
4 think it pretty simple or stupid but overlook that and  
5 try to answer it anyhow.

6 Under the summary you say:

7 "The efficiency of proposed  
8 containment measures is unclear."

9 And in your recommendations you suggest  
10 that the Proponent should:

11 "...clarify the extent of sediment  
12 disturbance and efficiency of control  
13 measures."

14 And I guess my question is, how would the  
15 Proponent do that? Would he do that via modelling, or  
16 would you expect some kind of actual performance data, or  
17 how would it be done?

18 MR. MCLEAN: I'm sorry, I'm not sure I  
19 understand. Which page are you referring to, our  
20 presentation or the ---

21 MR. CHARLES: On page 4, under the --  
22 there's two boxes there, one is entitled "Summary" and  
23 then the other one is "Recommendations" to the -- it's  
24 part of the presentation to the Joint Review Panel.

25 MR. MCLEAN: Oh, sorry, the ---

1 MR. CHARLES: Oh, I'm sorry, I'm in the  
2 wrong one. Well, I apologize for that, but you can  
3 answer it if you want.

4 MR. MCLEAN: I think we'd like to refer  
5 that to someone else.

6 MR. CHARLES: Thanks.

7 THE CHAIRPERSON: I just have a couple of  
8 very quick questions. The first one, though, is if new  
9 habitat is created in the new channel going through the  
10 Tar Ponds by this project -- and you've explained [--]  
11 farther up the watershed -- well, does that not leave a  
12 section of Wash Brook that -- well, what is the situation  
13 of that section of Wash Brook actually leading out of the  
14 Tar Ponds?

15 Now, I don't know in my perambulations  
16 around Sydney if I've been -- I thought I was looking at  
17 Wash Brook. That's a channel with gabion sides and  
18 that's -- that is it, isn't it?

19 Can you perhaps comment on the quality of  
20 that piece of habitat and whether, in fact, for overall  
21 watershed improvement there needs to be something done  
22 about that and whose responsibility might that be?

23 MR. MCLEAN: Yes, certainly we agree that  
24 there's sections of the Wash Brook between the Tar Ponds  
25 and some of the upper reaches which we illustrated in our

1 picture which could impede fish passage and is not  
2 providing suitable habitat.

3 What we do through our habitat stewardship  
4 program is work with community groups to look at  
5 restoring those areas so we can eventually open up all of  
6 Wash Brook and have it suitable. So, I think this is  
7 sort of an ongoing process that we're working with the  
8 community to improve the overall watershed system.

9 THE CHAIRPERSON: And is there a hope or  
10 an intent that that could happen sort of in sync with the  
11 Tar Ponds construction project?

12 MR. MCLEAN: I think that would depend on  
13 a number of issues, such as priority of the project  
14 within the community, available funding for it. That's  
15 certainly something we'd like to work with both the Tar  
16 Ponds Agency and also the community groups that would be  
17 doing restoration as opening up this as a system that  
18 could support fish migration.

19 THE CHAIRPERSON: Thank you. And during  
20 the presentation there was -- if I wrote it down  
21 correctly, there was a suggestion or a recommendation  
22 that the Tar Ponds Agency would be involved, could carry  
23 out some monitoring in the upper areas of the watershed.  
24 Was that correct? Was that made as a suggestion?

25 MR. MCLEAN: Yes, we'd like to see

1 monitoring of fish abundance and health as an indicator  
2 of the overall health of the aquatic system, so we have  
3 new channels for the Coke Ovens Brook.

4 Those brooks, albeit very poor populations  
5 of fish in not good health but did support fish  
6 populations, we'd like to see those -- what's happening  
7 with those over time. So, this would be a long-term  
8 monitoring commitment.

9 THE CHAIRPERSON: And would the monitoring  
10 be confined to the areas of the watersheds that are  
11 within the project boundaries or farther up?

12 MR. MCLEAN: We don't have those details  
13 right now. I mean, our focus first is the realignment of  
14 the Coke Ovens Brook, that being on the project site,  
15 because that's where the main Coke Ovens Brook  
16 realignment took place, and we were involved heavily with  
17 that project.

18 As far as monitoring upstream, say in the  
19 Wash Brook, that would be something that we could work  
20 with the Proponent on to determine if we can include that  
21 in the project component.

22 THE CHAIRPERSON: Okay. Thank you very  
23 much.

24 I've got one piece of housekeeping I need  
25 to carry out before we break. We're going to break for

1           one hour for lunch and then we'll come back and then we  
2           will resume and we will open up questioning to other  
3           parties.

4                       My one piece of housekeeping is that I  
5           have a request here, a written request from Public Works  
6           and Government Services Canada, and it's a point of -- a  
7           question of clarification. And I wonder if the  
8           representative of Sierra Club could come forward to the  
9           mike.

10                      So, we'd need something clarified in order  
11           for them to fulfil the undertaking that they made. If I  
12           can just ask you the question and perhaps you could  
13           clarify it.

14                      The question was that the representative  
15           of Sierra Club referred to the Environmental Impact  
16           Statement and its identification that there is off-site  
17           migration from the sites to nearby residential areas, and  
18           they would just appreciate if you could provide the  
19           specific reference in the EIS so that they can have that  
20           when they develop their response. Are you able to do  
21           that?

22                      MR. MARCOCCHIO: Not at the moment but I  
23           certainly will.

24                      THE CHAIRPERSON: Could you do that after  
25           -- when we return after lunch?

1 MR. MARCOCCHIO: I will try, and if not  
2 I'll be able to indicate when. I'll do it as soon as  
3 possible.

4 THE CHAIRPERSON: Thank you very much.  
5 So, it is now 12 o'clock, and we will resume again at 1  
6 o'clock. Thank you.

7 --- Upon recessing at 12:04 p.m.

8 --- Upon resuming at 1:04 p.m.

9 THE CHAIRPERSON: Good afternoon. We will  
10 resume the session. Just to clarify what we're doing  
11 this afternoon, we had our presentation from Fisheries  
12 and Oceans Canada this morning before lunch and the Panel  
13 asked their questions, so we're now going to move and  
14 open the questioning to other parties.

15 Following that -- there'll probably be a  
16 break in there somewhere, I'm not quite sure depending on  
17 the timing. Following that we are going to move to the  
18 presentation and questioning with relation to Natural  
19 Resources Canada, and then before we conclude the session  
20 I'm going to ask Public Works and Government Services  
21 Canada -- I don't know, am I seeing anybody in the room?  
22 Anyway, I'm going to ask, as they had indicated, if they  
23 would come back.

24 The Panel has a few more questions that  
25 they'd like to put to them and then I propose to open the

1           questioning again to the public for just one more round  
2           of questioning, because I know there is interest in  
3           asking some additional questions.

4                       Is there anybody here from Public -- yes,  
5           good. So, the message is -- that's all right. So,  
6           please don't leave just yet.

7                       MR. MCLEAN: Madam Chair, if I can just  
8           point out, Carol Ann Rose unfortunately had to catch a  
9           flight back to Halifax, so she won't be with us this  
10          afternoon.

11                      THE CHAIRPERSON: Thank you. So, now I'd  
12          like to open the questioning, and turning first to the  
13          Proponent, the Sydney Tar Ponds Agency, do you have any  
14          questions for Fisheries and Oceans?

15                      MR. POTTER: I think I'll use my mike.  
16          Yes, we do have one question. I'd ask Dr. Stephenson,  
17          who did the ecological risk assessment work for us, to  
18          address it, please.

19                      DR. STEPHENSON: Madam Chair, following up  
20          on a question from Dr. LaPierre regarding monitoring in  
21          the marine environment during construction in the Tar  
22          Ponds, the Proponents believe that monitoring of water  
23          will provide a more rapid and effective measure that can  
24          be used to identify the need to modify projects  
25          operations than monitoring sediment could.

1           The DFO response to Dr. LaPierre seemed to  
2           indicate that they agree with this. We would like to  
3           know whether they can confirm that.

4           MR. YEATS: I think we would agree that a  
5           sediment is not the way, so water it could be, or it  
6           could be monitoring some biological process or biological  
7           species but not sediments.

8           MR. MCLEAN: Just to add on that as well,  
9           we're looking at doing -- have a risk assessment done --  
10          this is one of our requests -- along with Environment  
11          Canada and NRCAN, and this risk assessment would actually  
12          inform the parameters that we want monitored in the  
13          marine environment, be it water receptors such as  
14          different organisms, or sediment.

15          DR. STEPHENSON: Thank you, Madam Chair.

16          DR. LAPIERRE: If the risk assessment  
17          identified no parameters that were at risk, then there  
18          would be no need to monitor?

19          MR. MCLEAN: I think that's something we'd  
20          have to look at at the time and discuss with our  
21          colleagues at Environment Canada.

22          THE CHAIRPERSON: If there are no more  
23          questions from the Tar Ponds Agency, I would like to go  
24          through my roster again. Anybody else from the Federal  
25          Government, Provincial Government or Municipal Government

1 with questions for Fisheries and Oceans? Any questions  
2 from Save Our Health Care Committee? So, one question  
3 and a follow-up, please, this round.

4 MS. MACLELLAN: Is this the mike? Okay.

5 Having lived by the ocean most of my life  
6 within walking distance and observing the tides and the  
7 storm surges, I have a question about the monologue. I  
8 think that's the right name for the ---

9 THE CHAIRPERSON: The monolith?

10 MS. MACLELLAN: Monolith, okay.

11 THE CHAIRPERSON: The monolith, yeah.

12 MS. MACLELLAN: And they did say there  
13 would be a seawall built to protect the tides from coming  
14 in. I'm not entirely sure how high this seawall would  
15 be, but I'm wondering what effect of erosion the tides  
16 and the heavy storm surges would have on this seawall.

17 Given the fact that we've had more storms  
18 in the last few years and higher storm surges -- indeed  
19 even part of the causeway was washed out -- how would  
20 this impact -- how would heavy storm surges impact it?

21 I've been out in the harbour just last  
22 fall for a couple of days on a boat when the metres were  
23 five -- when the waves were five metres high and we  
24 couldn't get in or out.

25 MR. MCLEAN: I'm not sure if DFO is the

1 correct department to respond to that. With regards to,  
2 you know, oceanographic conditions, you know, we have  
3 some monitoring, but I think as far as climatic  
4 conditions and changes and effects of the environment on  
5 the project, I think I'd have to defer that to  
6 Environment Canada.

7 MS. MACLELLAN: Okay, I'll defer that  
8 question then to Environment Canada when they do their  
9 presentation.

10 But you talked about the PAHs in the  
11 harbour. They were monitored, I believe, first in the  
12 '80s and then in the early '90s, and I'm not sure of the  
13 amounts of PAHs that are left there now, but in the '90s  
14 when they monitored them they were higher than they were  
15 in the '80s. Is there a technology today to bioremediate  
16 PAHs with bacteria, marine bacteria?

17 MR. YEATS: Ma'am, our studies show that  
18 naturally occurring marine bacteria have the capacity and  
19 do degrade PAHs. It might take a long time for them to  
20 naturally degrade the PAH levels that are in the harbour  
21 sediments down to very low levels, but they do do some  
22 degradation, so the trend would be in the right  
23 direction. So, I don't know about the magnitude of the  
24 degradation but it would occur.

25 The sort of implied observation about the

1 levels changing from the studies in the '80s or so to the  
2 present time, I think it's actually better seen from that  
3 dated sediment core data where it clearly does show that  
4 the concentrations in the sediments were highest in the  
5 1970s/1980s and are considerably lower now. So, I think  
6 that's the definitive data on the trend with time.

7 MS. MACLELLAN: Could you provide us a  
8 comparison of the PAHs like from '70 right through to  
9 present?

10 MR. YEATS: I can't provide it right now,  
11 but we have sediment core data from several dozen sites  
12 in the harbour that have been dated and a sort of a  
13 picture of the concentrations at dates that you choose  
14 could be generated, so we could make a horizon of what  
15 the concentration looked like in -- pick your date --  
16 1985 or whatever you pick and then for 1999, which is  
17 when we collected our samples. We could do that.

18 THE CHAIRPERSON: Yes. What would be --  
19 can you perhaps tell me what it is that you particularly  
20 would like to focus in on and then we'll see if we -- if  
21 the Panel agrees and would like to ask for that as an  
22 undertaking.

23 MS. MACLELLAN: I'm particularly  
24 interested in the lobster fishery industry and the  
25 lobsters in the harbour. There's a lobster fishery just

1 down below the harbour in South Bar and to my knowledge  
2 tides carry things out. And where are these PAHs going?

3 THE CHAIRPERSON: Dr. Yeats is referring  
4 to your data about PAHs in the sediments, I presume, not  
5 in the lobsters?

6 MR. YEATS: I was referring to sediment  
7 data, yeah.

8 THE CHAIRPERSON: Yes.

9 MR. YEATS: I misunderstood the question  
10 if she's asking about ---

11 THE CHAIRPERSON: Are you asking for  
12 information about PAHs in lobster over time?

13 MS. MACLELLAN: I'm asking about the PAHs  
14 in the harbour over time and compared -- and like I want  
15 to know if they migrated from the harbour farther on down  
16 the coast.

17 THE CHAIRPERSON: And how -- with this  
18 information, how do you wish to relate this information  
19 to the assessment of this project?

20 MS. MACLELLAN: Well, I'm wondering if  
21 they have checked the lobsters lately along the coast to  
22 see if there's any PAHs in them.

23 THE CHAIRPERSON: If it's -- would you be  
24 able to provide a summary of information about PAHs in  
25 lobster at some distance from -- in the harbour and some

1 distance from the harbour?

2 MR. MCLEAN: My understanding from the  
3 most recent lobster information that was collected by  
4 Environment Canada, I believe the report date is 1999, it  
5 is on the public registry for this project along with the  
6 TSRI Project No. 93 which shows PAH levels in sediments  
7 and shows distribution in the harbour including south,  
8 north arm, groin and the trunk of the harbour, and that's  
9 also on the registry site.

10 THE CHAIRPERSON: Okay. Thank you very  
11 much. Thank you, Ms. MacLellan.

12 MS. MACLELLAN: Thank you.

13 DR. LAPIERRE: Would it be possible to  
14 give a brief explanation as to the degradation pathways  
15 of PAHs in the marine ecosystem and the -- are there any  
16 toxicity associated with the degradation process?

17 MR. YEATS: I'm sorry, I didn't -- I  
18 missed a little bit ---

19 DR. LAPIERRE: What do PAHs -- you  
20 indicated that they disappear with time. I guess my  
21 question is -- you said they could -- microbial  
22 activities. Now, what do PAHs degrade to before they get  
23 down to the basic atoms which they're composed of?

24 MR. YEATS: Yeah, PAHs are rather  
25 complicated organic molecules and the degradation

1 products -- or the degradation would proceed in several  
2 steps, and initially the initial products may be also  
3 harmful, but they will -- the degradation process will  
4 start to break these aromatic rings, which are what  
5 generates the toxicity.

6 So, they don't get degraded down to  
7 molecules but they get degraded down to fairly simple  
8 organic compounds and they will degrade down to compounds  
9 that have less toxicity or no toxicity.

10 DR. LAPIERRE: So, as they degrade down to  
11 the atom level they become less and less toxic?

12 MR. YEATS: That would be a general trend,  
13 yeah, but they don't get down to the atom level, they get  
14 down to simpler organic molecules, but generally speaking  
15 the simpler organic molecules have lower toxicity. It's  
16 the complicated, multi-ring polyaromatic hydrocarbons  
17 that have -- it's the complexity that generates the  
18 toxicity. So, it's not a perfectly linear process but it  
19 does tend to degrade them down to less toxic chemicals.

20 DR. LAPIERRE: But in general it goes to a  
21 less toxic state?

22 MR. YEATS: Yes. Yeah.

23 THE CHAIRPERSON: All right. I'm going to  
24 move on down the roster. Let me just say for anyone who  
25 wasn't here this morning that the order of questioning,

1 we go through the registered participants, people who  
2 have registered to speak at the hearings first, and then  
3 I open up to questions from other people.

4 If you are a registered participant and  
5 you've only arrived at the hearings this afternoon, then  
6 perhaps make yourself known to a member of the  
7 secretariat so that I can add you in, get you in the  
8 right place on this roster.

9 So, Mr. Marmon, do you have any questions?  
10 No, you don't. That takes us to Sierra Club.

11 MR. MARCOCCHIO: Thank you, Madam Chair.  
12 Will we be following the same process as this morning,  
13 one question and a brief follow-up or ---

14 THE CHAIRPERSON: Yes, and I will do that  
15 in rounds till we move on.

16 MR. MARCOCCHIO: Thank you. I noted with  
17 interest the questions the Department of Fisheries and  
18 Oceans submitted to the Proponent about the permeability  
19 of the Cofferdam, the restriction of fish migration and  
20 the effect of a barrier in preventing the migration of  
21 contaminants into the harbour.

22 The response to your questions indicated  
23 that, in fact, there will be no barrier at the mouth of  
24 the harbour, that, if I'm not mistaken, there will be a  
25 50-metre opening, unrestricted opening, that will both

1 provide access for fish migration but will also not  
2 prevent any migration of materials from the channel of  
3 moving into Sydney Harbour.

4 So, given that this barrier is no longer  
5 being constructed at the mouth of the Tar Ponds draining  
6 into the harbour, can you please provide the Panel what  
7 assurances you have that the contamination will not  
8 continue to flow into the harbour and that it may  
9 actually increase during any type of remedial activities  
10 in the Tar Ponds, and, in particular, the possibility of  
11 a failure of the stabilization to prevent leaching of  
12 further material in the harbour.

13 I mention that because I noticed that your  
14 data there went as far as 2001 but it did not seem to  
15 include the Lee study that showed that the last testing  
16 in Sydney Harbour, in fact, showed a dramatic spike and  
17 increase in the contaminants in the harbour that that Lee  
18 paper thought was a result of the disturbance during the  
19 previous failed remediation attempt.

20 So, the first point is, can you confirm  
21 for the Panel that, in fact, as a result of the failed  
22 remediation attempt there was indeed a slug, a surge of  
23 all of the contaminants at the mouth of the harbour that  
24 resulted.

25 And then, secondly, the second part of

1 that question was, what assurances do you have that a  
2 similar process, particularly with what we heard this  
3 morning, will not occur during the remediation phases?  
4 And then I have a follow-up.

5 MR. MCLEAN: Madam Chair, I just wonder if  
6 that clarification -- that the data that's being referred  
7 to with regards to the presumed failure of the previous  
8 attempt is in the TSRI document.

9 THE CHAIRPERSON: The TSRI document?

10 MR. MCLEAN: Yeah. Sorry, TSRI-93, the  
11 document -- Ken Lee, 2002.

12 THE CHAIRPERSON: Could you clarify where  
13 your -- the source of your information with respect to  
14 the spike, and spike in what? What is that document  
15 you're referring to, please?

16 MR. MARCOCCHIO: TSRI-92, does that refer  
17 to the -- does "92" refer to the date? Because it can't  
18 be that document. It was a document that was published  
19 around 2002 or 2003, I believe.

20 MR. MCLEAN: That's correct. Ken Lee is  
21 the main editor.

22 MR. MARCOCCHIO: Yes.

23 MR. MCLEAN: I'm referring to the -- it's  
24 a Toxic Research Substance Initiative No. 93. It's just  
25 the number on the document.

1 MR. MARCOCCHIO: Yes.

2 MR. MCLEAN: So, is this the document  
3 that, I guess, we're pulling the data from?

4 THE CHAIRPERSON: This is the document  
5 you're referring to?

6 MR. MARCOCCHIO: Yes, it is.

7 THE CHAIRPERSON: And you're saying that  
8 in that document -- that document indicates some kind of  
9 a spike in contaminant levels in what?

10 MR. MARCOCCHIO: In the harbour sediments  
11 and in the benthic organisms that were tested that are  
12 attributed to remediation activities, previous  
13 remediation activities.

14 MR. MCLEAN: I'm afraid we don't have the  
15 answer for that right now. We'll have to review the  
16 document and provide a response to that at a later date,  
17 if that's okay with the Panel.

18 THE CHAIRPERSON: Is that document on the  
19 public registry?

20 MR. MCLEAN: Yes, it is.

21 THE CHAIRPERSON: So, you're making an  
22 undertaking to respond to that? [u]

23 MR. MCLEAN: Yes.

24 THE CHAIRPERSON: So, for the record, that  
25 is that you're going to check the TSRI ---

1 MR. MCLEAN: 93.

2 THE CHAIRPERSON: --- 93 with respect to  
3 what it shows in terms of spike of contaminants in  
4 harbour sediments. And then you will also respond to the  
5 second part of the question, which is the likelihood of  
6 something similar occurring during the project under  
7 assessment?

8 MR. MCLEAN: That's correct.

9 THE CHAIRPERSON: Thank you. And did you  
10 have a quick follow-up? And then we'll go to the next  
11 question.

12 MR. MARCOCCHIO: Well, yes, that raises a  
13 point. If it is on the public record, can DFO indicate  
14 why it was not included in the historic data  
15 contamination levels that were presented to us this  
16 morning? Was it an oversight?

17 MR. MCLEAN: I'm sorry, Madam Chair, I  
18 missed the first part of that question.

19 MR. MARCOCCHIO: If that document is on  
20 the public record, I wonder why it was not reflected in  
21 your documentation of the historic contamination in the  
22 harbour from 1900 through to 2001. Why did it stop there  
23 and not include this document that's on the public  
24 record?

25 MR. MCLEAN: Again, we'd have to go back

1 and refer to that document and check, and we will provide  
2 a written response to that question.

3 MR. MARCOCCHIO: My first ---

4 THE CHAIRPERSON: Okay. Thank you. I  
5 believe -- I think we've had the question and we've had  
6 the follow-up question and we have an undertaking to  
7 answer that.

8 MR. MARCOCCHIO: But my question hasn't --  
9 my first question hasn't been responded to.

10 And that is, what assurances do you have  
11 that this contamination will not flow into the harbour  
12 and may actually increase during any remedial activities,  
13 and, in particular, the possibility of a failure of the  
14 stabilization to prevent leaching of further material  
15 into the harbour?

16 That was the main thrust of the question  
17 and I'm glad that we've cleared up the confusion around  
18 the document that is on the public record that you did  
19 not refer to, but I would appreciate a response to that  
20 question.

21 MR. MCLEAN: Sure. When we first raised  
22 the issue regarding the -- what was then the Cofferdam,  
23 is now the Barrier Point -- or the Battery Point Barrier,  
24 sorry, our main focus at that time was to ensure for fish  
25 passage to the fresh water system.

1                   However, given our research in the harbour  
2 with contaminants and the previous work we've done, we  
3 met with Environment Canada who has the lead for  
4 deleterious substances entering water frequented by fish,  
5 and together with Environment Canada we -- and, sorry, as  
6 well as Natural Resources Canada -- have agreed to ask  
7 the Proponent to develop a risk assessment in the marine  
8 environment to identify if contaminants are entering as  
9 the result of the remediation project, what are the  
10 possible receptors, and then to identify a short-term and  
11 long-term monitoring program based on those receptors  
12 that would identify if contaminants are entering the  
13 harbour as a result of this project.

14                   THE CHAIRPERSON: Thank you. Thank you  
15 very much, Mr. Marcocchio. Can I go to our next  
16 questioner, please? Do we have -- is Mr. Ignasiak -- do  
17 you have a question?

18                   MR. IGNASIAK: I wonder whether the  
19 Fisheries and Oceans are aware of the fact that [--]  
20 basic environment that would be created as a result of  
21 application of solidification/stabilization of the Tar  
22 Ponds sediment will result in conversion of phenols,  
23 which are generally non-soluble in water, into sodium  
24 phenolates, which are very soluble in water and,  
25 therefore, will contribute to further contamination of

1 ground water and surface water.

2 MR. MCLEAN: I feel badly for picking on  
3 my colleagues at Environment Canada, but with regard to  
4 deleterious substances entering waters frequented by  
5 fish, I'd have to refer that to Environment Canada.

6 THE CHAIRPERSON: Thank you. Mr.  
7 Ignasiak, I would -- if you would like to ask that  
8 question of Environment Canada when they are presenting.  
9 Thank you.

10 Are there any questions from members of  
11 the public who are not registered participants? I have  
12 Ms. Ouelette and then I have Mr. Brophy at the back.

13 MS. OUELETTE: The Department of Fisheries  
14 and Oceans, why are they allowing the owners of the Coke  
15 Ovens and Tar Ponds who polluted our fish and the waters  
16 of Sydney Harbour daily and for years -- why are they not  
17 being charged with heavy fines for doing so?

18 MR. MCLEAN: Again, Section 36 of the  
19 Fisheries Act which prevents the -- or regulates the  
20 deleterious substances in waters frequented by fish is  
21 under the mandate of Environment Canada, so they're the  
22 regulatory agency that would be best to respond to that  
23 question.

24 MS. OUELETTE: Well, aren't you the  
25 Department of Fisheries?

1 MR. MCLEAN: Yes, we are the Department of  
2 Fisheries and we have a very clear mandate under the  
3 Fisheries Act which deals primarily with fish and fish  
4 passage, but as referred to in our presentation, since  
5 1978 Environment Canada has held the mandate for Section  
6 36 of the Fisheries Act which deals with deleterious  
7 substances.

8 MS. OUELETTE: My concern are the fish are  
9 coming back with tumours, they are very sick according to  
10 what they said here this morning, and yet the polluters,  
11 which are the Coke Ovens and Tar Ponds, the owners, are  
12 not being charged for doing so. Why?

13 If I had an oil tank on my property and it  
14 leaked into your property, Environment Canada would be on  
15 my back big time because I polluted your property. So,  
16 why -- right?

17 THE CHAIRPERSON: Well, thank you, but  
18 you're asking questions -- or we are now entertaining  
19 questions of Fisheries and Oceans, they have provided  
20 what I think to be a perfectly adequate explanation about  
21 why they cannot provide you directly with an answer to  
22 that question and it needs to be directed somewhere else.  
23 So, thank you.

24 MS. OUELETTE: Well, my -- just my concern  
25 was the fish are being polluted and they are coming back

1 with tumours. Like who do we ask? Like that's why I  
2 asked the question, too.

3 THE CHAIRPERSON: I think a clear answer  
4 has been given, that that question needs to go to  
5 Environment Canada.

6 MS. OUELETTE: Okay. Thank you.

7 THE CHAIRPERSON: Thank you. Just for the  
8 sake of the recordkeeping, though I think they're doing a  
9 fine job, I will remind you that -- before you speak if  
10 you could just identify yourself. It's easier for the  
11 people doing the -- making the transcripts.

12 MR. BROPHY: My name is Eric Brophy, and  
13 good afternoon, Panel.

14 In the Memorandum of Agreement I find the  
15 following:

16 "The federally and provincially owned  
17 portions of the South and North Ponds  
18 of Muggah Creek to Battery Point..."

19 My question is, is there a clear defining  
20 line in the Tar Ponds defining which is federally owned  
21 and which is provincially owned? And I raise that  
22 question in relation to the PCB concern that's under the  
23 slag heaps.

24 MR. MCLEAN: I'm not sure if Fisheries and  
25 Oceans has any information with regards to land ownership

1 at the site. I think that's probably -- I'm not sure if  
2 that's a better answer for the Proponent or Public Works.

3 THE CHAIRPERSON: I will just put that  
4 question, if you don't mind, to the Tar Ponds Agency if  
5 you have an answer to that question.

6 MR. POTTER: There is a clear demarcation  
7 between the federal and provincial land into the water  
8 lot of the North and South Pond, which essentially is  
9 about 70 percent federal water lot and 30 percent  
10 provincial water lot based on the existing shoreline on  
11 the east and west shorelines.

12 THE CHAIRPERSON: Yes, Mr. Brophy, do you  
13 have a follow-up question for Fisheries and Oceans,  
14 please?

15 MR. BROPHY: Yes. Can that be made  
16 available to myself? I would like to see a diagram of  
17 that.

18 THE CHAIRPERSON: Well, I guess that's a  
19 question again back to the Agency, if they don't mind  
20 entertaining that. Is that something that you can  
21 provide?

22 MR. POTTER: Certainly we'll find an  
23 appropriate drawing.

24 THE CHAIRPERSON: So, an undertaking to  
25 provide a drawing that shows that demarcation line. [u]

1 Thank you very much, Mr. Brophy.

2 MR. BROPHY: Thank you very much, Madam  
3 Chair.

4 THE CHAIRPERSON: Is there anybody else  
5 from the public who's not a registered presenter who'd  
6 like to ask a question of Fisheries and Oceans? If not,  
7 I would ask -- we'll have a second round of other  
8 parties.

9 I'm assuming we still don't have anyone  
10 from a government perspective who wants to ask a  
11 question, so I will ask for a second round of questions  
12 from registered participants. So, again, the Save Our  
13 Health Care Committee, do you have another question?

14 MS. MACLELLAN: My next question concerns  
15 the fish in Kilkenny Lake. We heard in the process of  
16 these presentations that according to atmospheric  
17 conditions that there will be days when there will be  
18 some pollution coming out of the incinerator.

19 When particulate matter comes out of the  
20 stacks on those days there's a possibility with the wind  
21 variance that it could fall on Kilkenny Lake. What  
22 effect will this have on the fish?

23 MR. MCLEAN: I understand, I mean, the  
24 fact that we are Fisheries and Oceans that a lot of the  
25 questions regarding contaminants in water would come to

1 us, but I have to go back to our mandated area of  
2 responsibility, which under the Fisheries Act we do not  
3 deal with deleterious substances and that would be  
4 Environment Canada.

5 MS. MACLELLAN: I'll ask them then when  
6 they present. Thank you.

7 THE CHAIRPERSON: Okay. I guess we're  
8 getting a list of questions for Environment Canada.  
9 Somebody should give them a heads-up there. Mr. Marmon?  
10 No. Sierra Club?

11 MR. MARCOCCCHIO: Thank you, but I would  
12 like to briefly address the last point made.

13 Although deleterious substances are  
14 clearly the responsibility of Environment Canada, the  
15 enforcement of those things, the impacts of deleterious  
16 substances on those fish in a federal waterway was the  
17 question put to you, and I think that's clearly an answer  
18 that we all expect to hear.

19 THE CHAIRPERSON: Would you like to  
20 address that?

21 MR. MCLEAN: Well, again, under our  
22 mandate we do not deal with deleterious substances.  
23 However, if there was to be monitoring of any waterways  
24 where Environment -- or, sorry, where DFO could  
25 participate, I mean, we'd certainly be involved with it,

1 but as far as a regulatory role Environment Canada does  
2 have that mandate.

3 THE CHAIRPERSON: Thank you. Now, do you  
4 have a question?

5 MR. MARCOCCHIO: Yes. The Acres Report,  
6 1990, showed that the Tar Ponds are contaminated with  
7 PCBs and PAHs beneath the slag which has been piled on  
8 top of the Tar Ponds and that the slag is extremely  
9 porous and coarse material with hydraulic conductivities  
10 in the order of 10 to the minus 3.

11 I hope you will agree that tidal flows  
12 will move readily through this high-porosity material  
13 into the area of the Tar Ponds and has been a source of  
14 contamination to the harbour.

15 Can you please provide the report that  
16 delineates the northeastern shore, the historical  
17 boundary of the Tar Ponds beneath the slag pile, or can  
18 you undertake to provide to the Panel what monitoring  
19 requirements are needed to ensure that this is not a  
20 source of PCBs and PAHs into the harbour in the future?

21 THE CHAIRPERSON: And could you just  
22 clarify the relationship of this to the current project  
23 under assessment? Is this -- are you making a direct  
24 link -- could you make the link between this concern of  
25 the source of contaminants that is outside the project

1 boundary to the harbour? Is this moving through the  
2 project boundaries?

3 MR. MARCOCCHIO: It's part of the project  
4 boundaries depending on how you define it. Acres -- the  
5 1990 Acres Report, I think, seems to indicate that it is  
6 part of the Tar Ponds that slag was piled upon, which  
7 seemed to indicate that, in fact, this is within the  
8 project boundaries as defined by the Memorandum of  
9 Agreement. That's the first point.

10 THE CHAIRPERSON: Could I just ask for a  
11 clarification from the Agency, what your interpretation  
12 of this is.

13 MR. POTTER: I believe we've addressed  
14 this question a few times. The boundary is the existing  
15 eastern shoreline of the present day Tar Ponds Site,  
16 would not include the property that is being referred to  
17 right now. I think the previous response had been from  
18 one of the other panels -- was that the property in  
19 question would be owned by SYSCO.

20 MR. MARCOCCHIO: Madam Chair ---

21 THE CHAIRPERSON: Well, I am going to ask  
22 Fisheries and Oceans to respond to your question. I'm  
23 going to ---

24 MR. MARCOCCHIO: Before they do, Madam  
25 Chair ---

1 THE CHAIRPERSON: No, just a minute,  
2 please ---

3 MR. MARCOCCHIO: Sorry.

4 THE CHAIRPERSON: --- if I could just  
5 finish -- on the grounds that possibly if there were  
6 contamination coming from outside it could be part of the  
7 cumulative effects of -- or it could play into an  
8 assessment of the cumulative effects of the project. Do  
9 you have something to reply to that question?

10 MR. MCLEAN: No. Basically, we didn't  
11 look at -- that aspect of the project wasn't presented to  
12 us for review, and again I'd go back to my previous  
13 statements that contaminants coming out of any source  
14 would be under the mandate of Environment Canada.

15 I mean, in a general sense with  
16 contaminants in the harbour this is why we're asking for  
17 a risk assessment in the harbour in conjunction with  
18 short- and long-term monitoring to determine what impacts  
19 may be from the project before us.

20 THE CHAIRPERSON: Now, do you have another  
21 question that relates to the mandate of Fisheries and  
22 Oceans, a follow-up question relating to the mandate of  
23 Fisheries and Oceans?

24 MR. MARCOCCHIO: I do, Madam Chair, but I  
25 would like to point out that nowhere in the Memorandum of

1 Agreement or any documents on the public record is the  
2 delineation referred to by the Proponent listed. So, I  
3 would ask that the Proponent undertake to produce the  
4 documentation that does define the project at the western  
5 boundary of the current existing Tar Ponds.

6 Unless I've missed something in the  
7 Memorandum of Understanding, in which case it should be  
8 fairly easy to clear this up.

9 THE CHAIRPERSON: I will ask the Agency if  
10 you can just -- if you'd like to respond to that in terms  
11 of the exact boundaries of the project and how they are  
12 defined.

13 MR. POTTER: The undertaking we just took  
14 a few minutes ago to show the map of the boundaries  
15 should identify that, and it's quite clear that we --  
16 when we refer to the site, the site is quite specific and  
17 it's well-defined and we'll provide the necessary mapping  
18 to go along with that.

19 THE CHAIRPERSON: And is that linked into  
20 the wording in the memorandum that's being referred to?

21 MR. POTTER: Yes.

22 THE CHAIRPERSON: Okay. Well, thank you.  
23 We will wait to see the results of that undertaking and  
24 then we'll revisit that. One more question, please, and  
25 it should be a follow-up questions and, if possible,

1 within the mandate of -- knowingly within the mandate of  
2 Fisheries and Oceans.

3 MR. MARCOCCHIO: Yes. I wonder if the  
4 Department of Fisheries and Oceans agrees then that given  
5 the uncertainty in the specific source of the  
6 contaminants from the harbour that a slurry wall or  
7 something equivalent should be constructed along the edge  
8 of the slag pile given that it is unlikely this material  
9 will be excavated to prevent the ongoing migration of  
10 PAHs and PCBs that are now documented to be in that  
11 material under the slag pile to prevent ongoing  
12 contamination of the harbour and to protect the harbour  
13 from continuous -- ongoing, continuous contamination  
14 despite the remediation.

15 MR. MCLEAN: As previously mentioned,  
16 Fisheries and Oceans will work with Environment Canada to  
17 ask that the Proponent do a risk assessment and  
18 monitoring within the harbour to determine the impact of  
19 the project on the harbour ecosystem in general, so this  
20 will be a short- and long-term monitoring program.

21 With regards to regulating contaminants  
22 coming from that, again I refer back to our mandate which  
23 is -- does not include Section 36 of the Fisheries Act.

24 THE CHAIRPERSON: Okay. Thank you very  
25 much, Mr. Marcocchio. And the Panel will look forward to

1 receiving the information that will be provided by the  
2 Agency and we'll ponder further on this issue of the  
3 involvement of the slag pile in this assessment review.  
4 So is there anybody else from the public, just one more  
5 question and then we are going to move on?

6 MS. OUELLETTE: Is the Department of  
7 Oceans responsible to report any contaminated fish to the  
8 Department of Canada? And if they -- do they deal with  
9 -- how do they deal with the recourse, does the  
10 Department of Oceans have to stop the contamination, and  
11 do they exercise this regularly?

12 MR. MCLEAN: Fisheries and Oceans Canada,  
13 through periodic monitoring -- it's not a regular  
14 operational thing we do, but if there is a source of  
15 contaminants in fish, that we work with other regulatory  
16 agencies to identify that, and we do have the authority  
17 under the Management of Contaminated Fisheries  
18 regulations to actually close areas for fishing if fish  
19 are identified as being contaminated and are taken as a  
20 food fish.

21 MS. OUELLETTE: Okay. Thank you.

22 THE CHAIRPERSON: Thank you. Is there  
23 anybody else from the public with one last question?

24 I would like to thank Fisheries & Oceans  
25 Canada for your presentation and for answering the

1 questions that were put to you, and we look forward to  
2 your -- the information you have undertaken to provide to  
3 the panel. Thank you very much.

4 I would now like to ask Natural Resources  
5 Canada if they'd like to come forward.

6 We'll take -- I think we'll take a 5-  
7 minute break here.

8 RECESS - 1:42 P.M.

9 RESUME - 1:48 P.M.

10 THE CHAIRPERSON: Are you -- Natural  
11 Resources, are you ready? Right. Okay, if people would  
12 like to take their seats, we will welcome Natural  
13 Resources Canada and invite them to begin their  
14 presentation.

15 --- PRESENTATION BY NATURAL RESOURCES CANADA (MR. LIVAIN  
16 MICHAUD)

17 MR. MICHAUD: Thank you, Madam Chair.

18 First I would like to thank the panel for  
19 giving us the opportunity to provide a presentation  
20 today.

21 Madam Chair, Panel Members, ladies and  
22 gentlemen, my name is Livain Michaud, I am a Senior  
23 Environmental Assessment Officer with Natural Resources  
24 Canada. I am responsible for co-ordinating NRCan  
25 involvement in this joint review process, and also co-

1 ordinating the review of the Environmental Impact  
2 Statement that was provided for this project.

3 I will make a very short presentation  
4 today to introduce NRCan to the panel and to provide a  
5 brief summary of our involvement in this environmental  
6 review process.

7 To my left is Dr. Michael Parsons. He is  
8 a research scientist specializing in the field of  
9 environmental chemistry. He works in the Atlantic office  
10 of NRCan's Geological Surveys of Canada.

11 Dr. Parsons was part of the review team  
12 who reviewed the EIS for this project. He also provided  
13 a number of comments that we filed with the panel on  
14 February 16th of this year.

15 Dr. Parsons will also make a brief  
16 presentation of the key issues that we have identified,  
17 and other key issues that were identified by a number of  
18 experts as a result of the review.

19 Natural Resources Canada is an economic  
20 science-based department with a mandate to promote  
21 sustainable development and responsible use of Canada's  
22 mineral energy and forestry resources, as well as to  
23 develop an understanding of Canada's land mass.

24 The Department also conducts research and  
25 surveys across Canada to assess these resources. More

1 specifically relevant to this review, NRCan also conducts  
2 environmental science research in terrestrial and marine  
3 setting in support of risk assessment management  
4 activities and to help minimize environmental impacts of  
5 development.

6 NRCan's role in relation to this project  
7 is relatively limited. NRCan has no regulatory or  
8 decision-making responsibilities for this project. As  
9 such, NRCan's involvement in the joint environmental  
10 review process stems from its obligation under the  
11 Canadian Environmental Assessment Act, through which  
12 NRCan has determined that it was a federal authority in  
13 possession of specialist information and knowledge.

14 Therefore, in the context of this review,  
15 NRCan's role is to provide technical and scientific  
16 expertise within the limits of its mandate.

17 NRCan's expertise relating to a  
18 remediation process, such as this one, is relatively  
19 limited.

20 However, based on the information that was  
21 provided on the Environmental Impact Statement, NRCan  
22 experts provided comments in three general areas, three  
23 topic areas, on environmental geochemistry related to  
24 estuarine and marine environmental processes, and on  
25 sediment stability and transport processes.

1                   These comments were filed with the panel  
2                   on February 16th, and responses to our comments by the  
3                   proponent were also provided to us on March 2nd.

4                   Following the review of the proponent's  
5                   response, NRCan's technical reviewers indicated that most  
6                   of the -- that most of the responses provided by the  
7                   proponent were satisfactory.

8                   However, our experts also identified three  
9                   topic areas where a clarification was needed, and they  
10                  are, migration of contaminants through the Battery Point  
11                  Barrier, long-term stability of marine sediment in the  
12                  harbour, and contaminants fate modelling.

13                  I will now pass the mic to Dr. Michael  
14                  Parsons who will speak to these topics in more detail.

15                  DR. PARSONS: Thanks, Livain. Good  
16                  afternoon.

17                  As Livain just mentioned my own expertise  
18                  is in environmental geochemistry.

19                  Just by way of quick background, I am  
20                  going to be representing the technical review on behalf  
21                  -- that I've completed myself, as well as two of my  
22                  colleagues at Natural Resources in Dartmouth, Nova  
23                  Scotia.

24                  The other two reviewers were Russell  
25                  Parrott, he's an expert in marine geophysics and ocean

1 disposal sites. He worked extensively on the migration  
2 and stability of contaminated marine sediments. And also  
3 Dr. Michael Levy's specialty is in sediment transport  
4 modelling. He is actually -- he develops programmes and  
5 does modelling efforts very similar to what have been  
6 represented in the EIS efforts.

7 My own experience that's relevant to this  
8 project, my Ph.D. work actually ironically was on the  
9 leaching of elements from smelter slags, so I have looked  
10 at that aspect of the project and have no -- will not be  
11 discussing that in detail today here.

12 I also have ongoing research in the fate  
13 and transport of primary inorganic contaminants, such as  
14 metals in marine environments, and have been involved in  
15 looking at the environmental impacts of modelling in  
16 metallurgical operations.

17 As Livain summarized, based on our initial  
18 commentary on the EIS provided on February 16th, we had  
19 received some comments from the proponent and are left  
20 with questions regarding three key issues that are  
21 summarized on these slides.

22 Some of this will seem relatively familiar  
23 to those here in the room who have heard, for example,  
24 DFO bring up some very similar points, so I'm going to go  
25 through these one by one looking at various processes

1 related to the potential migration of contaminants  
2 through the Battery Point Barrier. Secondly, the long-  
3 term stability of contaminants in the marine sediments in  
4 Sydney Harbour, and also some of our questions regarding  
5 the modelling that had been conducted as part of the EIS  
6 of contaminate fate in Sydney Harbour.

7 The first point -- and these are just a  
8 quick summary of the written submission we made to the  
9 panel, there's no new information here, this is just a  
10 summary of the main points. The Cofferdam, as described  
11 in the EIS, and I quote directly from the EIS in Volume  
12 1, page 221, was originally intended to provide:

13 "...a permanent impervious barrier to  
14 aid in minimizing the release of  
15 contaminants from the Tar Ponds into  
16 Sydney Harbour as well as control  
17 water levels in the pond during the  
18 remediation of the Sydney Tar Ponds."

19 Now, we -- NRCan is fully aware that the  
20 design of that barrier and the environmental assessment  
21 have been handled through a separate screening report  
22 that we have received from Public Works and Government  
23 Services Canada, as well as Transport Canada, and we  
24 don't intend today here to go through the contents of  
25 that report in detail.

1                   However, we do feel strongly that the  
2                   specific design that's been proposed for that barrier  
3                   needs to be considered in the context of upstream control  
4                   measures that will have to be implemented during this  
5                   project if it moves forward.

6                   There is -- the current barrier design,  
7                   that has been described through this screening report, is  
8                   not an impervious barrier, that the barrier essentially  
9                   is described primarily as a physical barrier to address  
10                  concerns regarding erosion related to waves and ice  
11                  action and other related physical effects on the  
12                  stabilized solidified mass that would be in behind the  
13                  barrier itself.

14                  The current design also includes, as we've  
15                  seen actually in the presentation from both the proponent  
16                  and Public Works, there is a 50-metre barrier -- 50-metre  
17                  opening in the barrier.

18                  Our questions relate to -- we'd like some  
19                  clarification from the proponent on what are the specific  
20                  measures that are going to be undertaken to control the  
21                  release of contaminated sediments disturbed during the  
22                  construction activities that will occur in behind the  
23                  barrier, specifically sheet pile installation itself,  
24                  whether for the wall of the channel that is to be  
25                  constructed and connected to the barrier, or the sheet

1 pile that will be involved in the construction of the  
2 cells.

3 The installation of that sheet pile, it is  
4 our understanding, will result in some suspension of  
5 contaminated sediments, and the efficiency of the  
6 proposed containment measures -- the proponent has  
7 clarified that these containment measures would, for  
8 example, include such things as booms, barriers and  
9 containment curtains.

10 However, in the EIS there is no  
11 information that's specifically given on the efficiency  
12 of those containment measures that provides us with any  
13 quantitative measure of exactly how much suspended  
14 sediment, as well as dissolved constituents which will be  
15 released when the pour waters, for example, in these  
16 contaminated Tar Pond sediments, are disturbed.

17 What we're recommending on this issue to  
18 the Joint Review Panel is that the proponent should  
19 clarify the extent of sediment disturbance that is  
20 expected during the installation of the sheet piling very  
21 early in the project, and during the actual creation of  
22 the channel itself, and subsequent in the actual  
23 excavation activities, and what is the efficiency of the  
24 control measures, specifically such things as silt  
25 curtains and containment curtains that have been

1 proposed.

2 We'd prefer to see quantitative estimates  
3 that will give us some sense of exactly what volume of  
4 suspended sediment might be disturbed during these  
5 construction activities, and exactly how efficient are  
6 these curtains. Are we talking about a 5 percent  
7 reduction in the volume of suspended sediment, or is it  
8 95 percent. Do we have some measure of how effective  
9 those curtains will be.

10 Related to that, and as DFO has  
11 elaborated, we'd like to see the proponent to monitor  
12 contaminate fluxes through the barrier both during and  
13 after construction activities. This is -- certainly  
14 during the construction to ensure the regulatory limits  
15 themselves are not exceeded through the barrier. This is  
16 both through water that might make it out through this  
17 50-metre wide opening, as well as water that would pass  
18 through the barrier itself from activities that are going  
19 on upstream.

20 The second main point that we would like  
21 somewhat more clarity on is the long-term stability of  
22 contaminants in the marine sediments.

23 As Dr. Yeats and others from DFO have  
24 summarized this morning, the marine sediments in Sydney  
25 Harbour obviously do contain contaminants from historical

1 inputs. Some of those have been buried to varying depths  
2 in the sediment as a result of natural sedimentation  
3 processes.

4 We're certainly aware of ongoing efforts,  
5 the fact that, for example, the Battery Point Sewage  
6 Treatment Plant is now reducing the input of raw sewage  
7 to the harbour. We feel that there is a possibility that  
8 as marine sediments in Sydney Harbour have less organic  
9 carbon input, both through raw sewage, as well as through  
10 direct release of material through the Tar Ponds, that  
11 that decrease in organic carbon flux could potentially  
12 lead to a short-term increase in contaminate bio-  
13 availability.

14 In our written submission we've provided  
15 some details on how we believe that could potentially  
16 happen. As the sediments become more oxygenated, as you  
17 have less organic carbon going into the system, that  
18 could dissolve elements that are currently bound, for  
19 example, with sulphide in the sediments, and as organisms  
20 are attracted to that improving marine habitat, we  
21 believe there is a possibility that there could be, at  
22 least in the short term, some enhanced bio-accumulation  
23 that needs to be monitored.

24 In addition to the simple chemical changes  
25 in those sediments, there is also -- if organisms move

1 into that environment, which hopefully certainly would be  
2 improving, there is the possibility of increased  
3 bioturbation or biological mixing of the sediments, which  
4 could partially offset the natural contaminate burial  
5 that Dr. Yeats has referred to in his presentation.

6 We believe that accommodation of these two  
7 processes could mean that, at least in the short term,  
8 and maybe possibly as much as several decades, that the  
9 marine sediments currently in Sydney Harbour could serve  
10 as a source of contaminants, not just a sink for the  
11 immediate future.

12 Related to this issue, we've made two main  
13 recommendations. We'd like the proponent, as DFO has  
14 summarized, to conduct a marine-specific risk assessment  
15 that would focus on establishing what the risks are to  
16 receptors in the marine environment of Sydney Harbour.  
17 The primary purpose, in our mind, would be to design  
18 effective monitoring strategies that could be used to  
19 look at both the short and long-term marine impacts of  
20 the project.

21 We also feel that the proponent should  
22 conduct both short and long-term monitoring, to monitor  
23 contaminate fluxes during and after remediation efforts,  
24 and also to document changes in the marine habitat in the  
25 biota.

1                   In asking for these two points here, we  
2                   essentially are requesting the same sort of risk  
3                   assessment and monitoring activities that DFO has  
4                   mentioned, and details on those monitoring and risk  
5                   assessment activities would be deferred to Environment  
6                   Canada in terms of what would be actually required that  
7                   is outside of NRCan's mandate and expertise.

8                   The final point relates to modelling of  
9                   contaminate fate in Sydney Harbour as summarized  
10                  primarily in Volume 7 of the EIS.

11                  One of my colleagues, Dr. Li, feels that  
12                  the contaminate fate modelling effort, while sufficient  
13                  for an overall picture of contaminate release and  
14                  migration throughout the harbour, it doesn't include  
15                  several important processes or these are not represented  
16                  in the detail he would like to see. One is re-  
17                  mobilization of contaminants from the bottom sediments to  
18                  the overlying water column, both through bioturbation and  
19                  erosion, the effects of flocculation on sediment burial  
20                  rates which, in certain areas, he feels could actually  
21                  increase the sedimentation rates beyond what are actually  
22                  modelled in the current effort. And also the peak tidal  
23                  current velocity employed in the modelling effort, 5 cms  
24                  per second, he feels is too low. It's actually 5-6 times  
25                  less than the values reported by Dr. Brian Petrie of DFO

1 in 2001, and the absence of these processes and  
2 parameters Dr. Li feels limit the predictive capability  
3 of the model considerably.

4 Directly related to this point, this slide  
5 should look familiar, it's basically the exact same  
6 recommendations we made on the last point.

7 We feel that, at this stage of the  
8 project, that there is no point in really rehashing the  
9 modelling effort itself. We feel that the project could  
10 certainly proceed without additional modelling, but that  
11 the proponent should conduct a marine-specific risk  
12 assessment to design effective monitoring strategies and  
13 actually even monitor what those effects could be on the  
14 marine environment, and also the proponent should conduct  
15 both short and long-term monitoring to monitor  
16 contaminate fluxes during and after the remediation  
17 efforts. And finally, to document changes in the marine  
18 habitat and biota.

19 And that's the end of my presentation.  
20 I'll pass it back to Livain.

21 MR. MICHAUD: So for concluding remarks, I  
22 guess we can say that NRCAN believes that the issue that  
23 we have presented to the panel can be addressed through  
24 appropriate mitigation measures, the completion of  
25 marine-specific risk assessment, and the implementation

1 of an effective marine monitoring programme.

2 And we'll conclude with that, so again we  
3 would like to thank the panel for giving us the  
4 opportunity to make a presentation today, and we'll be  
5 pleased to respond to any questions.

6 THE CHAIRPERSON: Thank you very much for  
7 your presentation. I've just got a couple of questions  
8 to begin with.

9 I remember Dr. Li making the same  
10 suggestions with respect to the first round of the  
11 Halifax Harbour cleanup, that I had some involvement in  
12 from a review panel point of view. Of course, that  
13 cleanup is -- that particular version did not happen, and  
14 the new project is not -- will be fully implemented  
15 starting next year, we hope, but I do remember him  
16 raising the spectre of the re-introduction of  
17 contaminants through the oxygenation of the sediments.

18 So I guess my question is, is this -- do  
19 you have information about other harbours where sewage  
20 treatment, in particular, has been introduced and this  
21 has been observed and has -- what kind of impact has  
22 there been?

23 DR. PARSONS: That's an excellent  
24 question, and I do not have specific -- a sewage-specific  
25 situation in another harbour.

1                   However, there are published -- there's a  
2                   fairly extensive literature base dating back to the early  
3                   90s on the effect of aeration on the binding primarily of  
4                   inorganic contaminants by what's called acid volatile  
5                   sulphide. It's a reactive pool of sulphide in sediments  
6                   that is very sensitive to increasing aeration of  
7                   sediments, both through -- for example, you would expect  
8                   to see that during dredging, if marine sediments were  
9                   exposed to the air or through some sort of process that  
10                  actually causes less oxygen penetration into the  
11                  sediments, which primarily would be a cutback in organic  
12                  carbon.

13                  I'd be pleased to provide some references  
14                  from the published literature to the proponent if that's  
15                  of interest, or to the panel, that do outline some of  
16                  these procedures. I searched briefly for a sewage-  
17                  specific example, and was not successful in a quick  
18                  search, but it's certainly possible that that may be in  
19                  the literature.

20                  THE CHAIRPERSON: Well, I guess not a  
21                  sewage-specific example. Are there examples of observed  
22                  effects in an urban harbour situation where some organic  
23                  input that was going into the harbour was stopped or  
24                  remediated, or something, and that this change has  
25                  actually been observed? I mean, we're actually into some

1 real life situations are we, or are we still in the realm  
2 of possibility?

3 DR. PARSONS: No, there have been some  
4 studies. I don't know the specific geography of exactly  
5 where those studies have been undertaken that have shown  
6 that a decreased organic carbon flux to the marine  
7 sediment has resulted in enhanced bio-accumulation,  
8 primarily of metals, by benthic organisms. At this point  
9 in time, I don't have those papers directly in front of  
10 me, but I could undertake to provide some references on  
11 that topic.

12 THE CHAIRPERSON: Yes, we will take that  
13 as an undertaking that you will provide the references to  
14 some papers with some real life examples.[u]

15 My second question is to do with your  
16 request that the proponents provide more information  
17 about the effectiveness of siltation control  
18 technologies, and I was just wondering if you could  
19 yourself provide some information to the panel about the  
20 range of effectiveness. Do you have some concerns that  
21 silt curtains are -- that only some types of silt  
22 curtains are effective, or that all silt curtains are not  
23 effective under certain circumstances? If you could just  
24 provide me with a little bit of background on that.

25 DR. PARSONS: I can explain where my

1 concern comes from. Partially, it's -- I'm not an  
2 engineer by training and have never used a silt curtain  
3 in my own experience. Certainly some of the members of  
4 the proponent have much more experience than I do in that  
5 respect.

6 My concern is that the EIS has not  
7 outlined specifically how one can allow fish passage, for  
8 example, during construction activities while, at the  
9 same time, capturing suspended sediment and dissolved  
10 constituents in the water column. It's not explained  
11 whether or not the silt curtains or contaminate curtains,  
12 are they actually fully impermeable. If not, one would  
13 assume that they would allow dissolved constituents  
14 through those curtains.

15 Do they capture colloiddally bound  
16 material, or is it just larger suspended sediments? Do  
17 they get anchored all the way to the bottom or the  
18 proposed cleanup area and float right at the surface and  
19 go all the way to the two banks of the Tar Ponds? Those  
20 sorts of details are not provided. This is the reason  
21 for our question. If we could have additional design  
22 details, that would certainly help to answer some of  
23 those questions.

24 THE CHAIRPERSON: I would imagine that the  
25 proponent is eager to make some response to that now, but

1 if they could hold off a minute I would like to go to my  
2 colleagues on the panel to ask if they have questions to  
3 go to NRCan.

4 DR. LAPIERRE: Good afternoon, and thank  
5 you.

6 Included in your presentation is a  
7 discussion or recommendation on conducting risk  
8 assessment prior to any construction activity, including  
9 construction of Battery Point. The purpose, I imagine,  
10 of this recommendation for risk assessment intended is to  
11 assess the impact of future contaminate flux on the  
12 Sydney Harbour, as you've indicated.

13 I am certain you're aware that the  
14 construction of the Battery Point Barrier is not part of  
15 the project we are assessing, and I guess could you give  
16 any indication and advise us what role NRCan played in  
17 the environmental assessment of the Battery Point  
18 Barrier. Were you involved in that?

19 MR. MICHAUD: Do you want -- to summarize  
20 it, no, we were not involved in the screening process for  
21 the Barrier Point.

22 DR. LAPIERRE: And, as I said, well it's  
23 not really part of our screening process also, so I guess  
24 you understand the implications of your recommendation if  
25 it's not part of our process.

1                   The other question, I guess, relates to  
2                   the recommendation for a risk assessment that would look  
3                   at, among other issues, flux and contaminates in the  
4                   harbour from construction remediation activities, and  
5                   we've heard from the Tar Pond Agency that they have over,  
6                   I'd say, close to 600 or more reports on activities  
7                   associated with studies that they've done.

8                   I guess I would like to get your comment  
9                   on this versus making recommendations for a modelling  
10                  exercise. Would a viable alternative, which would focus  
11                  on minimizing the release of sediments to the Tar Ponds  
12                  to the harbour not be as valuable as conducting a risk  
13                  assessment? Is there a need to conduct that risk  
14                  assessment? It's a costly process and I guess, in the  
15                  end, results -- would you get a better efficiency in the  
16                  use of the money if you could provide a well-documented  
17                  monitoring programme that would ensure that you would  
18                  capture what could go to the harbour, and I guess  
19                  wouldn't that be more simpler and provide as efficient a  
20                  protection during the construction and after  
21                  construction?

22                  DR. PARSONS: No, I actually agree with  
23                  your point, and that's one of the questions we had raised  
24                  ourselves anyways. Clearly, collecting additional data  
25                  after having -- so much has been done in Sydney Harbour,

1 we questioned whether that was the best use of the  
2 resources.

3 NRCan is not -- it's not within our own  
4 expertise or our mandate, as I've mentioned, to actually  
5 set up the details of risk assessments or design those.  
6 It's my understanding Environment Canada will be going  
7 through some of that tomorrow morning. However, in our  
8 discussions with Environment Canada, it's my  
9 understanding that it's one possibility, maybe, that  
10 there is no additional data that needs to be -- any  
11 additional field data that needs to be collected.

12 Our concerns stem from the fact that there  
13 was no quantitative risk assessment comparable to what  
14 was representative in Volume 6 of the EIS for the Coke  
15 Ovens and their incinerator site for receptors in the  
16 marine environment. With the lack of that quantitative  
17 treatment, it leaves some question as to exactly what  
18 should be -- what's the most appropriate things to  
19 include in a monitoring programme, specifically what  
20 organisms or what media should be sampled.

21 DR. LAPIERRE: I guess the question is,  
22 though, can you do that efficiently without going through  
23 the process of developing a -- you know, going through  
24 the whole process of developing a model?

25 DR. PARSONS: I think that the most

1 detailed answer that I can provide, as someone who is not  
2 directly involved in the risk assessment process, is that  
3 I think it's entirely possible. That may not be  
4 necessary to go for a full-blown risk assessment exactly  
5 comparable to what's been done for these other two sites,  
6 but I'd have to defer the details to Environment Canada  
7 that I believe is going to be speaking directly on this  
8 point tomorrow morning.

9 DR. LAPIERRE: Okay. thank you.

10 MR. CHARLES: Mr. Parsons, I tried to put  
11 my question to Fisheries & Oceans this morning, in error,  
12 and, of course, they didn't want to respond,  
13 understandably.

14 I guess I'm just wondering if it's true,  
15 and if you accept the premise that you put here in your  
16 summary that "the absence of processes and parameters  
17 limits the predictive capability of the model."

18 Let's assume you've got a model, you've  
19 gone through it, and you say to yourself "Gee, I'm not  
20 sure about this model any more." Instead of remodelling,  
21 what do you do, do you take extraordinary precautions in  
22 terms of preventative measures, is that what the approach  
23 would be? If you don't know exactly what's going to  
24 happen, I suppose what do you do, shoot for the highest  
25 rather than the lowest preventative standard?

1 DR. PARSONS: I think my -- in speaking  
2 with my colleague, Mike Li, we both agree that whether or  
3 not it's a limitation, a perceived limitation, at least,  
4 in the contaminate fate modelling, or some of the other  
5 processes that I've described that might result in re-  
6 suspension of contaminated sediments, both of those  
7 issues point to the need for a monitoring programme to  
8 ensure -- to validate, in some cases, the conclusions of  
9 the current modelling effort. Perhaps the current  
10 modelling effort may very well turn out to be sufficient,  
11 but without a sufficient short and long-term monitoring  
12 programme we'll never know.

13 MR. CHARLES: So your answer is that you  
14 would monitor then, find out what is actually happening.  
15 But at what point do you take your preventative measures?  
16 I mean, if you monitor and you find out "Gee, something's  
17 going on", but it's been going on for some time, you're  
18 sort of closing the door after the effluent's gone  
19 through, aren't you?

20 DR. PARSONS: That's why we've asked for a  
21 risk assessment, to establish that.

22 MR. CHARLES: Okay. We're going around in  
23 -- yeah, all right.

24 I guess the other question I have is about  
25 the efficiency of the curtains and so on.

1 I assume you'd have to rely on experience,  
2 or whoever is doing this would have to rely on prior  
3 experience with these things, and that's the way you'd  
4 establish how effective they are.

5 DR. PARSONS: That's what I'm hoping the  
6 proponent can provide for us here today. I realize that  
7 there are some people on the project team who do have a  
8 lot of experience with these things.

9 My own personal experience has primarily  
10 been limited to metal mine sites where I have seen these  
11 sorts of structures fail before and not be terribly  
12 effective whatsoever, and perhaps I have somewhat of a  
13 jaded point of view on how effective these structures  
14 are.

15 I'd like some assurances that they are  
16 going to be very effective at controlling any upstream  
17 suspended sediment that might get disturbed.

18 MR. CHARLES: Thank you, Mr. Parsons.

19 THE CHAIRPERSON: I'd just like to make a  
20 follow-up question with respect -- going back to this  
21 issue of the oxygenization of the marine sediments and  
22 the possibility of increased contaminate bio-  
23 availability, is that something that the federal  
24 government is, in fact, planning to study?

25 DR. PARSONS: No, that was -- and that

1 very point is one of the reasons that we brought that  
2 forward in our second round of questioning of the  
3 proponents, and, if I could, there's this Table 12.1-1 of  
4 Volume 1 of the EIS contains the following statement, and  
5 this is something that it was not clear to myself and my  
6 colleagues at NRCan as to whose responsibility it was.

7 It says:

8 "Environmental effects monitoring of  
9 the marine water and sediment quality  
10 in the south arm of Sydney Harbour:  
11 It is assumed that the existing  
12 monitoring programmes, as conducted  
13 by regulatory agencies, will be  
14 continued and will address this  
15 issue."

16 As we've mentioned in our written  
17 comments, NRCan recommends that the responsibility for  
18 this monitoring programme should be clarified prior to  
19 the construction activities, and that monitoring be  
20 conducted to assure that appropriate guidelines are not  
21 exceeded.

22 At this stage, it's not clear to me, at  
23 least, exactly who will conduct these monitoring  
24 programmes. Certainly, NRCan does not have ongoing  
25 monitoring in Sydney Harbour.

1 THE CHAIRPERSON: Well, it's an  
2 interesting little dilemma, isn't it, if, in fact,  
3 there's a contribution of contaminates that's now being  
4 made available because of sewage treatments which is the  
5 -- presumably, the responsibility of the municipality, in  
6 this instance.

7 So it's the dividing up of  
8 responsibilities between various contributors to -- I  
9 mean, you can't really say that the sewage treatment is a  
10 contributor to a contaminate problem exactly, can you? I  
11 mean, it may have that result, but I don't think anybody  
12 is proposing to stop installing sewage treatment plants  
13 in harbours that already have contamination.

14 DR. PARSONS: No, and I think that one  
15 would certainly hope that the net benefit would be very  
16 positive from that situation of actually treating raw  
17 sewage.

18 This is yet another reason for risk  
19 assessment, and I hope perhaps Environment Canada may  
20 elaborate on this tomorrow morning, but we recognize that  
21 there are multiple sources of contamination to Sydney  
22 Harbour, and there certainly have been historically.  
23 This could be another argument for the need to carry out  
24 some sort of risk assessment, how will one distinguish  
25 between the contribution from historical inputs to the

1 sediments versus what might come in once the remediation  
2 project is complete.

3 I don't have a direct answer right now,  
4 but I would hope that that might be something that could  
5 be addressed in risk assessment.

6 THE CHAIRPERSON: I don't want to be  
7 flippant, but should CBRM have carried out a risk  
8 assessment before they switched on the sewage treatment  
9 plant?

10 DR. PARSONS: I'm not familiar with that  
11 risk assessment, so they may have.

12 THE CHAIRPERSON: I don't think they did.  
13 I'm saying -- I'm trying to follow the logic here, but  
14 anyway, Dr. LaPierre.

15 DR. LAPIERRE: Well, I guess I listened to  
16 your points, and there certainly were many contributing  
17 factors to the pollution in the harbour, but Sydney  
18 Harbour is a federal harbour, isn't it?

19 DR. PARSONS: Sorry, a what harbour?

20 DR. LAPIERRE: Sydney Harbour is a federal  
21 harbour.

22 MR. MICHAUD: Well, we don't know whose  
23 responsibility is the harbour itself, but ---

24 DR. LAPIERRE: But it's an ocean habitat.  
25 And what would stop NRCan from doing that study itself,

1 you know, conducting a harbour study?

2 MR. MICHAUD: Well, our involvement in  
3 this process is one as a federal authority. We don't  
4 have any responsibility or any decision-making  
5 responsibility, so we can only provide advice to other  
6 federal departments.

7 So we would -- if it is decided through,  
8 like I say, this panel, that it should happen, and if  
9 that is accepted by the government, then NRCAN maybe has  
10 to contribute to this monitoring activity. But, at this  
11 stage, we cannot tell whether or not we -- we have no  
12 obligation right now to do that.

13 DR. LAPIERRE: No, you have no obligations  
14 but there's nothing that impedes you from doing it, that  
15 would impede you from conducting such a study.

16 DR. PARSONS: Well, perhaps I can just  
17 jump in here quickly, traditionally in studies such as  
18 this we would -- unless it was part of an ongoing science  
19 programme, in the case of a place like Sydney Harbour, we  
20 could potentially respond to a direct request from a  
21 regulatory agency such as Environment Canada or, as the  
22 case may be, from DFO. And certainly there are lots of  
23 cases of that in the past.

24 However, there is no direct trigger for us  
25 to immediately initiate a programme in Sydney Harbour

1 based on the project.

2 THE CHAIRPERSON: I would like to turn to  
3 the proponent now. There have been a number of points  
4 raised. I realize you have requested that you get an  
5 opportunity later to ask questions, but you may have  
6 questions now.

7 You may also have some things that you  
8 wish to say in response to some of the things you've  
9 heard, and I think the panel would find that helpful,  
10 too.

11 I confess to not having written down  
12 everything that was said, some light bulbs were going on,  
13 and thinking that you might wish to add some information.  
14 I'd be interested in hearing from you particularly about  
15 the efficiency of your sediment control measures, that's  
16 one aspect. But if you'd like to address the panel now  
17 on some of these issues.

18 MR. POTTER: Certainly. I think the panel  
19 has addressed some important questions, as well.

20 We would like to discuss, just briefly, a  
21 little bit about the silt curtain aspect. We can provide  
22 some follow-up information later, but I will ask Mr.  
23 Shosky to address that, and I'll turn to Don now.

24 MR. SHOSKY: Thanks, Mr. Potter.

25 I've had extensive experience installing

1 silt curtains in marine and freshwater environments, and  
2 the trick of each one of them is more placement than it  
3 is with the actual manufacturing types. They're all very  
4 similar in the sense that they have a floating boom with  
5 a long curtain floating down to the bottom which is  
6 weighted. Often, depending on the hydraulics of the  
7 river, you have to add additional weight onto those  
8 systems in order to get a good seal on the ground.

9 As far as tidal influences and things of  
10 that nature, it's possible to set them so that they go up  
11 and down with the tide.

12 As far as fish passageways go, that we  
13 would have to look at in a lot more detail, and get a  
14 determination of how critical that was, because of the  
15 fact that trapping the sediments typically in those cases  
16 involves setting up multiple curtains to control one type  
17 of source activity.

18 The good news is is that all that type of  
19 monitoring, that's typically done by most of the  
20 regulatory agencies I've dealt with, are done using  
21 turbidity meters which, in a percent of recovery, seems  
22 to be in the over 90 percent capture rate.

23 So turbidity, while it's not directly  
24 related to percentages, very low releases that cause a  
25 turbidity meter to go off is the sort of thing that would

1 be monitored for, and, as I've said, it's used routinely  
2 and successfully in a lot of marine environments.

3 THE CHAIRPERSON: Could I just ask for  
4 clarification. The turbidity meter in that case would be  
5 used on a constant basis, on an intermittent basis?

6 MR. SHOSKY: Well, typically the  
7 monitoring occurs all the time while the excavation work  
8 is going on, for sure, and spot checks are made every day  
9 during the evenings to ensure, depending on how much  
10 energy there is in the particular system, that the silt  
11 curtains are properly placed, and things of that nature.  
12 So it's done at least during the excavation times, but  
13 I've seen people do after-hours testing, as well.

14 MR. POTTER: I just wanted to add that  
15 when we do get a copy of the presentation, we'd like to  
16 have a chance to take a look at the information and  
17 probably respond at a later date with some follow-up  
18 responses.

19 THE CHAIRPERSON: And at the moment you  
20 don't have questions of NRCan right now.

21 MR. POTTER: That is correct.

22 THE CHAIRPERSON: So do we have questions  
23 from any of the -- any government representatives that  
24 may be here of NRCan?

25 I will open up the questioning, then, to

1 registered presenters who are on my roster. I would  
2 really like to encourage you to ask questions, or  
3 endeavour to ask questions, because I know it isn't  
4 always easy, but that you endeavour to ask questions that  
5 fall within the mandate as was stated at the beginning of  
6 the presentation. It's not helpful to the panel or to  
7 any of us, I think, if questions get posed to people who  
8 simply do not have the mandate to answer it. I accept  
9 that it isn't always -- you don't always know whether  
10 your question falls within their mandate, and sometimes  
11 it's not possible to do that. So I really would  
12 encourage that.

13 So I'm going to start at the bottom of my  
14 list instead of the top of my list. It may not make any  
15 difference in the end, but Mr. Ignasiak, do you have any  
16 questions?

17 MR. IGNASIAK: Madam Chair, I was really  
18 very happy to hear that the mandate of Natural Resources  
19 Canada is to support sustainable development.

20 My question is as follows. Would I be  
21 correct in stating that the remedial actions proposed by  
22 the proponent for the Sydney Tar Ponds, and, in  
23 particular, the result of these remedial actions, do  
24 contradict the very principles of sustainable  
25 development?

1 MR. MICHAUD: Madam Chair ---

2 THE CHAIRPERSON: Are you prepared to  
3 answer that question? I'm not quite sure if I would be  
4 able to tackle that question.

5 MR. MICHAUD: Can we just not answer this  
6 question?

7 THE CHAIRPERSON: I'm not sure. I will  
8 ask Mr. Ignasiak if he would like to ask this question  
9 ---

10 MR. IGNASIAK: I'd be happy to translate  
11 that into a different language.

12 The principles of sustainable development  
13 are that any actions that we are taking today should not  
14 really have a negative impact on future generations.  
15 This is according to Environment Act of Canada.

16 MR. MICHAUD: Well, I guess the question,  
17 if I can rephrase that question, is that ---

18 THE CHAIRPERSON: Well, I believe -- I'm  
19 not sure how you're going to answer the question. I  
20 think there were so many assumptions built into that  
21 question, I really wouldn't expect you to answer it. I  
22 think ---

23 MR. MICHAUD: Thank you, Madam Chair.

24 THE CHAIRPERSON: Thank you.

1 Sierra Club?

2 MR. MARCOCCHIO: Thank you.

3 My first question, Madam Chair, relates to  
4 a question that you posed in your comments, ones that we  
5 at the Sierra Club are sharing, and it's with respect to  
6 climate change and the effect of climate change on the  
7 ultimate success or failure of this proposal.

8 As you point out in your comment, it's  
9 very clear that a conservative estimate now is that by  
10 the year 2100 there will be a 70 cm rise in sea level,  
11 and this, in combination with the increases in frequency  
12 and severity of severe weather, will lead to more  
13 significant flooding and erosion of the cap material.

14 The response seems inadequate, to me, and  
15 I look to you for some direction as to what you think  
16 first of all about the adequacy of the response, and  
17 secondly the ability of this proposal to deal with a 70  
18 cm increase, within a matter of decades, of sea level,  
19 and the attendant storms and inundation, keeping in mind,  
20 for instance, that we clearly had a least a 1-in-a-100  
21 storm event here just two weeks ago in Sydney when a  
22 stream that crosses Townsend Street, one of the major  
23 streets in Sydney, had to be closed down because of  
24 flooding in that brook channel before there's any

1 restriction in the flow of that tidal estuary.

2 So I guess the question is are you  
3 satisfied with the response, and do you expect that with  
4 the increase -- reasonable increase expectations in 1-in-  
5 a-100 year storm events may, in fact, in the future be 1-  
6 a-year or 1-in-5-year events, that a significant storm  
7 surge and tidal event, do you think this is adequately  
8 designed to prevent the inundation of the stabilized  
9 material and the risk of contamination of the harbour?

10 MR. MICHAUD: Madam Chair, the expert who  
11 provided the comments on that topic is not here and I  
12 don't think we can respond on his behalf as to why he  
13 thought that the response was appropriate.

14 If you want, we can do an undertaking and  
15 provide a rationale of why we think the expert thought  
16 that the response was appropriate.

17 THE CHAIRPERSON: Yes, we'd be pleased to  
18 accept that undertaking. So, in response to Mr.  
19 Marcocchio's question --- [u]

20 MR. MARCOCCHIO: Thank you. I'll have  
21 more questions.

22 THE CHAIRPERSON: While you're standing  
23 there, why don't you take your second question now. That  
24 will be more efficient than bringing you back. Do you  
25 have another question to ask?

1 MR. MARCOCCHIO: Yes. As a matter of  
2 process, Madam Chair, I hope to suggest that perhaps  
3 setting aside a block of time to ask a series of  
4 questions might -- for the sake of efficiency of time,  
5 might be the appropriate way to proceed.

6 THE CHAIRPERSON: Well, we'll consider  
7 that. Right now I'll ask you to -- invite you to ask  
8 your second question.

9 MR. MARCOCCHIO: Is it your understanding  
10 that the proven technology and best available technology  
11 for control of mercury emissions is activated carbon  
12 application with fabric filter in the baghouse, which is  
13 the leading technology being proposed for the control of  
14 mercury as part of the Canada-wide standards for coal-  
15 fired power plants?

16 DR. PARSONS: You correctly point out,  
17 obviously, that in our first round of comments on  
18 February 16th one of the questions I personally raised  
19 was simply that in addition to organic contaminants in  
20 the Tar Ponds the levels of mercury were not  
21 insignificant, I believe levels of 2 to 3 ppm in some  
22 case.

23 I am not -- I have no direct experience  
24 with air quality control devices, and so I'd ask the  
25 Panel perhaps if we could defer that question directly to

1 those experts at Environment Canada tomorrow morning.

2 THE CHAIRPERSON: Yes, we can do that.

3 MR. MARCOCCCHIO: Thank you.

4 THE CHAIRPERSON: Okay. Thank you. Mr.

5 Marmon? No. Save Our Health Care?

6 MS. MACLELLAN: Since I'm not sure this

7 falls under their realm, I'll ask a simple question

8 first.

9 Do you consider drinking water a natural  
10 resource, and, if so, are you prepared to ask a couple of  
11 questions -- answer a couple of questions about drinking  
12 water?

13 MR. MICHAUD: It's not a natural resource  
14 under the mandate of Natural Resources Canada.

15 MS. MACLELLAN: So, it's not a natural  
16 resource, water?

17 MR. MICHAUD: It is a natural resource but  
18 not -- we don't have a mandate to deal with that  
19 resource.

20 MS. MACLELLAN: So, who does?

21 MR. MICHAUD: Environment Canada maybe.

22 MS. MACLELLAN: Environment Canada.

23 THE CHAIRPERSON: If you want to bring  
24 your question to either Environment Canada or to the  
25 provincial Environment and Labour.

1 MS. MACLELLAN: Okay. Thank you.

2 THE CHAIRPERSON: Thank you. Do we have  
3 questions from anyone else in the audience?

4 I would like to thank Natural Resources  
5 Canada for your presentation, and we'll now take a five-  
6 minute break.

7 I'm going to invite -- as I indicated  
8 earlier, if Public Works and Government Services Canada  
9 would come back and we're going to have a short block of  
10 time for some additional questions to them before we  
11 adjourn this afternoon. So, thank you very much.

12 --- Upon recessing at 2:42 p.m.

13 --- Upon resuming at 2:49 p.m.

14 THE CHAIRPERSON: If you would like to  
15 take your seats. I would like to thank Public Works and  
16 Government Services Canada for returning so that we can  
17 just put a few more questions to you and provide that  
18 opportunity to members of the public as well. I would  
19 like to begin. I do have two questions.

20 --- PUBLIC WORKS AND GOVERNMENT SERVICES CANADA

21 THE CHAIRPERSON: The first question  
22 relates to your status as a responsible authority. At  
23 the moment you share -- if you could clarify for me --  
24 you share that role right now within Environment Canada?

25 MR. SWAIN: Yes, that's correct, we do.

1 THE CHAIRPERSON: And only Environment  
2 Canada?

3 MR. SWAIN: That's correct.

4 THE CHAIRPERSON: And the trigger for  
5 Environment Canada being a responsible authority is what?

6 MR. SWAIN: We understand it's a  
7 regulatory trigger, that they have permits to authorize.  
8 Maybe John Appleby could provide some clarification on  
9 that.

10 MR. APPLEBY: Primarily, I believe, in  
11 relation go the mobile PCB incineration regulations  
12 pursuant to the Canadian Environmental Protection Act.

13 THE CHAIRPERSON: Under what circumstances  
14 would those regulations apply to the proposed  
15 incinerator? We had some discussion yesterday about  
16 this, so some clarity would be appreciated.

17 MR. APPLEBY: I don't -- I hate to do this  
18 to Environment Canada again, but I would perhaps defer  
19 that question to Environment Canada for explanation.

20 THE CHAIRPERSON: Is it possible that the  
21 application of those regulations has something to do with  
22 the ownership of the land that the incinerator would be  
23 on?

24 MR. APPLEBY: Yes, that's correct.

25 THE CHAIRPERSON: And this means that if

1 it's federal crown land that these regulations would  
2 apply?

3 MR. APPLEBY: I believe the regulations  
4 apply if the facility is operated on federal lands or is  
5 operated under contract to the Federal Government. I  
6 believe those are the two conditions. And if I'm missing  
7 something, my apologies to Environment Canada.

8 THE CHAIRPERSON: No, that's fine. Well,  
9 we'll get them to confirm that one way or the other, but  
10 that's -- thank you for that.

11 Now, my understanding is that the  
12 proposition is that by the time the proposed incinerator  
13 would be, in fact, installed, sited, that that land would  
14 have been -- the proposal is that that land would be  
15 transferred to the Province.

16 MR. APPLEBY: Yes, that's my  
17 understanding. Yes.

18 THE CHAIRPERSON: Which leads me to my  
19 grand conclusion that I'm putting before you in case you  
20 could give your opinion on it, but is it possible then  
21 that you may end up as the sole responsible authority?

22 MR. APPLEBY: You know, pending an  
23 analysis of what you just outlined, yes, it's possible.

24 THE CHAIRPERSON: What are the -- are  
25 there any implications with that? Is there anything that

1 we should know about?

2 Now, my understanding that as an RA you  
3 will then have -- if you were to be the sole RA, that you  
4 would have the sole responsibility for ensuring that the  
5 -- that all appropriate mitigation of the project takes  
6 place over its life and certainly over the 35 years,  
7 initial 35 years. Is that correct?

8 MR. SWAIN: That would be correct.

9 THE CHAIRPERSON: Can you tell me a little  
10 bit more about how you ensure that that happens. What  
11 power do you have as an RA to ensure that mitigation --  
12 the appropriate mitigation happens?

13 MR. SWAIN: I'll let John Appleby answer  
14 that.

15 MR. APPLEBY: The follow-up sections of  
16 the Canadian Environmental Assessment Act, for those who  
17 don't know, require federal authorities -- sorry,  
18 responsible authorities to verify environmental impact  
19 predictions and to verify the efficiency or workability  
20 of the mitigation measures. And I'm paraphrasing.

21 And so that's a tie-in, and we fully  
22 expect, as does at this point in time Environment Canada,  
23 that a follow-up program in respect of this project will  
24 be developed. And so there are requirements over time --  
25 they have temporal components to it as well. So, there

1 will be requirements over time to ensure that the project  
2 -- you know, that the impact predictions are accurate and  
3 that mitigation is working.

4 The second part of that would be through  
5 the effects monitoring -- is what it's commonly referred  
6 to -- whereby regulatory requirements -- where a  
7 monitoring program is run to ensure that regulatory  
8 requirements are being met and that no laws are being  
9 broken.

10 And the third part of that -- sorry,  
11 that's compliance monitoring. The third part of that  
12 would be through effects monitoring, and if -- I think I  
13 understood your question correctly, you were wondering  
14 how this would come about and how we would engage in  
15 ensuring that this took place. Is that correct?

16 THE CHAIRPERSON: Yes.

17 MR. APPLEBY: The way these -- I can  
18 describe that generally at this point in time, whereby  
19 federal and provincial agencies, and in fact experts from  
20 elsewhere in the private sector and so on, are called  
21 together to ensure that the effects monitoring programs  
22 are appropriately scoped.

23 And the next part of that is to facilitate  
24 or implement related monitoring programs which relates,  
25 of course, back to funding, and that is a question which

1 would have to be explored over time to ensure that these  
2 are implemented.

3 Very often it's in the hands of the  
4 Proponent to implement required monitoring and report  
5 back for review and affirmation.

6 MR. SWAIN: Could I add one point there?

7 MR. APPLEBY: Yeah.

8 MR. SWAIN: One of the features as is seen  
9 in our agreements, in our management frameworks, is the  
10 independent engineers' monitoring and verification as we  
11 move along on the activities of the project and the  
12 performance of the Sydney Tar Ponds Agency, and one of  
13 those critical issues is environmental compliance.

14 THE CHAIRPERSON: You are not -- Public  
15 Works wouldn't -- you are not in a position where you  
16 need to issue any approvals to this project?

17 MR. SWAIN: Just the money.

18 THE CHAIRPERSON: And that was what I was  
19 going to say, your stick is money. Is that a problem in  
20 any way in terms of kind of ensuring that the follow-up  
21 that we're talking about happens?

22 MR. SWAIN: I think one thing that we  
23 would add is if this was an eventuality, if there wasn't  
24 -- if there isn't a trigger here or there's no  
25 requirement for Environment Canada's regulatory

1 responsibilities, Environment Canada still has funding  
2 allocated to them for their activities in providing  
3 expert advice and assistance to the initiative as it goes  
4 forward, and I understand that that allocation of funding  
5 would continue to exist for the life of the project.

6 And if we had a need for their assistance  
7 or advice, if the initiative did, then they would be  
8 available to assist us in any way that was necessary.

9 THE CHAIRPERSON: So, this is a funding  
10 commitment outside the funding under the MOA, Memorandum  
11 of Agreement?

12 MR. SWAIN: Yes. For clarification, there  
13 is another allocation of funding for the operations of  
14 federal departments, including Public Works and  
15 Government Services Canada, Environment Canada and Health  
16 Canada for the 10-year duration of the agreement, and  
17 that current funding allocation is in the area of \$40  
18 million dollars over and above the \$400 million dollars.

19 THE CHAIRPERSON: I have a second  
20 question. It's moving on to the VJ Site, proposed site  
21 for the incinerator.

22 Now, as a department you have some current  
23 involvement with that site. Perhaps you could tell me  
24 what that is.

25 MR. SWAIN: Yes, we do. Currently we do

1 have some involvement as a service provider in assisting  
2 the Cape Breton Development Corporation in carrying out  
3 its remediation of that site.

4 THE CHAIRPERSON: Now, ordinarily, you  
5 know, if there is no remediation requirement, no  
6 contamination on a piece of crown land, just in general  
7 terms what are the terms and conditions that -- under  
8 what circumstances can that land be sold or change hands?

9 MR. SWAIN: Perhaps I'll refer that to ---

10 THE CHAIRPERSON: Or maybe I should be a  
11 little more precise in my question, sorry. Are there  
12 requirements to -- can the land be given away? Are there  
13 requirements to sell it? Are you required to get market  
14 value for it? This is for a piece of uncontaminated  
15 land.

16 MR. SWAIN: Okay. I think there is --  
17 Cape Breton Development Corporation does have a policy in  
18 this respect and that policy is to get fair market value  
19 for their properties upon divestiture. Currently they  
20 have -- they're subject to a Divestiture Dissolution Act  
21 and I believe that's one of the drivers under that act.

22 THE CHAIRPERSON: And in terms of the land  
23 -- the proposal -- I mean, you're familiar with the --  
24 obviously you're familiar with the fact that the  
25 Proponent is hoping to have that land in provincial

1 ownership before the incinerator goes on it.

2 Do you have some involvement in this kind  
3 of negotiation process between DEVCO and the Province?

4 MR. SWAIN: We have helped facilitate some  
5 of those discussions.

6 THE CHAIRPERSON: Are there any particular  
7 requirements around the sale of land if there's  
8 contamination or ongoing liabilities associated with it?

9 MR. SWAIN: I'll turn that one over to  
10 Bruce Hilchey.

11 MR. HILCHEY: Yes, there's Treasury Board  
12 policies that apply to the sale of lands in general and  
13 of contaminated lands in particular. The Treasury Board  
14 policies require the -- when they're held by departments  
15 that are subject to those policies, to clean it up or to  
16 ensure that if a transfer takes place that measures are  
17 put in place so that the purchaser follows a remediation  
18 activity.

19 Now, with respect to CBDC, I believe they  
20 have their own policies, they are not subject to the  
21 Treasury Board policies because it's a crown corporation.

22 THE CHAIRPERSON: So, we should ask them?

23 MR. HILCHEY: I think so, yes.

24 THE CHAIRPERSON: Okay. All right. Well,  
25 thank you very much.

1 DR. LAPIERRE: I just would like to  
2 understand -- if you were to become the RA, the authority  
3 responsible, if there was permitting, for example, I'm  
4 trying to understand the process that would happen.

5 Let's say -- let's take an example, that  
6 the Tar Ponds, for example, are federally owned by 60  
7 percent or so. If you're going to put a monolith in the  
8 Tar Ponds and it's ocean land or estuary, how would you  
9 go ahead deciding whether it needs to be permitted under  
10 the Ocean Dumping Act?

11 MR. SWAIN: I'll refer that question to  
12 John Appleby.

13 MR. APPLEBY: You may anticipate where I'm  
14 going to refer the question to as well.

15 DR. LAPIERRE: I thought you would.

16 MR. APPLEBY: Yeah. Currently it's my  
17 understanding that there is no ocean dumping trigger --  
18 sorry, ocean dumping action required on the part of  
19 Environment Canada for this project, but there may be,  
20 and I guess I would have to go to them for confirmation.  
21 I can't say for sure.

22 DR. LAPIERRE: So, I'll ask them tomorrow  
23 when the trigger starts.

24 MR. APPLEBY: Yeah.

25 DR. LAPIERRE: Okay. The other question

1 may be much more simple for you. In your statement of  
2 February 16th -- and it refers to a statement I made this  
3 morning but maybe I wasn't quite clear enough.

4 In your letter you do indicate that you  
5 would like to -- the Mi'kmaq Ecological Knowledge Study,  
6 that you would be -- you understand is currently under  
7 review, and in your letter you state that you look  
8 forward to receiving the document as it relates to a very  
9 potentially important effect of the project for you and  
10 that you look forward to reviewing it.

11 I guess the question I would have, could  
12 you forward your comments once you have had time to  
13 review it because -- or have you had time to review it  
14 and you have comments?

15 MR. SWAIN: I don't believe we had any  
16 comments. I believe that was a component of the EIS,  
17 although I could stand corrected. I believe that was  
18 where it was incorporated.

19 DR. LAPIERRE: Yes, it's Appendix "M" in  
20 the EIS.

21 MR. SWAIN: No, we didn't have any  
22 comments with respect to it.

23 DR. LAPIERRE: Okay. Thank you.

24 THE CHAIRPERSON: Actually, I just -- if I  
25 could turn to the Proponent just for a follow-up

1 question. Perhaps you could clarify this.

2 With respect to my questions regarding the  
3 transfer of land or sale of land by DEVCO to you for the  
4 siting of the incinerator or to the Province, have you  
5 specified how much of the VJ Site? You don't want the  
6 whole VJ Site, do you, for this? And do you -- have you  
7 -- the portion of the land that you're interested in,  
8 does it have contamination on site?

9 MR. POTTER: I guess you're getting into  
10 details I can't provide right now. I know there's been  
11 simply a letter of intent submitted to DEVCO expressing  
12 an interest in acquiring the land. That's about the  
13 extent of how far that's gone at this point in time.

14 There is, as indicated, remediation  
15 activities going on at that property. The timing of such  
16 is compatible with our project. I believe they have a  
17 couple of years left to -- a year or two left to complete  
18 their remediation and in about that time we would be  
19 interested in coming onto that property.

20 So, it would be -- at this point in time  
21 there's been not much in the way of discussions, so I  
22 don't think those details have been addressed.

23 THE CHAIRPERSON: And their remediation,  
24 as far as you know, will not require any ongoing  
25 monitoring or maintenance?

1 MR. POTTER: I'm not familiar with the  
2 details of the work that's going on there. We, of  
3 course, as a potential purchaser, wanted to take a look  
4 at that, but I couldn't answer the question right now in  
5 terms of what they're doing.

6 Recognizing it's a remediated, managed  
7 site I fully expect that there will be the necessary  
8 monitoring associated with the long-term aspects of the  
9 site and that would no doubt become part of the  
10 discussions of acquiring the land.

11 THE CHAIRPERSON: Okay.

12 MR. SWAIN: Madam Chair, it's our  
13 understanding that there will be ongoing monitoring and  
14 maintenance on -- or ongoing monitoring on that site.

15 THE CHAIRPERSON: Okay. Thank you. So, I  
16 would now like to allow some additional time for  
17 questions from the audience. I think the simplest thing  
18 is, could I just have an indication just by hands of how  
19 many people have questions? I see one, two, three. Am I  
20 seeing everybody?

21 I'm going to propose to allow each of you,  
22 if you want it, a 10-minute block to ask questions before  
23 we finish and then I will also go back in case the  
24 Proponent has any interest in any questions at the end,  
25 and then we will close this session down.

1                   So, I'll go to Sierra Club first.

2                   MR. MARCOCCHIO: Thank you, Madam Chair.  
3 I would first like to ask the representatives of Public  
4 Works and Government Services Canada a rather disturbing  
5 -- about a rather disturbing article in today's Cape  
6 Breton Post with respect to a debate between our Liberal  
7 MP, Mark Eyking, and Rona Ambrose, the Minister of  
8 Environment, yesterday.

9                   According to this news story, there is no  
10 commitment to federal funding for the cleanup of the Tar  
11 Ponds that was included in the environment budget of the  
12 previous Liberal Government and Rona Ambrose has given no  
13 indication or, apparently, commitment to the Tar Ponds  
14 cleanup.

15                   They point generally to the fact that --  
16 the new Federal Government apparently points to the fact  
17 that it should be Public Works Canada that has this money  
18 budgeted. So, the question is with respect to the  
19 confusion that this story today provides.

20                   Is the federal commitment of \$280 million  
21 dollars secured and budgeted for and ---

22                   THE CHAIRPERSON: If I can just -- oh,  
23 sorry, go ahead.

24                   MR. MARCOCCHIO: --- and if so, by what  
25 department?

1 THE CHAIRPERSON: If I can just interject.  
2 Have you had a chance to read that article? I haven't.  
3 I'm going to ask you to table that article so we can --  
4 as an exhibit. So, I guess I'm going to have to take  
5 your paper away from you but -- so you have had a chance  
6 to read that? Yeah.

7 MR. SWAIN: Yes. Ms. Kenny is our closest  
8 connection to Ottawa, so we'll ask her to answer that  
9 question.

10 MS. KENNY: Thank you, Ken. I don't think  
11 any of us sitting at this table are really in a position  
12 to speculate what our ministers may or may not have meant  
13 or how things are interpreted in the media as far as that  
14 goes.

15 But I do think, as you've heard here  
16 today, that we have a Memorandum of Agreement in place,  
17 signed by both the Federal Government and the Province of  
18 Nova Scotia where the Federal Government did give a  
19 commitment for funds and certainly up until this point we  
20 have no reason to believe that there is any other  
21 strategy afoot that would take us away from that road.

22 MR. MARCOCCHIO: But my question was  
23 specifically, has the money been allocated from either  
24 the federal budgets of the Department of Environment or  
25 Public Works and Government Services Canada? So, am I to

1 assume that the answer to that question is no?

2 MS. KENNY: I think you heard earlier this  
3 morning that there -- funding has been provided through  
4 our Treasury Board for the first part of the preliminary  
5 works and the preparatory works.

6 Following this process we are then in a  
7 position to better understand exactly what the costs will  
8 be depending on any modifications to the project, and  
9 it's from there that we do go back to our Treasury Board  
10 -- well, through ministers ultimately who make decisions  
11 and then to our Treasury Board to seek funding.

12 MR. MARCOCCHIO: I'm not sure -- I hope  
13 that's more clear to you, Madam Chair, than it is to me.

14 I understand that the Public Works and  
15 Government Services Canada completed an economic  
16 evaluation of the project alternatives. Can you  
17 specifically provide your evaluation of these alternative  
18 technologies to the Panel and public?

19 MR. SWAIN: I'm not aware of any economic  
20 evaluation of project alternatives that was conducted.

21 MR. MARCOCCHIO: Public Works and  
22 Government Services Canada are referenced as being part  
23 of that economic evaluation in the Environmental Impact  
24 Statement. Is that statement incorrect?

25 THE CHAIRPERSON: The reference I assume

1 -- and let's make sure that we're all talking about the  
2 same reference. You're talking about a two-page -- do  
3 you have your reference there?

4 MR. MARCOCCHIO: I don't have it here in  
5 front of me but I ---

6 THE CHAIRPERSON: It's always great to  
7 have a reference.

8 MR. MARCOCCHIO: Yes.

9 THE CHAIRPERSON: Then everybody is on the  
10 -- literally on the same page. I'll say this and then  
11 you can say if it sounds like the right thing. Page 280,  
12 and the specific reference was that -- it's about the  
13 costing. It's not 280, is it?

14 The only reference that I found in that  
15 section to Public Works was, I'm sorry, 287, and where it  
16 says:

17 "Cost estimates contained..."

18 This is the one you're talking about?

19 "Cost estimates contained in the RAER  
20 are not an accurate reflection of the  
21 true costs of implementing the  
22 various remediation options."

23 MR. MARCOCCHIO: Yes.

24 THE CHAIRPERSON: These reviews -- so that  
25 independent reviews of the RAER cost estimates were

1 carried out by Conestoga Rovers, Public Works and  
2 Government Services Canada, SA/[?] Consultants and STPA  
3 staff. So, that's the reference to which Mr. Marcocchio  
4 is referring.

5 MR. MARCOCCHIO: Yes, that's right.

6 THE CHAIRPERSON: Do you want to just tell  
7 me what -- and I believe I asked a question related to  
8 this this morning, too. Would you just like to explain  
9 what it was that -- how much involvement you had at that  
10 stage.

11 MR. SWAIN: Yes, I believe we perhaps were  
12 assisting with the analysis. I'll refer that question to  
13 Randy Vallis.

14 MR. VALLIS: Yes, earlier this morning I  
15 mentioned that we did look at some of the numbers there  
16 and our mandate was to review the cost estimate presented  
17 in the RAER and identify the likely range of costs  
18 projected and to confirm the other considerations that  
19 might not have been within those estimates.

20 So, we looked at the estimates and from  
21 that point of view looked at it to see were there any  
22 areas that needed to be beefed up or questioned and we  
23 presented that to Environment Canada, CRA and Nova Scotia  
24 Public Works and Transportation.

25 THE CHAIRPERSON: So, you provided some

1 kind of component information that was then rolled into  
2 the revised cost estimates?

3 MR. VALLIS: It was basically to put in  
4 context the information that was presented to us in the  
5 -- again, in the actual RAER document, its estimates, and  
6 the items there, and put it in perspective of -- as a  
7 preliminary risk analysis of items for each component.

8 And we just put together our thoughts on  
9 it and presented it to them, in particular, again as I  
10 said, a preliminary risk analysis, and the information  
11 was for consideration of the remediation action report  
12 documentation for both the Tar Ponds and the Coke Ovens,  
13 the Sydney Tar Ponds cleanup sampling reports, and these  
14 are the documents that we looked at.

15 And, again in the project management very  
16 -- the first step is in -- is risk management, is to  
17 develop my preliminary risk analysis which PWGSC  
18 completed and then proceeded during the project  
19 development to a risk management plan, which would  
20 include mitigated measures and plans to mitigate the  
21 identified list. So we reviewed their documents and we  
22 presented it to them as some questions for them to  
23 consider in their costing.

24 THE CHAIRPERSON: Thank you.

25 MR. MARCOCCIO: Just for the sake of

1 clarity it refers to the question that The Chair just put  
2 to you in terms of it being a component of the costs,  
3 were you part of the evaluation that in particular came  
4 to the conclusion that the JAG option 3, remedial option  
5 3 for the Tar Ponds, that is a train of technologies that  
6 included soil washing, thermal desorption of the PCB hot  
7 spots and off site disposal of the concentrated PCB waste  
8 would, indeed come in at over a billion dollars?

9 Or were you just part of the general  
10 analysis that added some relatively minor costs to that  
11 option 3 that the community has selected and that as we  
12 have since found out has not been moved forward with  
13 using only the economic justification. So this is  
14 particularly germane to the deliberations of the panel in  
15 the involvement of Public Works and Government Services  
16 Canada and the extent to which the costs and those  
17 deliberations that you were involved in led to the  
18 abandonment of the community's choice?

19 THE CHAIRPERSON: My goodness, can you  
20 extract the question from that? I'm afraid you lost me a  
21 little bit there. Could you just say the question at the  
22 beginning because I know you have the question at the  
23 beginning, then you had a few more ---

24 MR. MARCOCCHIO: Well, simply put, the  
25 Proponent has claimed that the costs have more than

1 doubled for the choice that the community made and  
2 selected first. Were you a part of that decision-making  
3 that concluded that the costs of their option 3 for the  
4 Tar Ponds clean up was in fact over a billion dollars.

5 MR. APPLEBY: We were part of providing a  
6 minor role in passing the information on our experience  
7 and so forth. Our contribution was small. We did not  
8 select any option.

9 THE CHAIRPERSON: Thank you.

10 MR. MARCOCCHIO: Thank you. I have ---

11 THE CHAIRPERSON: You have one more  
12 question and then ---

13 MR. MARCOCCHIO: One more question.

14 THE CHAIRPERSON: Good.

15 MR. MARCOCCHIO: And I'll have to wing it  
16 here because I've lost it. But the question is that one  
17 of the primary justifications for this project was that  
18 it would bring -- a second major objective of the EIS is  
19 the economic benefit to the community. When you  
20 evaluated the economic benefits for the community did you  
21 consult with business leaders on the potential negative  
22 impacts on economic viability of the community due to the  
23 existing contamination in the residential community,  
24 which is not currently part of the remedial activities  
25 proposed in the EIS? And in your expert opinion would

1 you agree this is a negative impact on the potential  
2 economic viability and growth of the community.

3 MR. SWAIN: To the best of our knowledge  
4 we did not conduct any such evaluation.

5 MR. MARCOCCHIO: And in your expert  
6 opinion do you think this would have a negative impact on  
7 the perception and the potential economic viability and  
8 growth of the community as a result of the remediation  
9 activities?

10 MR. SWAIN: I don't have any opinion to  
11 offer in this regard.

12 MR. MARCOCCHIO: Does Public Works and  
13 Government Services Canada have any opinion?

14 MR. SWAIN: I'll repeat, I don't have any  
15 opinion to offer in this regard.

16 THE CHAIRPERSON: Thank you very much.  
17 And if I could just get an indication of who else had  
18 said that they were going to -- I'll take Mr. Ignasiak  
19 next. Yes, would you like to come to the -- yes, if  
20 you'd come to the mike please.

21 PUBLIC WORKS AND GOVERNMENT SERVICES CANADA

22 --- QUESTIONED BY MR. LES IGNASIAK

23 MR. IGNASIAK: I'm working for a number of  
24 companies that submit to Public Works and Government  
25 Services detail cost estimate for this option that my

1 predecessor was referring to. And this option was three  
2 hundred ninety-two million dollars (\$392,000,000) plus  
3 minus five percent. And it was a guaranteed option.  
4 Have you come across this option?

5 MR. SWAIN: I'm not aware of any such  
6 submission to Public Works and Government Services  
7 Canada.

8 MR. IGNASIAK: Madam Chair, I have a lot  
9 of letters with me. I will try to recover that and I  
10 will leave this letter with you.

11 THE CHAIRPERSON: Thank you. Yes, Ms.  
12 MacLellan.

13 PUBLIC SERVICE CANADA

14 --- QUESTIONED BY MS. MARY RUTH MACLELLAN

15 MS. MACLELLAN: I just have a couple of  
16 short questions. This morning you said that first it was  
17 seventy million that was spent so far and then you said  
18 twelve million. I'm not sure if there was an undertaking  
19 to provide us with a breakdown of those costs and just  
20 exactly where they were all used. If not could we have  
21 that breakdown?

22 MR. SWAIN: Just one second.

23 THE CHAIRPERSON: I'm afraid I don't have  
24 a list of the undertakings that have been made today.  
25 I'm sure I can get that information but I can't confirm

1 anything at the moment.

2 MR. SWAIN: Well, I have an answer for  
3 that. It was actually two issues that were discussed.  
4 The first of which was something that we referred to in  
5 our presentation where we talked about the -- essentially  
6 we have four hundred million dollars (\$400,000,000) for  
7 this initiative.

8 But for this project which is under  
9 consideration of the panel we have three hundred and  
10 twenty-seven point five million and there is -- there was  
11 identification that there have been some components of  
12 that four hundred million dollars (\$400,000,000) that are  
13 for purposes other than the project components that are  
14 under assessment here. In particular, they total up to  
15 about seventy-two and a half million dollars  
16 (\$72,500,000).

17 And those are expenditures that are  
18 forecast to be made over the ten year duration of the  
19 project. Specifically in broad categories they include  
20 the establishment and operational funding of the Sydney  
21 Tar Ponds Agency for the ten year period. That is  
22 expected to require about twenty-one and a half million  
23 dollars (\$21,500,000). The funding for the appointment  
24 and the work of the independent engineer is expected to  
25 comprise about twelve million dollars (\$12,000,000).

1           The preventative works projects which are  
2           the four projects that are undergoing to contain the  
3           current dispersion and contaminants on site and to take  
4           care of necessary initial projects are estimated to cost  
5           seventeen million dollars (\$17,000,000). The conduct of  
6           this environmental assessment including the preparation  
7           of the environmental impact statement related studies and  
8           this process that we sit in today is estimated to cost  
9           about five million dollars (\$5,000,000).

10           We have a funding for community and First  
11           Nations engagement of approximately four million dollars  
12           (\$4,000,000) and our contingency that is yet unallocated  
13           is about thirteen million dollars (\$13,000,000). Those  
14           figures total up to about seventy-two and a half million  
15           dollars (\$72,500,000). The other reference was to the  
16           fact that we indicated earlier today that approximately  
17           twelve million dollars (\$12,000,000) has been spent to  
18           date and that twelve million dollars (\$12,000,000) would  
19           have been the actual expenditures incurred against those  
20           budgetary items.

21           MS. MACLELLAN: Are we permitted to have a  
22           breakdown of that actual twelve million dollars  
23           (\$12,000,000) in writing?

24           MR. SWAIN: We expect that we'll have a  
25           final accounting for the expenditures to the end of the

1 fiscal year in 2005/2006, sometime within the next month  
2 or so. I'm not sure if it will be available before the  
3 conclusion of this process.

4 MS. MACLELLAN: You mentioned before that  
5 you had funding secured for the ten year period. It  
6 looks like the budget is not too sure about that but I'm  
7 wondering about the 25 year ongoing monitoring process  
8 after the project is completed. Does that money come out  
9 of the four hundred million dollars (\$400,000,000) or  
10 where is it coming from?

11 MR. SWAIN: Yes, it does come out of the  
12 four hundred million dollars (\$400,000,000.)

13 MS. MACLELLAN: Okay, back to the Victoria  
14 Junction site that was picked for the supposed  
15 incinerator. And you mentioned that there's work there  
16 now. DEVCO is doing some clean up work there.

17 MR. SWAIN: That's correct.

18 MS. MACLELLAN: Do you know if there was  
19 an environmental assessment done before this work was  
20 carried out?

21 MR. SWAIN: Yes, I believe there was.

22 MS. MACLELLAN: Is that available to the  
23 panel or was that -- is that available?

24 MR. SWAIN: I believe you'd -- it's  
25 necessary for you to request that from the Cape Breton

1 Development Corporation.

2 MS. MACLELLAN: Wouldn't that have any  
3 impact on -- the environmental assessment done then and  
4 the remediation that's being done, would that not have an  
5 impact now on the sites for the incinerator, so therefore  
6 it would have a bearing on this panel?

7 MR. SWAIN: Yeah, our understanding is  
8 that would have been taken into consideration by the  
9 Proponent in the preparation of their environmental  
10 impact statement and perhaps that issue should be  
11 directed to the Proponent.

12 THE CHAIRPERSON: Well, I was just going  
13 to ask a question of clarification to the Proponent if --  
14 and did you take into -- did you use any of the  
15 information that had been gathered through the  
16 environmental assessment for the remediation of the VJ  
17 site.

18 MR. POTTER: I will ask Mr. Duncan to  
19 address that.

20 MR. DUNCAN: The simple answer is yes, we  
21 did have access to extensive information provided to us  
22 by DEVCO and by Public Works who have done investigative  
23 work on the site. So we were able to incorporate that  
24 information into our baseline work.

25 MS. MACLELLAN: Is it on the EIS anywhere?

1 MR. DUNCAN: The information that we  
2 gathered about the baseline conditions of the Victoria  
3 Junction site is included in the section 5 of the  
4 description of Victoria Junction itself, yes.

5 MS. MACLELLAN: But the environmental  
6 assessment itself was not there?

7 MR. DUNCAN: We didn't include the  
8 environmental assessment. We included the information  
9 that was relevant to the project for our evaluations.

10 THE CHAIRPERSON: Is the assessment,  
11 environmental assessment referenced?

12 MR. DUNCAN: I would have to check that  
13 but I'm uncertain.

14 MS. MACLELLAN: Could you tell me why the  
15 fish all died in that Kilkenny Lake about three years ago  
16 and why the frogs all died?

17 THE CHAIRPERSON: Well, are you ---

18 MS. MACLELLAN: Wouldn't that be part of  
19 the environmental assessment?

20 THE CHAIRPERSON: You are directing your  
21 question to Mr. -- to Public Works.

22 MS. MACLELLAN: Okay.

23 THE CHAIRPERSON: I'm not sure whether  
24 that's under their mandate to answer but ---

25 MR. SWAIN: No, again I think those are

1 issues which should be addressed to the Cape Breton  
2 Development Corporation.

3 THE CHAIRPERSON: If you'd like to make a  
4 note of that.

5 MS. MACLELLAN: Okay. I will make a note  
6 of it. For a couple of years I had the frogs frozen in  
7 my freezer and they did all die before I froze them.

8 THE CHAIRPERSON: Oh, I have to ask. Are  
9 they still in your freezer. All right. Ms. Kane. Yes,  
10 that's -- come forward, please.

11 PUBLIC WORKS AND GOVERNMENT SERVICES CANADA

12 --- QUESTIONED BY MS. MARLENE KANE

13 MS. KANE: I'm sorry, I was at work so I  
14 missed most of the proceedings today.

15 THE CHAIRPERSON: We have noted and  
16 appreciate the fact that you've come rushing over here  
17 after work. That's very dedicated.

18 MS. KANE: I wish I could get here earlier  
19 but anyway, thank you for making it so available to the  
20 public as far as the hours go, though, we -- I certainly  
21 appreciate it.

22 With regards to public consultation in  
23 future community involvement with this project, Public  
24 Works and Government Services Canada is currently  
25 participating in closed door monthly meetings with Sydney

1 Tar Ponds Agency, selected members of the community and  
2 other government reps. Unfortunately the general  
3 community is locked out of those meetings as is the  
4 media.

5 Minutes of the meetings are not available  
6 to the public until they are approved the following month  
7 and are at times not posted on the internet for four  
8 months. I'm wondering is this how your department will  
9 continue to consult with the community?

10 MR. SWAIN: The responsibility for  
11 implementation of the project and the direct  
12 responsibility for maintaining relations with the  
13 community is that of the Sydney Tar Ponds Agency. We  
14 understand there have been Community Liaison Committee  
15 terms of reference that have been approved by the project  
16 management committee but I think I'd like to refer that  
17 question to the Sydney Tar Ponds Agency for a response.

18 I sit as an ex-officio member or observer  
19 at those meetings and I don't think I'm in a position to  
20 respond to that particular concern.

21 THE CHAIRPERSON: Would the Agency like to  
22 respond to that question at this time?

23 MR. POTTER: We do try to make the  
24 information, the minutes from the meeting available on  
25 the website on a regular basis. If you wish later to

1 draw my attention to any minutes that have been late  
2 getting on the site -- I understand that they routinely  
3 go up the following month once they're approved after the  
4 monthly meeting.

5 In relation to the closed door, your  
6 reference, the committee is -- the CLC, Community Liaison  
7 Committee is an operating committee with a mandate and a  
8 terms of reference that they operate under. The  
9 committee was asked if they wished to open the doors to  
10 have other members of the public or media attend. At the  
11 wishes of the community committee they choose not to.

12 MS. KANE: But these are selected members  
13 of the community so the general public doesn't really  
14 have a say then in those types of decisions of whether it  
15 should be open to the community. In a general -- I'm  
16 just talking as observers even, the fact that we've been  
17 excluded as has the media.

18 And I really -- I understand Mr. Swain why  
19 you've transferred the question over here but I'm  
20 wondering, does the -- you know the Federal Government is  
21 a participant in these types of meetings and I wonder you  
22 know, do they approve of these closed door meetings and  
23 excluding the public?

24 MR. SWAIN: Again the Province of Nova  
25 Scotia is responsible for implementing this project

1 through its -- through the Sydney Tar Ponds Agency and we  
2 feel that those decisions are entirely the responsibility  
3 of the Province of Nova Scotia and the Sydney Tar Ponds  
4 Agency.

5 MS. KANE: So there is no plan to change  
6 the closed door meetings, the exclusionary meetings?

7 MR. POTTER: The consultation that the  
8 Agency engages in is widespread. The CLC is but one  
9 component of that. We routinely meet with other groups  
10 within the municipality be it the university, the  
11 business community, the medical community, groups that  
12 wish to meet we meet with general individuals. We meet  
13 with the Grand Lake Road Association that's interested in  
14 this project. We -- our doors are open to meet with  
15 anybody.

16 We've offered that to a number of groups  
17 including some of the groups that in this room today.  
18 Again, as I say the Community Liaison Committee is a  
19 separate committee, one of many that we have. We make an  
20 effort of making information available as widely  
21 distributed as we possibly can. We've talked about our  
22 website where we have daily the air monitoring data  
23 posted.

24 We have now two web sites -- web cams, the  
25 Tar Ponds and Coke Oven cams. We make every effort we

1 can to engage the community in the broad -- wide spectrum  
2 of measures and the CLC is one of those as I indicated.  
3 The CLC were -- have a terms of reference that they  
4 operate under. The numbers represent a very diverse  
5 number of organizations in this community, organizations  
6 that each of those perspective representatives go back  
7 and consult with on a regular basis. We encourage those  
8 members to engage their associations or organizations to  
9 bring back to the table any issues or concerns that they  
10 may have and they do so on a frequent basis.

11 MS. KANE: Just one other comment on that  
12 if I could. I mean those are planned arranged monthly  
13 meetings discussing the -- how the project is proceeding  
14 and you're excluding the public and media. And I think  
15 it should be reconsidered. Thank you. Thank you, Madam  
16 Chair.

17 THE CHAIRPERSON: Actually -- thank you  
18 --I would like to just ask a question to Mr. Swain and  
19 you may need to refer this but you're involved, I  
20 believe, with a number of DEVCO sites, the remediation or  
21 you have been in Cape Breton.

22 MR. SWAIN: That's correct.

23 THE CHAIRPERSON: Yeah, and can you tell  
24 me anything about the -- this is just for information  
25 purposes, but anything about the consultation programs

1           that you generally carry out in connection with those  
2           remediations?

3                         MR. SWAIN:  Yes, I haven't been directly  
4           involved myself.  The department has.  I believe the  
5           consultation programs that will be undertaken in the  
6           future will be under the jurisdiction of the Canadian  
7           Environmental Protection Act.  I believe that DEVCO comes  
8           under the authority of the Act on June 11th.

9                         But again, I would suggest that those  
10          responsibilities are primarily retained by the  
11          corporation so perhaps that's a question that the  
12          corporation would be in a better position to answer than  
13          I would be.

14                        THE CHAIRPERSON:  No, I was just curious  
15          in terms of other remediations at other DEVCO sites in  
16          Cape Breton.  I understand that there has been -- that  
17          Public Works does carry out consultation information  
18          program when you get involved in those.  Is that correct?

19                        MR. SWAIN:  Yeah, I understand they are  
20          but I don't think I'm in a position to be able to explain  
21          how frequent they are or the nature or what they go  
22          through in planning them or how they, I guess, connect to  
23          the community.  So I guess I feel a little bit  
24          uncomfortable in providing that information to the panel.

25                        THE CHAIRPERSON:  And nobody else at your

1 table has that information? I'd be very interested in  
2 receiving that as some background information. Would  
3 you be able to -- or would you be willing to provide  
4 that?

5 MR. SWAIN: Sure.

6 THE CHAIRPERSON: As an undertaking?[u]

7 MR. SWAIN: No, I can make sure that we  
8 connect with the unit that essentially is providing that  
9 service and get some ---

10 THE CHAIRPERSON: A simple one page or two  
11 page summary would be just sufficient.

12 MR. SWAIN: Yeah, no problem.

13 THE CHAIRPERSON: Thank you very much. I  
14 think that -- oh, yes, Mr. Marmon, one more question.

15 PUBLIC WORKS AND GOVERNMENT SERVICES CANADA

16 --- QUESTIONED BY MR. RON MARMON

17 MR. MARMON: Thank you, Madam Chair.

18 There seems to be an automatic assumption that a mobile  
19 -- that all mobile incinerators are temporary  
20 incinerators. My understanding of a mobile -- is that a  
21 mobile incinerator can be licensed as a permanent  
22 facility provided all the regulations are met. However  
23 last night we had a definition of a temporary incinerator  
24 as one that's in operation in days or months. And my  
25 question to the Public Works is what do you consider a

1 two to five year operation? Would that be considered a  
2 mobile or a temporary -- or a temporary or a permanent  
3 installation?

4 MR. SWAIN: I guess I'm going to revert  
5 back to the Memorandum of Agreement now and the  
6 requirement of the Memorandum of Agreement which refers  
7 to that and it speaks to high temperature incineration in  
8 the single use dedicated facility. The exact description  
9 of what may be being proposed or what the options are for  
10 this particular facility may be better left in the hands  
11 of the Proponent to answer.

12 MR. MARMON: You can see where I'm asking  
13 that question because there's a very great difference in  
14 meaning to the residents and -- that I represent because  
15 if it's deemed a temporary incinerator we don't know how  
16 many metres it can be from our houses exactly. But if  
17 it's deemed a permanent -- comes under the definition of  
18 a permanent facility as we feel, two to five years should  
19 be considered a permanent facility.

20 And I have assurances this morning from  
21 Public Works that the most stringent of guidelines would  
22 be followed and as such the 1,500 hundred metre standback  
23 distance would come into effect.

24 THE CHAIRPERSON: Well, I think that these  
25 questions are valid questions and we need to pursue them

1 with the regulators. So we will be able to do that in  
2 the coming days. So thank you very much.

3 MR. MARMON: Thank you, Madam Chair.

4 THE CHAIRPERSON: I would like to thank  
5 everyone. I think this concludes our afternoon's  
6 questioning. Thank you very much for coming back to  
7 answer questions. And we will return here tomorrow and I  
8 don't know when we're going to return. We come back at  
9 9:00. All right. Sorry, I apologize. I've just been  
10 reminded. I did say that I would come back to the Tar  
11 Ponds Agency for any additional questions or comments.  
12 Do you have anything more at this point?

13 MR. POTTER: Not at this point. I do  
14 appreciate the offer very much.

15 THE CHAIRPERSON: Okay. You're welcome.  
16 So we will return tomorrow morning at 9:00 a.m. Thank  
17 you very much.

18

19 (ADJOURNED TO THURSDAY, MAY 4, 2006 AT 9:00 A.M.)

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## CERTIFICATE OF COURT REPORTERS

We, Philomena Drake, Ruth Bigio, Sandy Adam, Gwen Smith-Dockrill and Janine Seymour, Court Reporters, hereby certify that we have transcribed the foregoing and that it is a true and accurate transcript of the evidence given in this Public Hearing, SYDNEY TAR PONDS AND COKE OVENS SITES REMEDIATION PROJECT, taken by way of digital recording pursuant to Section 15 of the Court Reporters Act.

---

Janine Seymour, CCR

Philomena Drake, CCR

Sandy Adam, CCR

Ruth Bigio, CCR

Gwen Smith-Dockrill, CCR

Wednesday, May 3, 2006 at Halifax, Nova Scotia